

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION
CASE 10,663

EXAMINER HEARING

IN THE MATTER OF:

Application of Union Oil Company of California
d/b/a Unocal for an administrative downhole
commingling procedure within the Rincon Unit Area,
Rio Arriba County, New Mexico

ORIGINAL

TRANSCRIPT OF PROCEEDINGS

BEFORE: DAVID R. CATANACH, EXAMINER



STATE LAND OFFICE BUILDING

SANTA FE, NEW MEXICO

February 4, 1993

A P P E A R A N C E S

FOR THE DIVISION:

ROBERT G. STOVALL
Attorney at Law
Legal Counsel to the Division
State Land Office Building
Santa Fe, New Mexico 87504

FOR THE APPLICANT:

CAMPBELL, CARR, BERGE & SHERIDAN, P.A.
Attorneys at Law
By: WILLIAM F. CARR
Suite 1 - 110 N. Guadalupe
P.O. Box 2208
Santa Fe, New Mexico 87504-2208

* * *

I N D E X

	Page Number
Appearances	2
Exhibits	5
DAVID E. JOHNSON	
Direct Examination by Mr. Carr	6
Examination by Examiner Catanach	15
Examination by Mr. Stovall	15
Examination by Examiner Catanach	16
Examination by Mr. Stovall	17
DANIEL T. SEAMOUNT	
Direct Examination by Mr. Carr	19
Examination by Examiner Catanach	27
WILLIAM L. IRWIN	
Direct Examination by Mr. Carr	28
Examination by Examiner Catanach	39
Examination by Mr. Stovall	43
Examination by Examiner Catanach	44
Examination by Mr. Stovall	46
Examination by Examiner Catanach	47
Examination by Mr. Stovall	53

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X (Continued)

Examination by Examiner Catanach	55
Examination by Mr. Stovall	56
Examination by Examiner Catanach	63
Certificate of Reporter	72

* * *

E X H I B I T S

1		
2	APPLICANT'S EXHIBITS:	
3	Exhibit 1	9
4	Exhibit 2	9
5	Exhibit 3	10
6	Exhibit 4	10
7	Exhibit 5	12
8	Exhibit 6	13
9	Exhibit 7	13
10	Exhibit 8	14
11	Exhibit 9	21
12	Exhibit 10	22
13	Exhibit 11	22
14	Exhibit 12	23
15	Exhibit 13	24
16	Exhibit 14	24
17	Exhibit 15	25
18	Exhibit 16	29
19	Exhibit 17	31
20	Exhibit 18	32
21	Exhibit 19	32
22	Exhibit 20	36
23	Exhibit 21	51

* * *

1 WHEREUPON, the following proceedings were had
2 at 8:23 a.m.:

3

4 EXAMINER CATANACH: At this time we'll call
5 Case 10,663.

6 MR. STOVALL: Application of Union Oil
7 Company of California d/b/a Unocal for an
8 administrative downhole commingling procedure within
9 the Rincon Unit Area, Rio Arriba County, New Mexico.

10 EXAMINER CATANACH: Are there appearances in
11 this case?

12 MR. CARR: May it please the Examiner, my
13 name is William F. Carr with the Santa Fe law firm
14 Campbell, Carr, Berge & Sheridan.

15 We represent Union Oil Company of California,
16 and I have three witnesses.

17 EXAMINER CATANACH: Any other appearances?
18 Will the three witness please stand to be
19 sworn in?

20 (Thereupon, the witnesses were sworn.)

21 DAVID E. JOHNSON,
22 the witness herein, after having been first duly sworn
23 upon his oath, was examined and testified as follows:

24 DIRECT EXAMINATION

25 BY MR. CARR:

1 Q. Would you state your name for the record,
2 please?

3 A. David E. Johnson.

4 Q. And where do you reside?

5 A. Houston, Texas.

6 Q. By whom are you employed?

7 A. Union Oil Company of California.

8 Q. And in what capacity?

9 A. I'm a petroleum landman.

10 Q. Mr. Johnson, have you previously testified
11 before this Division?

12 A. No, I have not.

13 Q. Would you briefly summarize your educational
14 background and then review your work experience for Mr.
15 Catanach?

16 A. I have an associate's degree in real estate
17 from Waukesha Technical Institute, I have worked for
18 the Union Oil Company of California for the past 26
19 years, the last 13 years as a petroleum landman in the
20 oil and gas division.

21 Q. Does the geographic area of your
22 responsibility for Unocal include northwest New Mexico?

23 A. Yes, it does.

24 Q. Are you familiar with the status of the lands
25 within the Rincon unit?

1 A. Yes, I am.

2 Q. And are you familiar with the Application
3 filed in this case on behalf of Unocal?

4 A. Yes, I am.

5 MR. CARR: Mr. Catanach, at this time we
6 tender David Johnson as an expert witness in petroleum
7 land matters.

8 EXAMINER CATANACH: Mr. Johnson is so
9 qualified.

10 Q. (By Mr. Carr) Would you briefly state what
11 Unocal seeks with this Application?

12 A. Union is seeking an administrative procedure
13 for downhole commingling of the Blanco-Mesa Verde or
14 the Largo-Gallup formations with the Basin-Dakota
15 formation in the Rincon unit.

16 Q. Could you briefly review for the Examiner the
17 events which have resulted in today's hearing?

18 A. In the past 12 months, Union has filed five
19 applications, individual applications for downhole
20 commingling.

21 Three of those have been approved, and after
22 approval of the third a telephone conversation between
23 Mr. Catanach and our district engineer in Farmington
24 was held in which Mr. Catanach requested that Unocal
25 appear and ask for an administrative approval or method

1 that this commingling could be accomplished.

2 Q. And in that conversation it was discussed
3 that we would present testimony on two questions,
4 correct?

5 A. Correct.

6 Q. One of those was the status of the
7 ownership -- related to the status of the ownership in
8 the Rincon unit?

9 A. Correct.

10 Q. And you will testify as to that?

11 A. Correct.

12 Q. And the following that, there will be
13 technical witnesses who will discuss the unit and the
14 economic need for a downhole commingling program in
15 that unit?

16 A. Yes.

17 Q. How many wells would actually -- or could
18 actually be affected by this Application?

19 A. Approximately 75 wells, which include 33 that
20 have not been drilled.

21 Q. Let's refer to the exhibit book, and I would
22 direct your attention to the tab marked Exhibit 1.
23 Could you just identify what is behind that tab?

24 A. That is a copy of the Application.

25 Q. And let's go, then, on to Exhibit Number 2.

1 What is that?

2 A. Exhibit Number 2 is a general location map
3 showing the Rincon unit and its relationship to
4 Northwestern New Mexico and the southern part of
5 Colorado.

6 Q. If we would move on, then, to Exhibit Number
7 3, would you identify that and then review the
8 information on this exhibit for Mr. Catanach?

9 A. Exhibit 3 is an outline of the Rincon unit
10 and the lands so located inside the unit. The colored
11 lines represent the three participating areas, the
12 Blanco-Dakota, the Mesa Verde and the Largo, in the
13 respective colors.

14 Q. This unit is operated by Unocal?

15 A. Unocal is the operator.

16 Q. And when did Unocal assume operations?

17 A. In 1986.

18 Q. What are the numbers reflected on this
19 Exhibit?

20 A. The numbers on the exhibit are the tract
21 numbers which relate to the individual leases.

22 Q. And are these the same numbers that are used
23 in the Rincon unit agreement?

24 A. Yes, they are.

25 Q. Would you identify what is behind Tab 4 in

1 this exhibit book?

2 A. Tab 4 is a copy of the Rincon unit agreement.

3 Q. Mr. Johnson, what kind of a unit do we have
4 here?

5 A. The Rincon unit is a federal, divided-type
6 unit which requires participating areas be established
7 for production and payment of royalties and overriding
8 royalties.

9 Q. So royalties and overrides are based upon the
10 participating areas?

11 A. Based upon the participating area and the
12 relationship of the tracts to the participating areas.

13 Q. What formations are actually unitized by this
14 unit agreement?

15 A. All the formations are unitized.

16 Q. And when was the unit originally formed?

17 A. 1951.

18 Q. Now, how is the working interest paid in this
19 unit area?

20 A. Under the unit operating agreement, the
21 working interest is pooled or fixed over the entire
22 unit. All the working interest is entirely fixed
23 throughout the unit, and it does not pertain to the
24 participating areas whatsoever.

25 Q. So it's identical in all formations from

1 which there is production?

2 A. Identical from all formations, yes.

3 Q. Could you identify what is marked as Exhibit
4 Number 5?

5 A. Exhibit Number 5 is a list of the working
6 interest owners in the Rincon unit.

7 Q. Now, working interest payments are on a unit
8 basis?

9 A. Working interest payments are on a unit
10 basis.

11 Q. How is the royalty paid in the unit area?

12 A. Royalty is paid on a tract basis.

13 Q. And would the royalty paid to the individual
14 royalty owners vary depending on the size of the
15 participating areas?

16 A. It would depend on the size of the
17 participating area.

18 Q. And is this in fact how royalty is and has
19 been paid to the royalty owners?

20 A. Yes, it is.

21 Q. And that is pursuant to the unit agreement?

22 A. That's pursuant to the unit agreement, yes.

23 Q. Is this a voluntary unit agreement?

24 A. Yes, it is.

25 Q. And is all the royalty within the unit area

1 committed to the unit?

2 A. Yes, it is.

3 Q. And that's all been voluntarily committed?

4 A. All voluntarily committed.

5 Q. In your opinion, would approval of this
6 Application impair the correlative rights of any
7 interest owner in the unit?

8 A. No, it would not.

9 Q. And in fact, they have all agreed as to how
10 they will be paid their share of unit production?

11 A. Yes, they have.

12 Q. Will a subsequent witness address how Unocal
13 recommends that production in the various formations be
14 allocated from the commingled well stream?

15 A. Right.

16 Q. Could you identify now what has been marked
17 as Unocal Exhibit Number 6?

18 A. Exhibit 6 is the list of the royalty and
19 overriding royalty owners in the Rincon unit.

20 Q. And is Exhibit Number 7 a copy of an
21 affidavit from Campbell, Carr, Berge & Sheridan with an
22 attached list confirming that notice has been provided
23 in accordance with OCD rules?

24 A. Yes, it is.

25 Q. And to whom has this notice actually been

1 given?

2 A. It's been given to all the working interest,
3 overriding royalty and royalty interest owners in the
4 Rincon unit.

5 Q. Has notice also been provided to the
6 operators of wells within a mile of the Rincon unit --

7 A. Yes, it has.

8 Q. -- offsetting unit?

9 A. Yes, it has been.

10 Under Exhibit 8 there's a list of the
11 offsetting owners within a mile of the Rincon unit.

12 Q. And when notice was provided to each of these
13 owners, was a copy of Unocal's Application also mailed
14 to them?

15 A. Yes, it was.

16 Q. Were Exhibits 1 through 8 either prepared by
17 you or compiled under your direction?

18 A. Yes, they were.

19 MR. CARR: At this time, Mr. Catanach, we
20 would move the admission of Unocal Exhibits 1 through
21 8.

22 EXAMINER CATANACH: Exhibits 1 through 8 will
23 be admitted as evidence.

24 MR. CARR: That concludes my direct
25 examination of Mr. Johnson.

EXAMINATION

1
2 BY EXAMINER CATANACH:

3 Q. Mr. Johnson, just to make sure I understand
4 how this works out here in the unit, the working
5 interest owners' percentage in a well or a zone doesn't
6 change within the unit?

7 A. No, sir.

8 Q. It's fixed?

9 A. It's fixed.

10 Q. Okay. The royalty interest and the
11 overriding royalty interest within a particular well or
12 within a particular zone within a well may vary based
13 upon the PAs?

14 A. Based upon the PAs.

EXAMINATION

15
16 BY MR. STOVALL:

17 Q. Let me make sure I understand that. Within,
18 say, the Gallup participating area, the royalty
19 interests are the same?

20 A. Yes.

21 Q. But those are different than the royalty
22 interests in, say, the Dakota participating area?

23 A. They would be different in terms of
24 percentages, but some of the same would overlap.

25 Q. Right, same people, yeah, that's what I

1 mean --

2 A. Right.

3 Q. -- would be allocated.

4 A. Right.

5 Q. Are all the interest owners the same
6 throughout the -- all formations?

7 A. The working interest?

8 Q. No, royalty?

9 A. Royalty, interest? Yes.

10 Q. Okay, you don't have any split ownership?

11 A. Not that we're aware of, no.

12 MR. STOVALL: Okay.

13 EXAMINATION

14 BY EXAMINER CATANACH:

15 Q. So within a -- two different zones within a
16 wellbore, you'll probably have the same royalty
17 interest owners?

18 A. Yes.

19 Q. But the percentages are different?

20 A. Are different.

21 Q. Okay. Have you received any kind of -- or
22 have you talked to any of the royalty interest owners
23 or working interest owners about your Application, or
24 have you received any objection of any kind?

25 A. We've received no objections. We received

1 telephone calls from five people, and we tried to
2 return them. We were successful in one. And there
3 were no objections; they were merely inquiries.

4 MR. CARR: I would also note that I received
5 an inquiry from Russell Hedrick on behalf of Helen
6 Harvey. They just requested information on the
7 Application. We sent them a plat.

8 That was the extent of any communication I
9 had in response to the mailing.

10 Q. (By Examiner Catanach) It's my understanding
11 that the procedure you want to set up is something that
12 -- where you -- when you file an application for
13 downhole commingling you won't have to notify all these
14 interest owners? That's basically the gist of this?

15 A. Basically, yes.

16 EXAMINER CATANACH: Okay, I have nothing
17 further.

18 EXAMINATION

19 BY MR. STOVALL:

20 Q. I want to go back and make sure I understand
21 one thing. When you say -- Let's look at your exhibit.
22 I think it's 3. It has the participating areas.

23 A. Uh-huh.

24 Q. And just for simplicity, go down there to
25 where the Largo-Gallup participating area is, and it

1 appears to be --

2 Well, let me ask you a first question.

3 You've got two different areas bounded in red which are
4 Mesa Verde participating areas. Are they considered a
5 single participating area?

6 A. Yes.

7 Q. Okay. So the two, although they are not
8 contiguous within the unit, they do share production
9 from both --

10 A. Right.

11 Q. -- geographic areas?

12 A. Right, uh-huh.

13 Q. Now, looking at the one, then, in that Largo-
14 Gallup area, that encompasses only two tracts out of
15 the entire unit.

16 A. Uh-huh.

17 Q. Am I correct in interpreting that only the
18 royalty owners in tracts 27 and 28 would participate in
19 that production from the Largo-Gallup?

20 A. Only the royalty and overrides would
21 participate in the royalty --

22 Q. Okay, so the --

23 A. -- from another tract, yes.

24 Q. So the royalty owners in 26 and 2, for
25 example, would not participate in Largo-Gallup

1 production?

2 A. In --

3 Q. In tracts 26 and 2, which are the offset
4 outside the --

5 A. Oh, no, they would not.

6 Q. Okay. So when you say that they are the same
7 royalty owners, what you mean is they come from the
8 same list --

9 A. Right.

10 Q. -- but it may not include everybody on the
11 list?

12 A. That's right.

13 Q. Okay, that's -- I don't think that was
14 exactly clear to me before, that...

15 I don't have anything else.

16 EXAMINER CATANACH: The witness may be
17 excused.

18 MR. CARR: At this time we call Dan Seamount,
19 S-e-a-m-o-u-n-t.

20 DANIEL T. SEAMOUNT,

21 the witness herein, after having been first duly sworn
22 upon his oath, was examined and testified as follows:

23 DIRECT EXAMINATION

24 BY MR. CARR:

25 Q. Would you state your name and place of

1 residence?

2 A. My name is Daniel Seamount, and I reside in
3 Farmington, New Mexico.

4 Q. By whom are you employed and in what
5 capacity?

6 A. I'm a petroleum geologist employed by Unocal.

7 Q. Have you previously testified before this
8 Division?

9 A. No.

10 Q. Would you briefly review your educational
11 background and work experience for Mr. Catanach?

12 A. I have a bachelor's and master's of science
13 degree in geology from the University of California.

14 I worked six years for Chevron in California,
15 two years for the University of California, eight years
16 for Marathon Oil in Casper, Wyoming, and five years for
17 Unocal in Casper and Farmington.

18 Q. And all this experience has been as a
19 geologist?

20 A. That's correct.

21 Q. And your area of responsibility with Unocal
22 includes the portion of northwest New Mexico involved
23 in this case?

24 A. Yes.

25 Q. Have you made a geological study of the

1 Rincon unit area?

2 A. Yes, I have.

3 Q. And are you familiar with the Application
4 filed in this case on behalf of Unocal?

5 A. Yes.

6 MR. CARR: At this time, Mr. Catanach, we
7 tender Mr. Seamount as an expert witness in petroleum
8 geology.

9 EXAMINER CATANACH: Mr. Seamount is so
10 qualified.

11 Q. (By Mr. Carr) Mr. Seamount, have you
12 prepared exhibits for presentation here today?

13 A. Yes.

14 Q. Let's refer to what has been marked as Unocal
15 Exhibit Number 9, and I would ask you to first identify
16 that and then review it for Mr. Catanach.

17 A. Exhibit Number 9 is a well location map of
18 the Rincon area. It's about -- Its size covers about
19 nine miles by thirteen miles, about 120 square miles.

20 The Rincon unit is outlined on the map. All
21 subsequent maps being used as exhibits in this
22 Application will have this exact area and the exact
23 size and scale.

24 There are -- 288 wells have been drilled on
25 the Rincon unit. That's about nine wells per section.

1 Eighty-six of them have been completed in the Dakota.
2 Of those 86, two have been abandoned. There have been
3 eight completions in the Gallup and 71 completions in
4 the Mesa Verde, and all those are still producing.

5 Q. Let's go to Exhibit Number 10. Would you
6 identify that and review it for the Examiner?

7 A. Exhibit Number 10 is a composite type log of
8 the six producing horizons -- reservoirs in the Rincon
9 unit. The three that we're discussing today, the
10 lowest one is the Dakota, average drilling depth of
11 7350 feet.

12 The next zone up is the Gallup formation.

13 The average drilling depth of the highest
14 zone perforated in that reservoir is 6700 feet. That's
15 a very continuous fractured calcareous shale.

16 The lower zone, which is probably the most
17 significant producer, producing zone within the Gallup,
18 is the Tocito sand, and that I will discuss in a little
19 bit more detail later on.

20 The other zone is the Mesa Verde, and the top
21 of the Mesa Verde is average drilling depth of 4800
22 feet, and it's composed of three stratigraphic units
23 which I'll discuss in more detail in a few minutes.

24 Q. Okay, let's move to Exhibit Number 11. Would
25 you identify and review that?

1 A. Exhibit Number 11 is a structure map on top
2 of the Dakota. It's a contour interval of 50 feet, and
3 from that you can calculate an average dip of one-half
4 degree to the northeast. It's a very gentle dip.
5 There's no anomalous structural features on the map,
6 suggesting -- well, indicating that structure plays a
7 very minor part in trapping of hydrocarbons in this
8 area. In fact, we believe that all the trapping is due
9 to hydrodynamic or stratigraphic processes.

10 Q. All right. Let's move now to your isopach of
11 the Dakota, Exhibit Number 12.

12 A. Exhibit 12 is an isopach of -- or a net sand
13 isopach of the Dakota. It -- Let's see, it is
14 considered to be a net-pay map, and it correlates well
15 with production from the wells.

16 As I said before, there's 86 completions in
17 the Dakota. Contour interval on this map is ten feet.
18 The map shows that net pay of the Dakota ranges from
19 just under 60 feet to over 110 feet.

20 It's a very sand-rich system. There are a
21 wide range of lithologic characteristics because of the
22 variability of the environment of deposition, which
23 ranged from continental effluvial sands at the base of
24 the Dakota through near-shore sands in the middle of
25 the Dakota to offshore bars at the very top.

1 Because it is a very sand-rich system, the
2 reservoir can -- Well, the reservoir acts as a
3 continuous and very correlatable reservoir throughout
4 the unit.

5 Q. All right. Let's move now to Exhibit Number
6 13. Identify that, please.

7 A. Exhibit Number 13 is a structure map on top
8 of the Mesa Verde reservoir in the Rincon. It's got
9 the same contour interval as the structure map on top
10 of the Dakota from a previous exhibit. You can see its
11 got the same gentle dip to the northeast of about a
12 half a degree.

13 There are 71 wells that produce from the Mesa
14 Verde on the Rincon. The dots on the exhibit are the
15 wells that we drilled last year, in 1992.

16 Q. And that plat only shows Mesa Verde
17 completions or wells?

18 A. This -- That is correct.

19 Q. Okay. Anything else on Exhibit 13?

20 A. No.

21 Q. Let's move to the isopach, then, Unocal's
22 Exhibit 14. Would you review that?

23 A. Okay, Exhibit Number 14 is a net sand
24 isopach, based on the resistivity log using a cutoff of
25 25 ohm meters.

1 It compares very favorably with production
2 from the existing wells. Therefore, we use it as a net
3 pay map.

4 Contour interval is ten feet. The pay ranges
5 from just under 20 feet to over 90 feet.

6 There are three stratigraphic units in the
7 Mesa Verde, the lowest of which is the Point Lookout
8 sand. It's a regressive sand, it's fine- to medium-
9 grain and is not a very significant producer in the
10 Rincon.

11 Likewise, the Menefee, sitting on top of the
12 Point Lookout, is composed of very tight, fine-grain
13 sandstones, siltstones, shales and thin coals, and it
14 is not a significant producer.

15 The Cliff House is a transgressive sand
16 sitting on top of the Menefee. It's fine-grain, it's
17 got relatively good reservoir characteristics. It is
18 very continuous throughout the north and northeast part
19 of the unit, and it is our best Mesa Verde reservoir.

20 You can see the trend is northwest-southeast.
21 It essentially paralleled the paleoshoreline at that
22 time.

23 Q. All right. Let's now go to Exhibit Number
24 15, the isopach on the Gallup formation.

25 A. Exhibit 15 is an isopach of the lowest sand

1 member of the Gallup, and it is the most -- by far the
2 most significant producer in the Rincon unit, and you
3 can see that it runs generally east-west, or slightly
4 northwest-southeast trend, paralleling the shoreline in
5 the Rincon.

6 It varies from zero to over 40 feet in
7 thickness. It is a good reservoir out here. It is an
8 offshore sandstone. It's -- Where it exists is very
9 continuous. It's correlatable and it's predictable.

10 Q. Now, Mr. Seamount, is a written summary of
11 the geological characteristics of each of the
12 formations that are the subject of today's Application
13 included behind the tab marked "Index" -- or "Text", I
14 mean, in the front of the exhibit book?

15 A. Yes.

16 Q. What geological conclusions can you reach
17 about these formations?

18 A. They are all continuous across the reservoir.

19 Q. And these are the same --

20 A. Across the unit, I'm sorry.

21 Q. And these are the same formations and the
22 same geologic considerations that would be involved in
23 any subsequent application for downhole commingling?

24 A. Yes.

25 Q. Will Unocal call an engineering witness to

1 review the actual details of this proposed
2 administrative procedure for downhole commingling?

3 A. Yes.

4 Q. Were Exhibits 9 through 15 either prepared by
5 you or compiled under your direction?

6 A. Yes.

7 MR. CARR: At this time, Mr. Catanach, we
8 move the admission of Unocal Exhibits 9 through 15.

9 EXAMINER CATANACH: Exhibits 9 through 15
10 will be admitted as evidence.

11 MR. CARR: And that concludes my direct
12 examination of Mr. Seamount.

13 EXAMINATION

14 BY EXAMINER CATANACH:

15 Q. Mr. Seamount, what further development do you
16 see within the unit for each of these pools or zones?

17 A. There are a lot of -- There are many Dakota
18 -- undrilled Dakota locations based on 160-acre
19 spacing. There are probably 33.

20 As far as the Gallup is concerned, we've only
21 made eight completions in the Gallup on the Rincon. We
22 space them 160. I think there's something like 33 --
23 32 sections out there, so it would be, you know, well
24 over 100 potential Gallup locations.

25 And Mesa Verde -- These exhibits -- the maps

1 of -- the isopach of each zone shows only the wells
2 that are completed in that zone, and you can see there
3 are quite a few potential locations that we could drill
4 down the road when the economics are more favorable,
5 when we get outside the better trends.

6 Q. Do the different zones within the unit, the
7 Mesa Verde, Dakota and Gallup, do they exhibit
8 different producing characteristics within different
9 areas of the unit, generally?

10 A. I think our next witness could probably
11 answer that better, but I don't -- I haven't seen it
12 from our production out there.

13 EXAMINER CATANACH: I think that's all for
14 now. I may have something else later, but...

15 MR. CARR: All right, then at this time we
16 would call William L. Irwin.

17 WILLIAM L. IRWIN,
18 the witness herein, after having been first duly sworn
19 upon his oath, was examined and testified as follows:

20 DIRECT EXAMINATION

21 BY MR. CARR:

22 Q. Would you state your name and place of
23 residence?

24 A. William Irwin, Farmington, New Mexico.

25 Q. By whom are you employed?

1 A. Unocal.

2 Q. And in what capacity?

3 A. I'm the district petroleum engineer.

4 Q. Have you previously testified before this
5 Division and had your credentials as an engineer
6 accepted and made a matter of record?

7 A. Yes, I have.

8 Q. Are you familiar with the Rincon unit?

9 A. Yes, I am.

10 Q. Are you familiar with the Application filed
11 in this case?

12 A. Yes.

13 Q. In fact, it was filed pursuant to a
14 conversation you had with the Examiner; is that right?

15 A. Yes, that's correct.

16 Q. Have you prepared certain exhibits for
17 presentation here today in support of Unocal's proposed
18 administrative procedure for downhole commingling?

19 A. Yes, I have.

20 MR. CARR: Are Mr. Irwin's qualifications
21 acceptable?

22 EXAMINER CATANACH: They are.

23 Q. (By Mr. Carr) Mr. Irwin, would you refer to
24 what has been marked as Unocal Exhibit 16, identify
25 this exhibit and review it for Mr. Catanach?

1 A. Okay, just to begin with, though, I'd like to
2 say that these exhibits, 16 through 20, were prepared
3 following discussions with Mr. Catanach regarding some
4 of the economic parameters that would handle
5 commingling at the Rincon unit.

6 The first exhibit, Exhibit 16, is production
7 type curves for the Dakota, Gallup and Mesaverde
8 horizons at the Rincon unit.

9 These type curves are what our economics are
10 based upon. I'll get into the economics in a minute.
11 I'd just like to point out how these type curves were
12 constructed. Their basis is initial production rates
13 of 450 MCF per day for the Dakota, 200 MCF per day for
14 the Gallup, and 250 MCF per day for the Mesaverde --
15 Sorry, other way around. 200 MCF a day for the
16 Mesaverde, 250 MCF a day for the Gallup.

17 Those initial production rates are based on
18 our actual sales volumes from our recent infill
19 drilling program that was completed in 1992, and the
20 wells have come on production in the last four months.
21 So we feel that those are very realistic initial
22 production rates. These are not, you know, one-point
23 tests or anything like that.

24 Q. And so what you've done is, you've actually
25 averaged the actual produced volumes?

1 A. That's correct.

2 Q. Okay. And then how did you get your curves?

3 A. And then the declines predicted from that
4 point on, on this plot, which plots standard cubic feet
5 -- thousands of standard cubic feet per day, versus
6 years on the bottom scale, the declines there are based
7 on historic average declines that we see at the Rincon
8 unit: seven percent in the Dakota, nine percent in the
9 Mesaverde and eight percent in the Gallup.

10 That was also tempered with -- In the
11 Mesaverde case, the decline is also related to the
12 infill wells that have been drilled in the Mesaverde in
13 recent history.

14 Q. All right, Mr. Irwin, let's go to the
15 material behind Exhibit 17, and I would ask you to
16 identify those for the Examiner.

17 A. Exhibit 17 is production curves, thousands of
18 cubic feet per day versus calendar years. These
19 production curves are for 17 wells, which are infill
20 Mesa Verde wells drilled in the Rincon unit in the late
21 1970s and early 1980s. These production curves were
22 used to verify the type curves that you saw in the
23 previous exhibit.

24 Q. So the declines that you have reported were
25 based on the information in this portion of the exhibit

1 book?

2 A. That's correct.

3 Q. What is behind tab Exhibit 18?

4 A. Exhibit 18, again, is production curves, in
5 thousands of cubic feet per day of gas production
6 versus your annual time on the bottom scale.

7 These production curves were -- are for six
8 Dakota wells and five Mesa Verde wells that are part of
9 our 1992 drilling program that have come on production
10 in the last four months. So this demonstrates those
11 initial production rates that I referred to, that the
12 type curves were constructed off of.

13 Q. Let's go now to the material behind Tab 19.

14 A. Okay, 19 is the summary of economics that
15 this other work is derived from. We have three columns
16 here, a single-well summary of economics, dual and
17 commingled wells.

18 The single well in this summary is a Mesa
19 Verde. We estimate we can drill a Mesa Verde well for
20 \$550,000 in the Rincon unit. We used an average gas
21 price of \$1.40, which was kind of a current net back
22 price we're seeing at the Rincon unit.

23 We used that initial production rate on the
24 type curve of 200 MCF per day, and the decline
25 according to the type curve, and we used calculated

1 recoverable reserves for a single Mesa Verde on the
2 Rincon of 700 million cubic feet, which is .7 BCF, and
3 we see a rate of return from our calculations of 1.2
4 percent. This is unacceptable at Unocal's rates for
5 investment opportunities.

6 The next two columns are a dual well and a
7 commingled well. Assumptions for the dual-well
8 economics is a \$950,000 drilling cost. Once again the
9 gas price is kept constant at \$1.40. Initial total
10 rate of 650 MCF per day is the Dakota Horizon of 450,
11 plus a Mesa horizon of 200, and the recoverable
12 reserves calculated were 2.527 BCF. This yielded a
13 rate of return of 13.9 percent, which was below
14 Unocal's acceptable investment opportunity limits.

15 Typically in the industry, between 15 to 20
16 percent is what is considered an acceptable investment
17 opportunity.

18 And then in the third case, we show a
19 commingled well that's for \$750,000 drilling cost. The
20 \$200,000 reduction in drilling cost is essentially the
21 difference between a dual well and a commingled well,
22 is essentially \$100,000 relating to surface facilities
23 and equipment that you don't require in a commingled
24 well, as well as a tubing string that's not required,
25 and about \$100,000 in incremental drilling costs for a

1 dual well over a commingled well, because of the
2 differences in sizes of casing, so --

3 Q. If we look at this exhibit, in your cost
4 column, those are actual costs based on recent
5 activity?

6 A. That's correct. We drilled -- We had a 24-
7 well drilling program in 1992, which would equate to
8 about this commingled well cost. We drilled that size
9 hole, 5-1/2-inch casing was set, and to date our
10 average well cost has come in right at between \$750,000
11 and \$800,000. So it compares -- This is directly
12 derived from that program.

13 Q. And you've just estimated a gas price?

14 A. Yeah, gas price, again, relates to our
15 current net back out at the Rincon, and that was held
16 constant.

17 Q. Your initial total rate relates back to
18 Exhibit Number 16, correct?

19 A. Right, and it's the same as in the dual well
20 case.

21 Reserves are slightly increased because of a
22 lower operating cost associated with a commingled well
23 versus a dual well.

24 Q. And these reserve figures were based on what?
25 Volumetric calculations?

1 A. Volumetric calculations and related to the
2 parent wells off of historic decline curve analysis.

3 Q. And then the others are just calculations --
4 are a result of those initial parameters?

5 A. Right, so the resulting rate of return is
6 greater than 20 percent in the commingling case, which
7 is acceptable in our view.

8 Q. In your opinion, Mr. Irwin, is it
9 economically feasible for Unocal to drill and complete
10 separate wells to produce the remaining reserves in the
11 Gallup and Mesa Verde formation in the Rincon unit?

12 A. No, it is not. Our analysis here indicates
13 that we would not drill single Mesa Verde development
14 wells.

15 Q. Will the value of the commingled production
16 in these wells exceed the value of the production from
17 the individual zones?

18 A. Yes, it will.

19 Q. In fact, you will recover production that
20 otherwise would not be recovered?

21 A. That's correct. And actually we estimate
22 that in the Mesa Verde reservoir alone, there's up to
23 17 BCF of reserves that we otherwise wouldn't drill
24 for.

25 Q. Has production from these same formations

1 been commingled in the wellbores of other wells in this
2 unit area?

3 A. We have currently in the Rincon unit seven
4 commingled wells. Three of those are the recent
5 applications we've made, two of them are Dakotas, and
6 one of them is Gallup, a historic Gallup.

7 Q. Based on this experience, do you have an
8 opinion as to whether or not the reservoir
9 characteristics of these formations are such that
10 underground waste will not occur as a result of the
11 proposed commingling?

12 A. Yes.

13 Q. And what is that opinion?

14 A. That there will be no waste.

15 Q. Now, let's go to the material behind Exhibit
16 tab 20. Would you review that for Mr. Catanach?

17 A. Twenty is a sample allocation formula that
18 would accompany individual applications and
19 administrative procedure.

20 This is just to demonstrate that -- And this
21 would be based on our C-116s, which is an initial test
22 rate, which is not the same as production. It is
23 likely two atmospheres. Each zone would be separately
24 tested with the packer separating the zone, and then an
25 allocation for both gas and oil, an allocation would be

1 derived that's shown in this exhibit.

2 I'd like to point out that these rates, like
3 on the sample calculation, would be likely higher than
4 you would actually produce because of the lower back
5 pressures of producing to atmosphere during the test.

6 Q. The allocation should remain valid using this
7 testing procedure?

8 A. Yeah. The allocation is relative, though,
9 and it would remain a valid -- a measure.

10 Q. And in the future on a well-by-well basis you
11 would recommend an allocation be set for each well
12 based on separate testing of each zone?

13 A. Right, because each well has individual
14 characteristics.

15 Q. How does Unocal propose the administrative
16 procedure that it's seeking in this hearing actually
17 work?

18 A. We would still apply on an individual-well
19 basis, as outlined in Rule 303-D, and meet all the
20 reservoir parameters that are required, pressure, fluid
21 compatibilities, et cetera.

22 So the Application would take the same form
23 as it has.

24 Q. But you wouldn't be required to give notice
25 to every interest owner in the unit?

1 A. Correct.

2 Q. And you wouldn't also, with each of these, be
3 required to come in and re-explain the economic
4 considerations behind your commingling program?

5 A. Correct.

6 Q. Other than that, you would simply follow Rule
7 303-D?

8 A. 303-D, yes, that's correct.

9 Q. In your opinion, will approval of this
10 Application and further development of the Rincon unit
11 area by downhole commingling of the Mesa Verde and the
12 Gallup with Dakota production be in the best interests
13 of conservation, the prevention of waste and the
14 protection of correlative rights?

15 A. Yes.

16 Q. Will approval of this Application result in
17 the most efficient and effective way of producing the
18 remaining reserves in the Rincon unit?

19 A. Yes, it would, and in fact we feel that
20 without commingling there's -- well, with commingling
21 we will recover reserves that would otherwise not be
22 recovered in this unit.

23 Q. Were Exhibits 16 through 20 prepared by you
24 or compiled under your direction?

25 A. Yes.

1 MR. CARR: At this time, Mr. Catanach, we
2 would move the admission of Unocal Exhibits 16 through
3 20.

4 EXAMINER CATANACH: Exhibits 16 through 20
5 will be admitted as evidence.

6 MR. CARR: And that concludes my direct
7 examination of Mr. Irwin.

8 EXAMINATION

9 BY EXAMINER CATANACH:

10 Q. Mr. Irwin, there was a number thrown out
11 earlier about 75 possible wells that this commingling
12 would occur in within the unit.

13 A. Yes, I can give you detail on that if you
14 would like.

15 Q. Well, maybe not detail, but generally are
16 those wells -- They have not been drilled yet?

17 A. No, that's a total number. You heard Mr.
18 Seamount testify that there was 33 possible undrilled
19 locations, Dakota locations, and those would be Dakota
20 locations you could commingle with an uphole zone, be
21 it a Gallup or a Mesa Verde, that otherwise we wouldn't
22 drill for singly, so that's 33.

23 There's 23 current producing Dakota wells
24 that we could complete a second zone in, be it a Gallup
25 or Dakota -- or Gallup or Mesa Verde zone, uphole.

1 And the balance there -- What's that get us
2 to? 56? The balance to take us to 75, I think, would
3 be another 24? Is that correct? No, 14.

4 MR. STOVALL: 19?

5 THE WITNESS: 19, let's try 19. There.

6 Now, that is actually the number of wells
7 that -- Of the recent 24-well drilling program that we
8 just completed last year, about 19 is the number of
9 wells that we could commingle in that last group of
10 drilling wells that we just completed.

11 I think we've submitted five of those prior
12 to this hearing. Three of them were approved by you.
13 So that would leave what? Sixteen more that we could
14 apply for.

15 Q. (By Examiner Catanach) Would those recently
16 drilled wells -- are those all Dakota completions?

17 A. They're all Dakota, and they have a second
18 zone, either a Gallup or a Mesa Verde.

19 Currently they're all completed with a packer
20 between the zones. However, if we -- if they meet the
21 individual well requirements for pressures, fluid
22 compatibilities, et cetera, when we apply, then each
23 one of those could possibly be a commingled well.

24 Q. Is it my understanding they're all dually
25 completed?

1 A. No, they have a single string isolating the
2 zones. Only one site of the Dakota is on production.
3 We can't bring the second site on at this time.

4 Q. Okay. Now, there's three different possible
5 producing zones in here. How do you determine which
6 two in any given wellbore will be commingled?

7 A. Generally it would be depending on the
8 geological characteristics, if you're in an area that's
9 better for Gallup or an area that's better for Mesa
10 Verde for your second zone, or if it's -- whichever
11 looks economically the best. The Gallup is -- It's
12 generally a tradeoff. They're fairly comparable zones.

13 Unless you can get into an area, as Mr.
14 Seamount suggested, where there's a Tocito sandbar
15 associated with the Gallup, then you could get a better
16 Gallup. But in that case we don't have very many of
17 those locations.

18 As a matter of fact, the Gallup -- the Tocito
19 sandbar in the southern part of the end of this is
20 pretty much drilled up. So it would be just a
21 fractured-shale type of Gallup we'd be going after, and
22 that has not proved to be very significant at this
23 point. So it's really -- Mesa Verde or Gallup is
24 really a tradeoff, you could go either way on it.

25 Q. Is it conceivable that Unocal might want to

1 commingle all three zones in any of these wellbores?

2 A. We -- well, we run into -- allocation -- It
3 becomes more difficult to do when you have more than
4 two zones in a wellbore, and we have not commingled
5 more than two ever.

6 I can't see it at this point in time. It is
7 conceivable, but it's not our general practice.

8 Q. Okay. The initial production rates that
9 you've got for all three zones, those are based on
10 recent completions; is that correct?

11 A. That's correct.

12 Q. And that's just an average?

13 A. That's an average. And the actual
14 deliverabilities to pipeline were as reported on our
15 C-115s.

16 Q. Do you know what the range of those
17 production --

18 A. Yes.

19 Q. -- tests have been?

20 A. The Dakota Range is anywhere from a low of
21 about 150 MCF per day to a high of closer to 600 MCF
22 per day. And the Mesa Verde ranges from a low of about
23 50 MCF per day up to 300 MCF per day, and that's
24 obvious in those exhibits.

25 However, it should be noted that these -- the

1 Dakota and the Mesa Verde are prorated pools, and the
2 maximum allocation that we see in a Mesa Verde 320-acre
3 proration unit has been historically above 500 MCF per
4 day.

5 So that has to be shared between two
6 wellbores within that 320 if these are infill wells.

7 Generally, your maximum that we've ever seen
8 allocation between two wells is about 250 MCF per day
9 if you give half to each well.

10 So regardless of the initial production or
11 the capability of the well, you are limited by the
12 allocation.

13 EXAMINATION

14 BY MR. STOVALL:

15 Q. That raises another question then.

16 If you've got a commingled stream and one of
17 the formations is restricted by the proration formula
18 and the other one is not, how would you manage that?

19 A. You're still limited by your -- Well, you
20 allocate between the zones, and you're still limited by
21 your allocated zone.

22 Q. In other words, if you reach your limit you
23 have to shut in the whole well?

24 A. That's correct. So it would be your limiting
25 factor, your allocated zone or prorated zone.

EXAMINATION

1
2 BY EXAMINER CATANACH:

3 Q. Okay, you said -- That's the Mesa Verde
4 you're talking about that's been --

5 A. (Nods)

6 Q. You've seen a maximum of about 250?

7 A. About 500 for the entire proration unit, so
8 you're generally sharing that between two wells.

9 Q. How about the Dakota?

10 A. The Dakota is prorated, and I don't have a
11 number for allocation, a maximum that we've seen for a
12 proration unit. I don't want to guess.

13 Q. But you'd still have probably the same
14 problem with the Dakota and --

15 A. The Dakota has to share as well.

16 Q. Is there any danger in having to shut these
17 wells in, these commingled wells in?

18 A. Should not be. If we meet the pressure
19 requirements under the 303-D, then there's no danger of
20 cross-flow.

21 I would not want to shut them in for extended
22 lengths of time.

23 But Unocal has historically been able to sell
24 all the gas from the Rincon unit. We have not had any
25 shut-in periods for any extended lengths of time since

1 we've gained operatorship and the markets have been
2 deregulated.

3 There -- If you did get to an extended shut-
4 in, we have packers in the hole so you can isolate the
5 zones, if you need to slide a sleeve to isolate a zone.

6 Q. The wells will be equipped where you could
7 just shut one zone off?

8 A. Currently all the new wells that we've
9 drilled, we have packers isolating the zones with a
10 sliding sleeve. We shift that sliding sleeve, you
11 could produce both zones up the tubing.

12 So yes, the answer is, you can isolate the
13 zones. And we've put that in there so you could also
14 test the zones independently as well.

15 Q. Okay. You've got, in your economic summary,
16 a difference of \$400,000 for a single well versus a
17 dual well. Why is that such a big differential there?

18 A. Well, the dual well is a deeper horizon,
19 you're drilling to the Dakota. Mr. Seamount referred
20 to the drilling depths. A single well in shallower --
21 in -- not as deep, it also is a narrower wellbore. It
22 typically would drill either 5 1/2 or -- probably set
23 5 1/2 casing. Dual well, you'd go to 7 1/2 with two
24 strings of pipe.

25 In a single well you're completing only in a

1 single zone. And in a dual well you've got the Dakota
2 you're completing, as well as the uphole hole, be it a
3 Gallup or a Mesa Verde.

4 So there's significant differences all the
5 way along.

6 In addition to the additional surface
7 facilities necessary for a dual well, you've got to
8 have two dehydrators, two separators, two meter runs,
9 dual facilities all the way on the surface. Single
10 well, obviously you don't have that, or in a commingled
11 well.

12 EXAMINATION

13 BY MR. STOVALL:

14 Q. Actually, it seems to me that might be a bit
15 of a distorted comparison, because in order to produce
16 two zones you'd have to have two single wells, though;
17 is that not correct?

18 A. Well, a Dakota --

19 Q. You're saying the Dakota's already there, so
20 that's a sunk cost, and this is the incremental cost?

21 A. The Dakota, you could actually justify
22 drilling for independently, you may be able to. But
23 that's not the issue.

24 It's whether you could go after these uphole
25 zones, the Mesa Verde or the Gallup. And it's just

1 demonstrating that a single well, you would not drill
2 for the Mesa Verde or the Gallup.

3 Q. Okay, but your economics look even better if
4 you put in the cost of both a Dakota well and a
5 shallower well.

6 A. Yeah, you need to combine something out there
7 to make it economic.

8 Q. In other words, the dual-well column and the
9 commingled-well column reflect the cost to drill a well
10 and produce from two zones, whereas the single-well
11 column only reflects the cost to drill and produce from
12 the shallower zone?

13 A. Correct.

14 EXAMINATION

15 BY EXAMINER CATANACH:

16 Q. What do the economics look like as far as
17 drilling a Dakota well, producing the Dakota reserves
18 and depleting the Dakota and coming up and producing
19 the Mesa Verde and the Gallup or whatever?

20 A. Well, the majority of the Dakota wells that
21 we have in the unit, aside from the recent drilling
22 program, are 30-plus years old, 30 to 40 years old.

23 So the lifetime of the Dakota reserves, and
24 there's still most of them on production. So the
25 lifetime of your Dakota reserves are 40-plus years.

1 So if you were to wait to plug back to the
2 Mesa Verde or Gallup on any infill wells, the present
3 value of that is zero because it would be too far in
4 the future to have any present value.

5 MR. STOVALL: Is there also a possibility
6 that your wellbore is not going to be any good by then?

7 THE WITNESS: And -- Yes.

8 Q. (By Examiner Catanach) I know we previously
9 discussed -- Before the hearing we previously discussed
10 thresholds of initial production rates that would
11 qualify for downhole commingling.

12 You've got a number of 650 MCF a day here.
13 Is that about what you're looking at in terms of being
14 able to commingle zones?

15 A. Well, again that's the average that we've
16 seen from our recent infill drilling program. For a
17 Dakota our average -- of the first six Dakotas we've
18 delivered to date in the last four months, and the
19 first five Mesa Verdes that we've delivered in the last
20 four months.

21 So that's a realistic average delivery number
22 that we've seen initially.

23 And economically, as I stated before, you're
24 limited by your allocation, and you have to share that
25 allocation with the parent wells.

1 So I think generally out here you're not
2 going to see any wells that are going to exceed this.

3 Now, on an individual well basis we will
4 apply, and so the parameters can change on it, because
5 every well has its own reservoir characteristics.

6 But generally, this is what we've seen to
7 date on the new wells we've applied for.

8 Q. Well, are your existing Mesa Verde wells --
9 Are they producing at an average of 250 MCF a day?

10 A. No, no, the current Mesa Verdes are probably
11 on the order of 100 MCF a day.

12 The history for the infill wells that were
13 drilled in the late 1970s and the early 1980s is
14 included under Exhibit 17, and there's a -- Every well
15 has its own characteristics, but you can see if you go
16 to just about any well it varies, but it will be
17 anywhere from 200 MCF a day down to 50 MCF a day, so...
18 And that's off of infill wells drilled in the last 10
19 to 15 years.

20 Prior to that, the original parent wells are
21 probably at some lower production rate than this, being
22 that they would be at lower pressures.

23 Q. So realistically, with the infill -- Well,
24 the new wells that you'll drill and complete in the
25 Dakota and Mesa Verde, they'll generally have a higher

1 allowable at 250, they may 400 or 450 or whatever,
2 depending on what the parent well makes?

3 A. That's correct.

4 Q. So you may have an allowable for that well
5 of, you know, whatever, 800 or 900 a day or something?

6 A. Combined. You could conceivably have one at
7 900, yes.

8 Q. In terms of the Division setting an initial
9 producing rate, saying, yes, we can approve these, and
10 no, we think this rate's a little too high, what's your
11 opinion of that?

12 A. I wouldn't want to set a rate, because the
13 economics aren't just a rate. It depends on the --
14 obviously, the reserves and the operating costs and
15 other parameters, and your initial capital costs that
16 go into economic calculations.

17 So to say that one rate is economically
18 viable over another rate isn't really the question.
19 It's whether the well is economically viable.

20 And I've just demonstrated the economics
21 here. I mean, we can do a whole range of economics for
22 different rates. But your reserves don't really
23 change, and so the economics are not going to vary that
24 much, and in that your allowable limited -- you know,
25 you're not going to have a well that's going to be

1 capable of two to three million a day; it's always
2 going to be within that 500 MCF or less for that Mesa
3 Verde horizon.

4 So in general, your single-well economics,
5 like for the Mesa Verde stand-alone case, are always
6 going to be poor, regardless of how the parent well --
7 or how good an initial rate you get. You're going to
8 be tapped out, and it's still likely not economic to
9 drill that stand-alone Mesa Verde or Gallup.

10 MR. STOVALL: In other words, there is no
11 rate for either formation above which you would say
12 commingling should not be permitted? Is that the short
13 answer? Or do you have a short answer for that
14 question, I guess, is the --

15 THE WITNESS: Well -- Do you want to resubmit
16 this, or can I show that?

17 MR. CARR: We have a rate-of-return-based
18 sensitivity graph that might be useful, we could mark
19 as Unocal's Exhibit 21, and Mr. Irwin could review
20 that. I think that might respond to some of your
21 questions.

22 EXAMINER CATANACH: Okay, let's do that.

23 MR. CARR: How many copies do you have?

24 THE WITNESS: One copy. I'll have to send it
25 back to Mr. Catanach and --

1 MR. CARR: Can you review it, or do you --

2 THE WITNESS: Yeah.

3 MR. CARR: -- make copies?

4 THE WITNESS: No, go ahead and hand it in and
5 we'll get copies later.

6 This plot that I will show as rate-of-return
7 sensitivity analysis for that stand-alone Mesa Verde
8 drilling cost of \$550,000.

9 And what it demonstrates is that because of
10 your -- because of the 320-acre proration allowable,
11 even if you max out -- even if you get a very good
12 well, a well that's capable of, let's say, a million
13 cubic feet per day of production, you're limited by
14 your proration, your allocation for that 320-acre
15 proration unit.

16 So you still have to share that proration,
17 some percentage, with the parent well, that allocation
18 with the parent well.

19 But your rate of return is never going to be
20 significant, and if you can see, it will be somewhat --
21 around 20 percent or less for that single Mesa Verde,
22 so...

23 And if you divide it 50-50, the allocation
24 between the parent well and the infill, your rate of
25 return on it, if you went to 250 on this bottom scale

1 there, you could see -- It would be what? Something
2 less than 15 percent, I believe.

3 MR. STOVALL: It's actually closer to seven
4 percent, it looks like.

5 THE WITNESS: Oh, seven percent, yeah. I
6 can't...

7 So in any case, it's not something we would
8 probably consider economic to drill a stand-alone Mesa
9 Verde or Gallup out here. So we would feel that you
10 would have to commingle that second site.

11 Q. (By Examiner Catanach) Realistically,
12 though, you're not going to have a 50-50 split on the
13 Mesa Verde?

14 A. No, it could be somewhat higher than that,
15 but it's still probably something we would not do.

16 EXAMINATION

17 BY MR. STOVALL:

18 Q. What you're saying is, even if you got to put
19 all of the production of a very good well, if you only
20 had the one well there, you're still going to be
21 limited in your rate of return to somewhere in the low-
22 20-percent range because of the allocation factors?

23 A. In the maximum case, yeah, which is why we
24 don't drill any Mesa Verde or Gallup wells stand-alone.

25 We have -- In this recent program they're

1 actually targeted for the Dakota and then bring the
2 second site in.

3 Q. Just hypothetically, if the -- always
4 hypothetically when you talk allowables -- if the
5 market situation were such that that allowable were
6 raised, would that -- I mean, that would obviously
7 change your -- In other words, your economic line here
8 flattens out because of your allocation formula, not
9 because of the --

10 A. Right.

11 Q. -- capacity of the well?

12 A. Yeah, and like I said, that maximum that
13 we've ever seen for a 320 proration unit is 500 MCF per
14 day to share between the parent well and the infill
15 well.

16 It could go up, hypothetically. However, the
17 productivity of these wells -- This reservoir, the
18 Blanco-Mesa Verde and the Rincon unit is in its
19 depleting stages. Reservoir pressures are low. Parent
20 wells are under a thousand -- probably closer to 600
21 pounds or less. Infill wells we've seen to date are
22 about 1000 pounds.

23 So it's a depleting reservoir, so you're not
24 going to get significant initial flow rates.

25 Q. Is there any concern that those allocation

1 factors could go down? I mean, is that one of the
2 things that Unocal worries about, is whether the
3 allocation -- the level the allowable could go down?

4 A. We always worry about that.

5 Q. Since you've raised this subject, it's not
6 really on this issue, but has Unocal looked at the
7 possibility of seeking a minimum allowable in either of
8 the pools?

9 A. We have in the South Blanco-Pictured Cliffs.
10 We --

11 Q. You didn't ask for one, but you got one
12 there; isn't that correct?

13 A. Yeah, we made an effort to de-prorate that
14 pool, but we did receive a minimum allowable there.

15 We haven't addressed it in either the Blanco-
16 Mesa Verde or the Basin-Dakota, but we are looking into
17 that with some other operators.

18 EXAMINATION

19 BY EXAMINER CATANACH:

20 Q. On an individual application for downhole
21 commingling basis, maybe it would be more enlightening
22 to look at not really the initial production rates but
23 what kind of allowables you're sharing, what kind of
24 rates this well may be limited to, in terms of
25 determining whether it should qualify for commingling.

1 Do you think that's a correct statement?

2 A. Yes. We wouldn't object to that, and we're
3 not presenting these economics to remove that
4 consideration in the rules completely.

5 The idea here is to give you a general
6 feeling for what our economics look like in the Rincon
7 unit for commingling.

8 Of course, every well, like I said, has its
9 individual characteristics, and it should likely be
10 addressed on an individual-well basis in an
11 administrative procedure.

12 Q. Well, do you intend to address the economics
13 on an individual-well basis?

14 A. That's --

15 MR. STOVALL: I think he's saying, do you
16 intend to ask him to?

17 MR. CARR: That's the question.

18 Q. (By Examiner Catanach) Well, you're saying
19 it should. I don't know how much you want to go into
20 it on the --

21 EXAMINATION

22 BY MR. STOVALL:

23 Q. Well, let me back up again. You know, where
24 we're coming from, I think, where the Examiner is
25 coming from is, is there a point at which commingling

1 should not be allowed and basically we're talking at a
2 production level?

3 If I hear your answer correctly, you're
4 saying no, there is no production level, given both the
5 prospective deliverability of a well and the allowable
6 formula and historic levels of allowable, at which
7 commingling should not be considered, because even if a
8 well is a high potential it is still going to be
9 restricted, and therefore production will always be
10 based upon historical information at a level at which
11 commingling should be allowed; is that correct?

12 A. Correct. But that is just, of course, one
13 parameter, and that's what I'm saying. When we look at
14 the economics of commingling, the rate -- whether we
15 talk about the initial rate, but also the allowable.

16 But there's other parameters that go into
17 whether a well should be economically allowed to
18 commingle beyond -- We're talking about reserves and et
19 cetera into the economics.

20 So it's not just rate. And so that's why I
21 would hesitate to pin -- put my finger on a rate,
22 initial production rate, to commingle on a --

23 Q. Well, let's back it up again and then look.

24 Assume that -- Take the allowable question
25 out of the picture for the moment. If there were no

1 production restrictions on the well, regulatory
2 production restrictions, and you got a good well, there
3 is a threshold at which that could be an economic well
4 for you; is that correct?

5 A. That's correct. But then again, it also
6 depends on the reserves associated with that well. A
7 rate does not --

8 Q. The rate over a period of time gives you the
9 total return on the well, is what you're saying?

10 A. Right, but as I submitted in Exhibit 16, the
11 type curve, production type curve, all these are tight
12 gas sands for the most part. They start at high
13 initial production rates, rapidly decline, then level
14 off at some constant decline throughout their life.

15 So the area under that curve is then the
16 reserves associated with that well, and each of these
17 different formations has their own characteristic.

18 But it's not rate alone that determines the
19 economics. So it's obviously other parameters:
20 investment, operating costs, which are generally the
21 same for most operators, but it's -- The big one is the
22 reserves associated with the well.

23 And at this late stage in the life of these
24 reservoirs, the Blanco-Mesa Verde and even the Basin-
25 Dakota and the Largo-Gallup, there's -- the reserve,

1 the remaining reserves associated with each infill well
2 is -- it's getting smaller every day.

3 And the numbers that I quoted were, I
4 believe, 700 million cubic feet for the Blanco-Mesa
5 Verde, and that's -- It's not a significant reserve
6 volume associated for a well.

7 Q. Let me ask the question in another -- or
8 another question on that.

9 And again taking the allowable restrictions
10 out of the picture, given those things that you just
11 talked about, from a pure engineering standpoint would
12 you say that the most economically effective way to
13 produce this area would be through commingling like
14 this, regardless of rates, just to keep your costs
15 lowest and maximize your return based upon the
16 reserves?

17 A. By far and away the most economic. And I
18 think in the future, in the San Juan basin, we'll see
19 more commingling to maximize the amount of reserves
20 attained at the late stages of the lives of these
21 reservoirs.

22 Q. Now, given that fact, is there anything from
23 an engineering standpoint that would cause you concern,
24 so far as either effect on the wellbore or effect on
25 the reservoir or anything that could mechanically

1 happen, that might conceivably cause waste because of
2 commingling, at any rate?

3 A. Not if proper production practices are
4 followed, and --

5 Q. What do you -- What are proper production
6 practices?

7 A. Well, you would have the ability to isolate
8 your reservoirs, and that's the key. If extended
9 periods of shutdown are foreseen, if you have the
10 ability to isolate reservoirs then they're -- and
11 regardless of pressure considerations, but you have the
12 ability to isolate reservoirs, then that will
13 effectively eliminate any possibility of waste or
14 cross-flow or --

15 Q. In other words, if you got some -- for some
16 reason you got a substantial pressure differential
17 between the reservoirs, the ability to say, okay,
18 isolate them and prevent the --

19 A. Well, we have -- In Rule 303-D, or -C, you're
20 required to be within 50-percent pressure difference
21 between the two zones, taken to a common datum.

22 With that initial hurl rate, that's the
23 starting point. I mean, from there you can ensure that
24 you're likely not going to have cross-flow or have any
25 waste associated with that commingled well.

1 But then the next step is to ensure that you
2 have ability to isolate if necessary.

3 Q. Next question would be is if, basically,
4 there were no limitations put on rates, or commingling
5 were allowed under this procedure, would you recommend
6 that there should be any sort of periodic testing to
7 make sure that the allocation ratios continue to be
8 correct over a period of years?

9 A. I don't know if I should -- that would be --
10 We don't see the need to allocate.

11 Q. I'm asking you as an engineer --

12 A. Yes --

13 Q. -- not as a regulator or any- --

14 A. No --

15 Q. Is it likely to change? You've given a
16 method of doing it which is based upon initial
17 production rates.

18 A. Right. And no, because the reservoirs that
19 we see, that we work with here and the ones we're
20 applying for, generally follow, as you can see in our
21 type-curve analysis, the same type of decline
22 performance, the same shape of curve and the same
23 his- -- though they have slightly varying historic
24 decline rates, they're all in the same trend, no,
25 beyond your initial allocation you should not be

1 required.

2 If you had different types of reservoirs
3 associated here, that had different decline-curve
4 shapes, then you might want to consider testing down
5 the road.

6 But for these reservoirs, no, beyond the
7 initial tests I don't think it would be necessary,
8 especially at this late stage in the completion of the
9 life of most of these reservoirs.

10 Q. And the only correlative-rights issue is that
11 of the non-cost-bearing interests, the royalties and
12 overrides; is that right? Because that's the only
13 difference in who shares in production revenue?

14 A. I believe that was addressed in the --

15 Q. Yeah, I think that -- I'm just -- You know,
16 you heard the landman's testimony, and is that your
17 understanding, I guess, is what I'm --

18 A. (Nods)

19 Q. It's all managed by -- All the wells are
20 operated by Unocal, so there's --

21 A. Correct.

22 Q. You don't have operator differences in terms
23 of how things would be done?

24 A. No, and I believe all those royalty owners
25 ratified the unit agreement. And when they do that,

1 it's my understanding -- Well, I won't speak on that,
2 it's not my area.

3 MR. STOVALL: Yeah, you're getting into
4 Carr's area.

5 MR. CARR: You're just practicing law.

6 MR. STOVALL: That's all right, we practice
7 engineering every now and then.

8 MR. CARR: Sort of, sort of.

9 Q. (By Mr. Stovall) And that -- I do have a --
10 When we finish, I do have question that probably needs
11 to go to the landman.

12 EXAMINATION

13 BY EXAMINER CATANACH:

14 Q. The 17 BCF total reserves, that's the -- that
15 would be the resultant recovery of drilling the
16 additional wells?

17 A. That is our current reserve number that we
18 carry on our books on a gross basis for proved but
19 undeveloped reserves in the Mesa Verde, in the Rincon
20 Unit.

21 Q. That's just the Mesa Verde?

22 A. Yeah, that's just the Mesa Verde number.

23 There's also associated undeveloped reserves
24 in the Gallup. But at this time we wouldn't develop
25 those reserves without the ability to commingle.

1 That's what that number is related to.

2 Q. Okay. The Dakota wells that you propose to
3 drill or will drill, are those all infill?

4 A. The 33?

5 Q. Right.

6 A. Yes. The Dakota is -- The entire unit is
7 completely drilled up on 320-acre spacing --

8 Q. In the Dakota.

9 A. -- and half of the unit is drilled up on the
10 160-acre spacing.

11 So the remaining 33 wells that I stated, that
12 would be the -- that would completely infill drill the
13 Dakota on 160-acre spacing.

14 Q. So all the wells that you would propose to
15 commingle should have a parent well in the Dakota, may
16 or may not have a parent well in the Mesa Verde?

17 A. For the most part, has a parent well in the
18 Mesa Verde, but in some cases may not.

19 Q. Maybe it would be useful, when you apply for
20 these individually, to kind of summarize what's going
21 on within the whole proration unit, and maybe give a
22 forecast of what kind of production you're getting from
23 the parent well and what you think you'd be allowed to
24 produce from the new well. That may be really useful.

25 A. That's a good point, yes.

1 Q. Along with initial rates and that sort of
2 thing.

3 The allocation -- Now, you're not proposing
4 that this allocation be used for each well?

5 A. No, that's just a sample --

6 Q. Okay.

7 A. -- of the type of calculation that goes into
8 an allocation.

9 Q. Okay. You would propose to test individual
10 zones when the well is drilled?

11 A. Correct.

12 Q. How long?

13 A. We do a seven-day test and attempt to
14 stabilize the wellbore after extensive cleanup of frac,
15 so the -- of completion fluids, so we have no
16 completion fluids associated with it. So it's a seven-
17 day test.

18 And then we go into a seven-day shut-in and
19 measure the pressure.

20 Q. Okay.

21 A. And that production rate that's shown there
22 would be the last point from that seven-day test.

23 Q. Something I hadn't thought about is, for
24 prorated pools you're required to run an annual
25 deliverability test; is that correct?

1 A. Yes.

2 Q. How would you -- Would you even think you
3 would have to do that under the proration rules if you
4 were commingled? I haven't ever thought about this.

5 A. Neither have I.

6 MR. STOVALL: That may answer my question
7 about the --

8 EXAMINER CATANACH: It may.

9 MR. STOVALL: -- addressing the ratios if
10 you've got to do that anyway.

11 Q. (By Examiner Catanach) But would you still
12 be capable, the way you propose to complete the wells,
13 to do that?

14 A. Our current production practice, we would be
15 capable.

16 MR. STOVALL: You mean with your packer that
17 you put in your --

18 THE WITNESS: The packer --

19 MR. STOVALL: -- to isolate the zone and test
20 each --

21 THE WITNESS: I don't know if that's a viable
22 long-term solution, because with -- and this is a
23 production concern -- with a sliding sleeve and a
24 packer, which gives you the ability to isolate zones
25 and then commingle zones, they tend to scale over

1 years, your sliding sleeves do. And when they do scale
2 it becomes difficult to shift that sleeve, and it would
3 become -- it could, down the road, become difficult to
4 isolate zones.

5 So, you know, if you have to do it on an
6 annual basis, I don't know if -- I don't know how well
7 that would work, because we haven't done it beyond one
8 year, so --

9 EXAMINER CATANACH: And I'm not sure that it
10 would be required. I think we'd have to talk to Frank
11 Chavez up in Aztec and see what he thought about it.

12 MR. STOVALL: I think where it would become
13 an issue is probably on the better wells which had a
14 high deliverability in their early life. He's going to
15 want to look and see what your decline is, because that
16 is going to affect your allowable on those wells --

17 THE WITNESS: That's correct.

18 MR. STOVALL: -- in both zones.

19 THE WITNESS: So again, it might be on an
20 individual-well basis.

21 MR. STOVALL: Well, let's take that. And you
22 probably don't have -- Since you haven't thought of the
23 question you probably don't have the answer, but is
24 there a production threshold for either zone below
25 which you would say deliverability probably ought not

1 to be required?

2 You don't know what the number is, of course,
3 because you haven't thought about it, right?

4 THE WITNESS: No, but that would also come
5 back to the issue on prorationing minimum allowables
6 too. It may be related to that threshold.

7 EXAMINER CATANACH: Interesting.

8 Anything else?

9 MR. STOVALL: It's easy.

10 I do have a question, and I will throw it out
11 and either let you or Mr. Johnson answer it, is, when I
12 look at the participating area map -- What is that?
13 Five?

14 MR. CARR: Three.

15 MR. STOVALL: Three?

16 -- the Gallup participating area is only 320
17 acres. From the discussion here I gather that there
18 are a whole lot more Gallup wells than just the ones
19 within that defined participating area, that you might
20 be talking about bringing under this commingling
21 program; is that correct?

22 Go ahead, Mr. Johnson. Why don't you come up
23 closer where the court reporter can hear you, and
24 then --

25 MR. JOHNSON: Yes. I'm sorry. There is more

1 Gallup wells that will be brought into the program --

2 MR. STOVALL: How will --

3 MR. JOHNSON: -- are there not?

4 THE WITNESS: Yeah, I can address that if
5 you'd like.

6 MR. STOVALL: Well, you can answer the
7 question about whether there are wells outside that
8 participating area that would be brought in.

9 THE WITNESS: Currently, in our recent
10 program, there's three undesignated Gallups that could
11 be brought in there, and there's not -- They're
12 designated because they're more than a mile away from
13 the current Largo-Gallup pool boundary.

14 But there is a possibility to bring more
15 Gallup -- The flow rates we've seen or the production
16 rates we've seen to date on those new wells, they
17 haven't been -- they've just been tested; they haven't
18 been delivered yet. That's -- production curves.

19 But they're not sig- -- They're like the 100
20 MCF range. That's out of the fractured shale, not the
21 Tocito sand stringer.

22 So we have not seen what I would call
23 encouraging Gallup results, but it may be significant
24 enough that you might develop it if you could commingle
25 it.

1 MR. STOVALL: And then I guess that would
2 raise the next question, Would you -- From a land
3 standpoint, would you propose to then expand the Gallup
4 participating area to bring them in and --

5 MR. JOHNSON: If the Bureau of Land
6 Management would allow, if the wells would qualify.

7 MR. STOVALL: As commercial wells or --

8 MR. JOHNSON: As commercial wells, we would
9 expand the participating area.

10 MR. STOVALL: And of course that might be
11 affected by whether they are commingled or not. If
12 they're commingled, they may be commercial.

13 MR. JOHNSON: That's true.

14 MR. STOVALL: Who knows, right?

15 THE WITNESS: And it's also up to the Bureau
16 of Land Management's economic hurdles too, which are,
17 you know, different than --

18 MR. STOVALL: If they are not brought into
19 the participating area, would you then just propose to
20 allocate the production to the Gallup on a tract basis?

21 MR. JOHNSON: On a tract basis. That's the
22 way it's allocated under the unit agreement.

23 THE WITNESS: The working interest doesn't
24 change.

25 MR. STOVALL: Right, I understand that.

1 We're talking royalty.

2 MR. JOHNSON: Just royalty and overrides,
3 right.

4 MR. STOVALL: So it is not a problem from the
5 standpoint of who gets the Gallup share of the gas,
6 even if it's not in a participating area; you can deal
7 with that.

8 MR. JOHNSON: Right.

9 MR. STOVALL: Okay, that's all I have.

10 EXAMINER CATANACH: That's all I have.

11 MR. CARR: I would move the admission of
12 Unocal Exhibit Number 21.

13 EXAMINER CATANACH: Exhibit 21 will be
14 admitted as evidence.

15 MR. CARR: And that concludes our
16 presentation in this case.

17 EXAMINER CATANACH: Okay. There being
18 nothing further in this case, Case 10,663 will be taken
19 under advisement.

20 (Thereupon, these proceedings were concluded
21 at 9:46 a.m.)

22 * * *

23

24

25

1 CERTIFICATE OF REPORTER

2

3 STATE OF NEW MEXICO)
 4) ss.
 COUNTY OF SANTA FE)

5

6 I, Steven T. Brenner, Certified Court
 7 Reporter and Notary Public, HEREBY CERTIFY that the
 8 foregoing transcript of proceedings before the Oil
 9 Conservation Division was reported by me; that I
 10 transcribed my notes; and that the foregoing is a true
 11 and accurate record of the proceedings.

12 I FURTHER CERTIFY that I am not a relative or
 13 employee of any of the parties or attorneys involved in
 14 this matter and that I have no personal interest in the
 15 final disposition of this matter.


16 WITNESS MY HAND AND SEAL February 6, 1993.

17 

18 STEVEN T. BRENNER
 19 CCR No. 7

20 My commission expires: October 14, 1994

21 I do hereby certify that the foregoing is
 22 a complete record of the proceedings in
 23 the Examiner hearing of Case No. 10603
 heard by me on February 4 1993.

24 , Examiner
 25 Oil Conservation Division