

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING )  
CALLED BY THE OIL CONSERVATION )  
DIVISION FOR THE PURPOSE OF )  
CONSIDERING: )  
IN THE MATTER OF CASE NO. 10,746 )  
BEING REOPENED )  
\_\_\_\_\_ )

CASE NO. 10,746

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: MICHAEL E. STOGNER, Hearing Examiner

May 18th, 1995

Santa Fe, New Mexico

This matter came on for hearing before the Oil Conservation Division on Thursday, May 18th, 1995, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, before Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

\* \* \*

STEVEN T. BRENNER, CCR  
(505) 989-9317

## I N D E X

May 18th, 1995  
 Examiner Hearing  
 CASE NO. 10,746

	PAGE
APPEARANCES	3
APPLICANT'S WITNESSES:	
<u>RICHARD J. MORROW</u> (Engineer)	
Direct Examination by Mr. Bruce	4
Examination by Examiner Stogner	17
REPORTER'S CERTIFICATE	22

\* \* \*

## E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	6	16
Exhibit 2	6	16
Exhibit 3	7	16
Exhibit 4	8	16
Exhibit 5	9	16
Exhibit 6	9	16
Exhibit 7	10	16
Exhibit 8	11	16
Exhibit 9	12	16
Exhibit 10	13	16

\* \* \*

## A P P E A R A N C E S

FOR THE DIVISION:

RAND L. CARROLL  
Attorney at Law  
Legal Counsel to the Division  
2040 South Pacheco  
Santa Fe, New Mexico 87505

FOR DEVON ENERGY CORPORATION:

HINKLE, COX, EATON, COFFIELD & HENSLEY  
218 Montezuma  
P.O. Box 2068  
Santa Fe, New Mexico 87504-2068  
By: JAMES G. BRUCE

\* \* \*

1 WHEREUPON, the following proceedings were had at  
2 9:55 a.m.:

3 EXAMINER STOGNER: Call Case Number 10,746.

4 MR. CARROLL: In the matter of Case Number 10,746  
5 being reopened to the provisions of Division Order Number  
6 R-9952-A, which promulgated temporary special rules and  
7 regulations for the East Catclaw Draw-Delaware Pool in Eddy  
8 County, New Mexico.

9 EXAMINER STOGNER: At this time, I'll call for  
10 appearances.

11 MR. BRUCE: Mr. Examiner, Jim Bruce from the  
12 Hinkle law firm in Santa Fe, representing Devon Energy  
13 Corporation, Nevada.

14 I have one witness to be sworn.

15 EXAMINER STOGNER: Are there any other  
16 appearances in this matter?

17 Will the witness please remain standing?

18 (Thereupon, the witness was sworn.)

19 RICHARD J. MORROW,  
20 the witness herein, after having been first duly sworn upon  
21 his oath, was examined and testified as follows:

22 DIRECT EXAMINATION

23 BY MR. BRUCE:

24 Q. Would you please state your name for the record?

25 A. My name is Richard J. Morrow.

1 Q. Who do you work for and in what capacity?

2 A. I'm employed by Devon Energy Corporation as a  
3 senior reservoir engineer.

4 Q. Have you previously testified before the  
5 Division?

6 A. Yes, I have.

7 Q. And were your credentials as a reservoir engineer  
8 accepted as a matter of record?

9 A. Yes, they were.

10 Q. And are you familiar with the engineering matters  
11 pertaining to this pool?

12 A. Yes, I am.

13 Q. And in fact, did you testify in front of the  
14 Division regarding the promulgation of these special pool  
15 rules a couple years ago?

16 A. Yes, I did.

17 MR. BRUCE: Mr. Examiner, is the witness  
18 qualified?

19 EXAMINER STOGNER: He is.

20 Q. (By Mr. Bruce) Initially, Mr. Morrow, what is  
21 Devon's position here today?

22 A. As you'll recall by Order Number 9952-A, in  
23 November of 1993, we were granted temporary field rules for  
24 a period of 18 months, with an increased gas allowable of  
25 6000-to-1 GOR.

1 Q. And you are appearing here today in support of  
2 the continuance of that rule?

3 A. Yes, we would like that 6000 GOR limit to be  
4 permanent.

5 Q. Mr. Morrow, would you please refer to your  
6 Exhibit 1 and just orient us regarding this pool?

7 A. Exhibit Number 1 is a map of the area. I've  
8 outlined Sections 9 and 16, Township 21 South, Range 26  
9 East, of Eddy County, New Mexico. This is the East Catclaw  
10 Draw Delaware Pool.

11 In Section 9 there are seven wells which have  
12 been -- which are operated by Chi Energy.

13 We are in the process of developing Section 16.  
14 There are currently four producing wells, and we are in the  
15 process of depleting four additional wells in the Delaware.

16 MR. BRUCE: Mr. Examiner, the official pool  
17 boundaries in the Division's records right now are all of  
18 Section 9 and the west half of Section 16, although I think  
19 there's a nomenclature case expanding the pool boundaries  
20 coming up on June 1.

21 Q. (By Mr. Bruce) Mr. Morrow, let's discuss the  
22 geology of this pool briefly, and could you refer to your  
23 Exhibit 2 and describe its contents for the Examiner?

24 A. Exhibit Number 2 is simply a map of the same  
25 area, showing the structure of a Cherry Canyon Marker,

1 which is within the producing Delaware formation in this  
2 pool.

3 It shows a structural high, which covers Section  
4 9 and 16 and a few portions of the surrounding section.

5 Q. Is there a fair amount of structural relief in  
6 this particular Delaware pool?

7 A. Yes, there is. Our Cactus State Number 1, which  
8 is in the northeast of the northwest quarter of Section 16,  
9 is probably the highest well in the pool, and this marker  
10 -- It is at an elevation of plus 192.

11 Some of the lower producing wells are essentially  
12 100 feet downdip from that well in a very short distance,  
13 so there is quite a bit of structural relief in this pool.

14 Q. Would you then move on to your Exhibit 3 and  
15 identify it for the Examiner and discuss the particular  
16 zone of interest in this pool?

17 A. Exhibit Number 3 is a -- basically a north-south  
18 cross-section, starting up in Section 9 and extending down  
19 through Section 16.

20 This just basically shows you the producing  
21 Delaware section in the pool. There's about 500 feet of  
22 Delaware sands. Numerous sands produce in different wells  
23 in the pool.

24 I've shown -- Colored in green are the perforated  
25 intervals in the different wells. Perforations range

1 anywhere from 2700 feet down to slightly deeper than 3200  
2 feet in some of these different sands.

3 But this just shows the continuous nature of the  
4 Delaware sands across this pool.

5 Q. And these are all Cherry Canyon wells, are they  
6 not?

7 A. Yes, sir, they are.

8 Q. Let's move on to data from the wells in the pool,  
9 and if you could refer to your Exhibit 4, what does that  
10 show, Mr. Morrow?

11 A. Several of these next few exhibits are just  
12 updated exhibits from previous hearings.

13 Exhibit Number 4 is simply a tabulation of the  
14 monthly production from the Chi wells in Section 9. These  
15 were the first wells in the pool.

16 And what I would refer you to is the second page.  
17 The very bottom line, highlighted in yellow, is the  
18 cumulative gas-oil ratio that these wells have produced  
19 since they went on production. And I would just like to  
20 point out that the gas-oil ratios range from over 2000 in  
21 one well to over 4300 in another well. So this just shows  
22 that the pool is a high gas-oil ratio oilfield.

23 Q. And the Chi wells are the oldest wells in the  
24 pool, are they not?

25 A. Yes, sir, they are.

1 Q. Okay. What does Exhibit 5 show?

2 A. Exhibit Number 5 is also -- was also used in a  
3 previous hearing.

4 This is simply an equation from a petroleum  
5 reservoir engineering textbook by Craft and Hawkins, which  
6 shows the fractional recovery of oil in place as a function  
7 of different fluid properties.

8 And I've quoted one sentence down there below  
9 which shows that the fractional recovery is fixed by the  
10 PVT properties of the reservoir fluid and the produced gas-  
11 oil ratio.

12 We introduced this at a previous hearing to show  
13 that the ultimate recovery in this field is a function of  
14 the produced gas-oil ratio, and then we attempted to show  
15 that the produced gas-oil ratio is independent of producing  
16 rate.

17 Q. And will you shortly show some of that data to  
18 the Examiner?

19 A. Yes, I will.

20 Q. What about Exhibit 6? Was this shown previously  
21 to the Division?

22 A. Yes, Exhibit Number 6 was a test we ran on our  
23 Cactus State Number 1 well prior to the last hearing.

24 We had been producing this well on a 12/64 choke  
25 at a rate of about 80 barrels a day, which is the oil

1 allowable, and we were producing about -- between 5000 and  
2 6000 gas-oil ratio, as shown on this plot.

3 We wanted to see how affecting the producing rate  
4 would change the gas-oil ratio, if it was sensitive to the  
5 oil rate.

6 So we reduced the choke to a 10/64, reduced the  
7 oil rate to about 50 barrels a day, but the gas-oil ratio  
8 remained constant. We then reduced the choke further to an  
9 8/64 choke, reducing oil production to about 30 barrels a  
10 day, and again the gas-oil ratio remained relatively  
11 constant.

12 So with this data showing that the gas-oil ratio  
13 is independent of oil rate, coupled with that previous  
14 exhibit, we felt that the ultimate recovery of the pool  
15 would not be affected by the producing rate of the well.

16 Q. Let's get into your new data, Mr. Morrow. Could  
17 you refer to your Exhibit 7 and discuss its contents?

18 A. Yes, this hearing which granted us temporary  
19 field rules, the Commission requested that we gather some  
20 additional data on the reservoir, one of which was some  
21 PVT, pressure-volume-temperature, data on the oil in the  
22 ground. And this is just a summary of the PVT data that we  
23 took on our Cactus State Number 2 well.

24 And I would point out three pieces of data on  
25 this page.

1           The very first one, the average reservoir  
2 pressure of 1282 pounds when this sample was taken, compare  
3 that to the saturation pressure of 1277 pounds, which was  
4 determined in the laboratory. This shows that the  
5 reservoir is essentially at the bubble point, and any  
6 further reduction in pressure will result in free gas being  
7 produced in the reservoir.

8           The third number on that page, going down to the  
9 third box, is a solution gas-oil ratio of 512 standard  
10 cubic feet per barrel of residual oil. This is relatively  
11 low, and it appears contradictory to our request for  
12 increased GOR. But in some further exhibits I will show  
13 how you have to consider all the various aspects of the  
14 reservoir, not simply the PVT data, in determining the  
15 producing gas-oil ratio in the field.

16           Q.    Okay, let's do that, let's move on to your  
17 Exhibit 8. Would you identify that for the Examiner,  
18 please?

19           A.    Exhibit Number 8 is a plot of the gas-oil  
20 relative permeability ratios versus gas saturation in the  
21 reservoir.

22           We -- In attempting to gather additional data in  
23 this field, we took a core on the Cactus State Number 3,  
24 and we've also taken some core samples on the Cactus State  
25 Number 5 well.

1           And as part of our study we took -- we had some  
2 special core analysis performed for us. And one of the  
3 data they performed -- One of the tests they performed is  
4 what's called a gas-oil relative permeability. And what  
5 this shows is the relative ease at which gas flows through  
6 the reservoir, as opposed to the oil. As you increase the  
7 gas saturation in the reservoir, the gas tends to flow  
8 easier than the oil.

9           And what this graph shows is a very low -- what's  
10 called a critical gas saturation. As soon as you develop  
11 about 1-percent gas saturation from the reservoir, you  
12 start getting free gas flowing.

13           So even though you have a low solution gas-oil  
14 ratio, as soon as you drop the pressure a little bit and  
15 get a little bit of gas saturation, you can very rapidly  
16 climb that curve and get a large producing gas-oil ratio.

17           Q.    So almost as soon as you start producing these  
18 wells, the gas-oil ratio will increase?

19           A.    Yes, sir.

20           Q.    And was this noticed on the Chi wells, the  
21 original wells in the pool?

22           A.    Yes, almost immediately upon production they  
23 started producing over 2000 GOR.

24           Q.    What does Exhibit 9 show?

25           A.    Exhibit 9 is -- There are four pages in Exhibit

1 9, and these are just production plots from the four wells  
2 that we have on production.

3 I've shown gas-oil ratio, oil production in  
4 barrels per day, and water cut for each plot.

5 Cactus State Number 1 shows that almost  
6 immediately upon production, we were producing over 3000  
7 GOR, and since that time it's been fluctuating between 3000  
8 and 5000 GOR, fairly constant at the 80-barrels-a-day oil  
9 allowable.

10 Second page, Cactus State Number 2, is very  
11 similar to that. It has a slightly lower GOR, but it's  
12 been producing over 2000 GOR, very constant, since the well  
13 has been put on production.

14 The other two wells, 3 and 4, also show a  
15 constant GOR since they have been put on production also.

16 Q. Did you do any simulation of this reservoir?

17 A. Yes, we did.

18 Q. And what does Exhibit 10 show?

19 A. Exhibit 10 are some summary results from some  
20 reservoir simulation. We contracted with a group in  
21 Dallas, Texas, called the Scotia Group, to do a reservoir  
22 simulation of this field.

23 I believe, Mr. Stogner, you have a complete copy  
24 of the simulation study. The rest of the exhibit packets  
25 just have about five pages that I've copied out of that

1 study.

2 We asked the Scotia Group to model a single well  
3 with the properties that we obtained from the PVT and the  
4 core analysis. We did not intend for them to perform a  
5 rigorous full-field simulation, nor to history-match a  
6 specific well. We wanted them to run a one-well depletion  
7 study on a 40-acre typical well in the East Catclaw Draw  
8 field, which they accomplished for us.

9 What they did, they ran two cases, one which was  
10 restricted by 80-barrels-a-day oil allowable. The second  
11 case, the only thing they changed was, they restricted the  
12 flow rate to 160 MCF a day, which is the 80-barrels-a-day  
13 allowable, times the 2000 GOR limit.

14 And what they talk about here in the summary and  
15 which is shown in the results Table Number 1 there, is that  
16 even though the rates differed, that the cumulative volumes  
17 of oil and gas recovered during the simulated period were  
18 little affected.

19 On the second page there are, also under the  
20 conclusion, Conclusion Number 1 is basically the same  
21 statement, that essentially the same cumulative volumes of  
22 oil and gas were recovered in the life of the well.

23 The other -- I've copied some exhibits out of  
24 that study. Figure 6 is simply the simulation results  
25 showing the well constrained by the 80-barrel-a-day oil

1 allowable and allowing the gas production to increase to  
2 well over 300 MCF a day, with the GOR curve on the bottom  
3 there.

4 Figure Number 7 is the Case Number 2, which is  
5 constrained by the 160-MCF-a-day gas allowable, and that  
6 shows the oil production falling off rapidly with the  
7 increase in GOR.

8 Figure Number 8 compares the cumulative oil  
9 production from Case 1 and Case 2, which shows essentially  
10 that the end of 6000 days, which is 16 years, that the  
11 cumulative oil and gas-and-oil recovery is the same.

12 Figure Number 9 shows the cumulative gas  
13 production is essentially the same.

14 So this simulation supports our contention that  
15 the rate of recovery will not affect the ultimate recovery  
16 of the field.

17 Q. Would you please summarize your conclusions based  
18 on the data you've presented today, Mr. Morrow?

19 A. We feel that all the data we've gathered supports  
20 the continued 6000-to-1 GOR. We showed initially that  
21 theoretically -- theoretical equations show that the  
22 ultimate recovery will not be affected by rate.

23 We've shown that in the field, both by the short-  
24 term tests on the Cactus State Number 1 where we varied the  
25 choke size and showed that the gas-oil ratio was

1 independent of rate. Also, the long-term production tests  
2 on the wells showed that the gas-oil ratio has been high  
3 but very steady.

4 And finally, we had some simulation run that also  
5 supports the conclusion that the cumulative recovery will  
6 not be affected by the rate.

7 Q. And in your opinion, this is a solution gas drive  
8 reservoir?

9 A. Yes, we believe it is.

10 Q. And referring back to your Exhibit 1, there is  
11 still a fair amount of undeveloped acreage in this pool, is  
12 there not?

13 A. Yes, we feel we have quite a bit of development  
14 potential in our Section 16.

15 Q. Were Exhibits 1 through 10 prepared by you, under  
16 your direction, or compiled from company records?

17 A. Yes, they were.

18 Q. And in your opinion, is the continuance of the  
19 6000-to-1 gas-oil ratio for this pool in the interests of  
20 conservation and the prevention of waste?

21 A. Yes, it is.

22 MR. BRUCE: Mr. Examiner, at this time I move the  
23 admission of Devon Exhibits 1 through 10.

24 EXAMINER STOGNER: Exhibits 1 through 10 will be  
25 admitted into evidence.

## EXAMINATION

BY EXAMINER STOGNER:

Q. Was the studies that were done -- were they primarily -- or were they exclusively held into that portion of the Delaware formation you're showing to be -- What? The Brushy Canyon?

A. We believe these are Cherry Canyon zones.

Q. The Cherry Canyon?

A. Yes, they were.

Q. Are any other zones like the Brushy Canyon that are productive in this pool?

A. No, there are not.

Q. There are not?

A. These are all Cherry Canyon.

Q. In looking at your Cactus State Number 1 test, especially early on -- or your production rates, especially early on -- it seems like to me maybe 6000 might have been too high, 2000 too low.

What would be the effect should this be rolled back to a 4000-to-1 GOR, poolwide? What kind of effect would Devon experience, or any other operator for that matter?

A. Well, if you look back on the -- Well, both Exhibit Number 6 and Exhibit Number 9, which are production plots for the Cactus State Number 1, initially we were

1 producing between a 5000 and 6000 GOR.

2 And if you look at Exhibit Number 9, at one point  
3 we did exceed the 4000 GOR, albeit it was only for one  
4 month.

5 We would like to see the 6000-to-1 retained,  
6 because even though we think we know what we have in this  
7 field, we are still developing it and further wells may be  
8 greater than 4000 to 1.

9 Q. Has that Cactus State Number 1 -- has it been  
10 producing off that 8/64 choke when it was installed, since  
11 September, 1993? Is that what it's been producing through  
12 since then?

13 A. Oh, no, sir, it's back on at least a 12/64. We  
14 may have even opened it to a 14/64 to maintain our 80-  
15 barrel-a-day oil allowable.

16 Q. Do you know when that 12/64 or 14/64 was put back  
17 in there?

18 A. No, sir, I do not. I have don't have that data  
19 with me. I could find out very easily, if you'd like me  
20 to.

21 Q. No, I don't think that's necessary. I was just  
22 trying to --

23 A. Basically, it was put back on a 12/64 after we  
24 ran this test, prior to the last hearing, it was returned  
25 to 80-barrel-a-day test.

1           The current choke setting, I'm not exactly sure  
2 of.

3           If I may go back to the previous question about  
4 whether the 6000 was too high, 2000 too low, what would  
5 happen at 4000? One thing I forgot to mention was, in our  
6 simulation study there, that gas-oil ratio gets quickly up  
7 to 6000 or 7000 GOR on our simulation study and shows that  
8 this pool could ultimately produce at that high of a gas-  
9 oil ratio.

10          Q.   Usually a solution gas drive reservoir of this  
11 type, isn't it somewhat sensitive to raising the -- rise of  
12 the GOR for production purposes?

13          A.   I'm not sure I understand your question.

14          Q.   Okay, is a pool of this type, being a solution  
15 gas drive -- Normally isn't it somewhat sensitive to such  
16 production levels where you do increase the gas production  
17 over the oil to -- Doesn't that affect the drive mechanism,  
18 usually?

19          A.   Well, again, you have to consider all the various  
20 data that goes into the -- not only the drive mechanism,  
21 but the relative permeability effects, the completion  
22 techniques, the PVT data.

23                A solution gas drive reservoir may or may not be  
24 directly affected by the producing rate. I think we've  
25 shown in this particular case that it is not affected by

1 the results of our choke tests and our long-term production  
2 rates.

3 Q. Those are the other factors?

4 A. Yes, sir.

5 Q. How are these wells completed?

6 A. These are fracture-stimulated --

7 Q. Initially?

8 A. -- in several different sands, yes.

9 Q. Several different sands in the --

10 A. Yes, within the pool limits.

11 Q. In the Cherry Canyon?

12 A. Yes.

13 Q. Because the pool limit is somewhat big.

14 A. Yes.

15 Q. But you just told me that Brushy Canyon and some  
16 of those other portions didn't produce.

17 A. No, sir.

18 Q. Okay, I guess I want to refer to your Exhibit  
19 Number 3, which is your cross-section, and it shows some  
20 green perforated areas.

21 Are there any other portions of the Delaware  
22 formation, other than what's indicated here, that are  
23 producible?

24 A. In our wells we have seen some shows that are  
25 slightly uphole from the sands that we have perforated, but

1 they are also still in the Cherry Canyon sequence. So they  
2 would still be in the same pool.

3 We have not perforated in some of the uphole  
4 zones that we have seen shows in, to answer your question.

5 EXAMINER STOGNER: Okay. Are there any other  
6 questions of this witness?

7 MR. BRUCE: No, sir.

8 EXAMINER STOGNER: You may be excused.  
9 Anything further in this case?

10 MR. BRUCE: No, Mr. Examiner.

11 EXAMINER STOGNER: If not, then, the matter of  
12 Case 10,746 will be taken under advisement at this time.

13 (Thereupon, these proceedings were concluded at  
14 10:18 a.m.)

15 \* \* \*

16  
17  
18  
19  
20  
21 I do hereby certify that the foregoing is  
22 a complete record of the proceedings in  
the Examiner hearing of Case No. *Request 10746*  
23 heard by me on *18 May* 19*55*.  
24 *Michael E. Stogner*, Examiner  
Oil Conservation Division  
25


## CERTIFICATE OF REPORTER

STATE OF NEW MEXICO    )  
                              )    ss.  
COUNTY OF SANTA FE    )

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL May 23rd, 1995.



STEVEN T. BRENNER  
CCR No. 7

My commission expires: October 14, 1998