

STATE OF NEW MEXICO

ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT

OIL CONSERVATION COMMISSION

IN THE MATTER OF THE HEARING)
CALLED BY THE OIL CONSERVATION)
COMMISSION FOR THE PURPOSE OF)
CONSIDERING:)
APPLICATIONS OF ARMSTRONG ENERGY)
CORPORATION)

CASE NOS. 10,653
10,773

REPORTER'S TRANSCRIPT OF PROCEEDINGSCOMMISSION HEARING

BEFORE: WILLIAM J. LEMAY, CHAIRMAN
WILLIAM WEISS, COMMISSIONER
JAMI BAILEY, COMMISSIONER

FEB 11 1994

January 13, 1994

Santa Fe, New Mexico

This matter came on for hearing before the Oil
Conservation Commission on Thursday, January 18, 1994, at
Morgan Hall, State Land Office Building, 310 Old Santa Fe
Trail, Santa Fe, New Mexico, before Steven T. Brenner,
Certified Court Reporter No. 7 for the State of New Mexico.

* * *

I N D E X

January 13, 1994
 Commission Hearing
 CASE NOS. 10,653 and 10,773

APPEARANCES PAGE
4

APPLICANT'S WITNESSES:

ROBERT M. BOLING

Direct Examination by Mr. Carr	6
Cross-Examination by Mr. Bruce	34
Examination by Commissioner Bailey	40
Examination by Commissioner Weiss	42
Examination by Chairman LeMay	44

BRUCE A. STUBBS

Direct Examination by Mr. Carr	48
Cross-Examination by Mr. Bruce	99
Direct Examination (Continued) by Mr. Carr	100
Cross-Examination (Continued) by Mr. Bruce	101
Examination by Commissioner Bailey	102
Examination by Commissioner Weiss	105
Examination by Chairman LeMay	108
Further Examination by Commissioner Weiss	113

READ AND STEVENS WITNESSES:

BILL BRADSHAW

Direct Examination by Mr. Bruce	115
Cross-Examination by Mr. Carr	127
Examination by Commissioner Weiss	130
Examination by Chairman LeMay	130

JOHN C. MAXEY

Direct Examination by Mr. Bruce	132
Cross-Examination by Mr. Carr	154
Examination by Commissioner Bailey	168
Examination by Commissioner Weiss	170
Examination by Chairman LeMay	173
Further Examination by Commissioner Weiss	181

REPORTER'S CERTIFICATE 183

* * *

E X H I B I T S

Identified Admitted

APPLICANT'S:

Exhibit 1	12	34
Exhibit 2	15	34
Exhibit 3	16	34
Exhibit 4	17	34
Exhibit 5	18	34
Exhibit 6	22	34
Exhibit 7	22	34
Exhibit 8	25	34
Exhibit 9	33	34
Exhibit 10	49	98
Exhibit 11	95	98

READ AND STEVENS:

Exhibit 1	117	127
Exhibit 2	119	127
Exhibit 3	121	127
Exhibit 4	126	127
Exhibit 5	134	154
Exhibit 6	135	154
Exhibit 7	137	154
Exhibit 8	137	154
Exhibit 9	137	154
Exhibit 10	143	154
Exhibit 11	145	154
Exhibit 12	145	154
Exhibit 13	147	154
Exhibit 14	147	154

* * *

A P P E A R A N C E S

FOR THE COMMISSION:

ROBERT G. STOVALL
Attorney at Law
Legal Counsel to the Division
State Land Office Building
Santa Fe, New Mexico 87504

FOR THE APPLICANT:

CAMPBELL, CARR, BERGE & SHERIDAN, P.A.
Suite 1 - 110 N. Guadalupe
P.O. Box 2208
Santa Fe, New Mexico 87504-2208
By: WILLIAM F. CARR

FOR READ AND STEVENS, INC.:

HINKLE, COX, EATON, COFFIELD & HENSLEY
218 Montezuma
P.O. Box 2068
Santa Fe, New Mexico 87504-2068
By: JAMES G. BRUCE

* * *

1 WHEREUPON, the following proceedings were had at
2 9;24 a.m.:

3 CHAIRMAN LEMAY: We will call the Cases Number
4 10,653 and 10,773.

5 MR. STOVALL: 10,653 is the Application of
6 Armstrong Energy Corporation for special pool rules, Lea
7 County, New Mexico.

8 10,773 is the Application of Armstrong Energy
9 Corporation for pool extension and abolishment, Lea County,
10 New Mexico.

11 CHAIRMAN LEMAY: Appearances in Cases 10,653 and
12 10,773?

13 MR. CARR: May it please the Commission, my name
14 is William F. Carr with the Santa Fe law firm, Campbell,
15 Carr, Berge and Sheridan.

16 I represent Armstrong Energy Corporation in each
17 of these cases and request that they be consolidated for
18 the purpose of hearing.

19 CHAIRMAN LEMAY: Thank you, Mr. Carr.

20 Additional appearances?

21 MR. BRUCE: Mr. Commissioner, Jim Bruce from the
22 Hinkle law firm in Santa Fe, representing Read and Stevens,
23 Inc.

24 I have two witnesses. There's no objection to
25 the consolidation.

1 CHAIRMAN LEMAY: Thank you.

2 Would those witnesses please stand, raise your
3 right hand to be sworn in?

4 (Thereupon, the witnesses were sworn.)

5 CHAIRMAN LEMAY: Okay? Mr. Carr, you may begin.

6 MR. CARR: May it please the Commission, at this
7 time we would call Mike Boling.

8 ROBERT M. BOLING,

9 the witness herein, after having been first duly sworn upon
10 his oath, was examined and testified as follows:

11 DIRECT EXAMINATION

12 BY MR. CARR:

13 Q. Would you state your name for the record, please?

14 A. Robert Michael Boling.

15 Q. And where do you reside?

16 A. Roswell, New Mexico.

17 Q. By whom are you employed?

18 A. Armstrong Energy Corporation.

19 Q. And in what capacity are you employed by
20 Armstrong?

21 A. As a consulting petroleum geologist.

22 Q. Mr. Boling, have you previously testified before
23 the New Mexico Oil Conservation Commission?

24 A. Before the Division, not the Commission.

25 Q. Could you briefly summarize your educational

1 background and then review your work experience for the
2 Commissioners?

3 A. I have a bachelor of science degree in geology
4 from New Mexico Institute of Mining and Technology.

5 My early work experience was with a geophysical
6 subsidiary of Texas Instruments. I started working in
7 1973. My first job assignment was in Peru. I worked on a
8 helicopter-supported seismic crew in the Amazon Basin for
9 two years.

10 I returned to Houston in the employ of GSI,
11 became -- worked on a land data- -- seismic data-processing
12 crew in Houston, processing data from all onshore and
13 shallow water Gulf Coast of the United States.

14 In 1977 I was transferred to Denver, at which
15 time I became the in-house technical consultant to all of
16 our customers in the Rocky Mountains with respect to any
17 technical help they needed in designing geophysical
18 parameters or quality control management of their seismic
19 crews while we were under their employ.

20 In 1981 I went to work for Phillips Petroleum as
21 an exploration geophysicist. I was assigned in Denver. I
22 worked Alaska, I worked both on and offshore, Bering Sea,
23 Beaufort Sea, special projects in the Prudhoe Bay unit,
24 also in the Cook Inlet.

25 In 1983 I moved to Roswell and became an

1 independent petroleum geologist, and in the last ten years
2 that I have been in Roswell, I have participated in
3 prospects or projects in New Mexico, Texas, Oklahoma,
4 Kansas, Nebraska, Colorado, Montana, Wyoming, California,
5 Oregon and Alberta, Canada.

6 Q. Are you familiar with the Applications filed in
7 each of these cases?

8 A. I am.

9 Q. Are you familiar with the Northeast Lea-Delaware
10 Pool and the Quail Ridge-Delaware Pool?

11 A. I am.

12 Q. Have you made a geological study of these pools?

13 A. I have.

14 MR. CARR: We would tender Mr. Boling as an
15 expert witness in petroleum geology.

16 CHAIRMAN LEMAY: His qualifications are
17 acceptable.

18 Q. (By Mr. Carr) Mr. Boling, would you briefly
19 state what Armstrong Energy seeks with this Application?

20 A. Armstrong Energy seeks to abolish the Quail
21 Ridge-Delaware Pool, to extend the boundaries of the
22 Northeast Lea-Delaware Pool to cover the area now covered
23 by the Quail Ridge-Delaware Pool, and we seek adoption of
24 special pool rules for the Northeast Lea-Delaware Pool,
25 including a special oil allowable of 300 barrels a day.

1 Q. Briefly summarize for the Commission the rules
2 that currently govern development in these --

3 A. In both the Quail Ridge-Delaware Pool and the
4 Northeast Lea Pool, statewide rules apply. There are
5 standard 40-acre spacing units, standard depth bracket
6 allowables, 107 barrels a day, 2000-to-1 gas/oil ratio, and
7 both pools are governed by the same rules.

8 Q. This case came before a Division Examiner in
9 January of 1993?

10 A. That's correct.

11 Q. Were you a witness at that time?

12 A. I was.

13 Q. What was Armstrong seeking in that case?

14 A. In that case we were seeking the special oil
15 allowable for the Northeast Lea-Delaware Pool of 300
16 barrels per day.

17 Q. And that case was -- or application was denied in
18 February of last year?

19 A. That's correct, by Order R-9842.

20 Q. This case is different in that you have extended
21 the Application to basically consolidate the Northeast Lea-
22 Delaware Pool and the Quail Ridge-Delaware Pool?

23 A. That's correct.

24 Q. Could you briefly summarize for the Commission
25 what has occurred since Order Number R-9842 was entered

1 denying Armstrong's original request?

2 A. In both the -- A combined total of nine new wells
3 have been drilled in the two fields by the two primary
4 operators, Read and Stevens of Roswell, and Armstrong
5 Energy of Roswell.

6 We have also -- Armstrong Energy is also
7 undertaking an extensive and exhaustive testing program as
8 requested by the Commission -- by the Division at our
9 previous hearing, to try to determine drive mechanisms in
10 the reservoir, the productivity of the reservoir, and
11 gas/oil ratios and whether or not an increased -- extended
12 increased productivity harmed the reservoir in any manner.
13 And this testing has been taking place over the last year.

14 Q. The original Order denying the Application,
15 recommended that the pools, the two pools, be treated as
16 one common source of supply; is that correct?

17 A. That is correct.

18 Q. And that is the reason that the additional
19 Application was filed to address the Quail Ridge as well as
20 the Northeast Lea-Delaware Pool?

21 A. That's correct.

22 Q. What has caused the delay in bringing this matter
23 to the Commission for review?

24 A. Well, originally when we came before the Division
25 in January of 1993, we had support from offset -- the

1 offset operator in the Quail Ridge field -- that's Read and
2 Stevens -- supporting the increased allowable, and we have
3 a letter to that effect.

4 Subsequent to that agreement, Read and Stevens
5 became concerned about the oil allowable being raised, and
6 they changed their position.

7 After that, Armstrong sought and received
8 authority from the Division to conduct a special production
9 test on the Mobil Lea State Number 2 Well, and agreed to
10 continue this hearing to such time that Read and Stevens
11 had subsequent time to drill additional wells to try to
12 determine the extent of the reservoir that was in question.

13 As a part of that agreement to allow Read and
14 Stevens to drill their subsequent wells, Read and Stevens
15 agreed not to seek make-up of the overproduction
16 accumulated by Armstrong during the production testing
17 phase of the Mobil State Number 2 well, and Read and
18 Stevens has agreed to this.

19 Q. Now, you're talking about an agreement with Read
20 and Stevens?

21 A. Correct.

22 Q. And also authority to run certain tests that were
23 granted by the Oil Conservation Division?

24 A. That's correct.

25 Q. Have those tests in fact been run?

1 A. Yes, they have.

2 Q. Has Read and Stevens drilled additional wells in
3 the field?

4 A. Yes, they have.

5 Q. And are you ready to present the data that you've
6 accumulated this year on the formation to the Oil
7 Conservation Commission?

8 A. Yes, we are.

9 Q. We're going to now start looking at the exhibits
10 that have been prepared by Armstrong Energy Corporation.

11 There is not initially an orientation plat. The
12 orientation plat is contained in the engineering exhibit,
13 which is Exhibit Number 10, and it is at page B-1. The
14 pages are numbered.

15 And it might be helpful to open to that, because
16 as we work through both the geological and engineering
17 presentations, it may help orient the Commission as to
18 exactly what portion of this common source of supply we're
19 actually talking about.

20 All right, Mr. Boling, let's go to what has been
21 marked Armstrong Energy Corporation Exhibit Number 1.
22 Would you identify this and review it for the Commission,
23 please?

24 A. Yes, sir. Exhibit Number 1 is a type log from
25 the Northeast Lea-Delaware Pool. It is a compensated

1 neutron density log on the left -- there is a dual lateral
2 log on the right -- from the Mobil Lea State Number 2 Well,
3 which is located in the northwest of the southwest of
4 Section 2, 20 South, 34 East.

5 The purpose of the type log is twofold: One is
6 to familiarize you with the nomenclature which we use,
7 which is slightly different than the nomenclature that Read
8 and Stevens is going to use when we talk about this in the
9 future. We have simply named these four major producing --
10 four major sands the first, second, third and fourth. Each
11 of these sands is annotated, and the dark, heavy line is
12 indicating the base of each of these intervals.

13 The two primary reservoirs in the Quail Ridge-
14 Delaware Pool and the Northeast Lea Pool are illustrated on
15 this log.

16 The uppermost sand, labeled "first sand" or "base
17 of the first sand", that sand immediately above that
18 annotated line is the main producer in the Quail Ridge
19 Delaware field. It is productive in the south half, south
20 half of Section 3 and north half of Section 10 in 20 South,
21 34 East, and also in one well in the east half of Section
22 2, in this northwest of the southeast of Section 2.

23 The second major reservoir, which is the primary
24 reservoir in the Northeast Lea-Delaware Pool, is annotated
25 between 5900 feet and 6000 feet. We have called this the

1 third sand. This sand is productive in the west half of
2 Section 2, also in the northeast northeast of Section 2 and
3 in several wells in the north half, north half of Section
4 10, on Read and Stevens' acreage.

5 The other thing to note is, on the resistivity
6 log you will notice that in the interval that lies between
7 the base of the first sand and the top of the third sand is
8 a sand that we have called the second sand. In this well
9 it's approximately 80 feet thick. This sand occurs between
10 50 and 200 feet thick and is extensive across both pools.

11 You will notice in the resistivity log that it --
12 I apologize for the poor quality of the copy here, but it
13 is obviously wet. It shows two ohms of resistivity, while
14 the sands above and below obviously show higher
15 resistivities. And in fact, the third sand is extremely
16 productive in this well, and we had shows in the first
17 sand.

18 It is important to note that between the two
19 primary reservoirs in these two pools, you have a thick,
20 wet sand along with two carbonate barriers. The base --
21 Below the base of the first sand and above the top of the
22 second sand is a carbonate barrier that varies from 12 to
23 40 feet thick across the area, and at the base of the
24 second sand and above the third sand there is another
25 carbonate barrier that is approximately 30 feet thick

1 across the area.

2 These are -- The first and third sands are the
3 two major reservoirs in these two pools.

4 There is no way that production from one of these
5 reservoirs can affect production in the other reservoir.
6 We have two significant carbonate barriers between, plus a
7 thick, wet sand that separates these two reservoirs
8 throughout the area.

9 We will discuss the nature of the second sand and
10 where it's been tested and why we think it's wet everywhere
11 out there in a minute.

12 Q. Mr. Boling, let's go now to Armstrong Energy
13 Corporation Exhibit Number 2, the net isopach on the first
14 sand, and I would ask you to review that exhibit for the
15 Commission.

16 A. The next three maps are just -- are going to be
17 net isopach maps, net porosity isopach maps of three of the
18 four sands.

19 The purpose of these isopach maps is to show the
20 extensive nature of the reservoir across the pools in the
21 area.

22 This is, as annotated, the first sand interval.
23 This is porosity at or greater than 15 percent. As you can
24 see, it's quite thick, with a thick plot of sand in the
25 south half, south half of 2, another one in 9, and wells

1 that are productive in this reservoir in the south half,
2 south half of 3 and the north half of 10.

3 It is important to note that Read and Stevens'
4 wells are all -- all of their wells are producing at least
5 out of this reservoir.

6 There is one well in the east half of 2, which is
7 annotated 66 feet, which is the Mid-Continent Exploration
8 Well Number 1. It has produced about 76,000 barrels out of
9 this reservoir.

10 It is also important to note that in five of the
11 six wells that Armstrong Energy has in Section 2, this
12 first sand occurs, has shows in them. We have mud log
13 shows and geophysical log responses that indicate that this
14 sand will be productive in each of those wells on
15 Armstrong's acreage.

16 Q. All right. Let's go now to the next Exhibit,
17 Armstrong Exhibit 3, the net isopach on the second sand.

18 A. This is the net isopach map of the second sand,
19 again showing the extensive nature of the sand.

20 As you can see, it's quite thick, varying from 50
21 to 176 feet in Section 10, and approximately 60 to 110 feet
22 in Section 2.

23 This sand has been -- Completion attempts have
24 been made in this sand in three wells. The Mark Federal 5
25 and 8 in Section 10 both produced water. And also

1 Armstrong's West Pearl State Number 2, which is in the --
2 is the well in the southwest of the northeast of 2,
3 annotated "76".

4 This sand has been attempted in these three wells
5 on the east edge of the field -- east edge of the sand
6 accumulation in the West Pearl State 2 and near the center
7 of the -- to the westerly side of the accumulation in
8 Section 10. It produced water all three times, and every
9 log of every well out here is wet in this interval.

10 This sand is extremely fine-grained and appears
11 not to be permeable to oil. It's full of water.

12 The actual zone, a correlative carbonate zone,
13 does produce from this interval in the southeast southeast
14 section of -- southeast southeast proration unit of Section
15 35. It is the Pennzoil Mescalero Ridge Unit Well Number 3.
16 It has produced approximately 26,000 barrels out of this
17 carbonate interval.

18 Q. All right. Let's skip now the third sand and go
19 to Exhibit Number 4, which is the net isopach on the fourth
20 sand.

21 A. Yeah, the fourth sand, you see that it is not
22 nearly as extensive nor as thick as the previous sands. In
23 fact, it occurs mainly in Section 2 in the east half of
24 Section 10. It is not a significant producer. In fact,
25 there is only one well that may be producing out of this

1 interval.

2 It has been uniformly wet in all the wells that
3 Armstrong has drilled in Section 2 and is not a significant
4 reservoir in this area -- in either of these two pools.

5 Q. All right. Let's go now back to the third sand,
6 and let's start with the structure map, Armstrong Exhibit
7 Number 5.

8 A. The third sand is, as I mentioned, the primary
9 producing sand in the Northeast Lea-Delaware Pool.

10 The first map is a structure map on the base of
11 the interval.

12 There are several significant characteristics
13 that are revealed by this map. The first is, it is evident
14 that there are two major and one minor --

15 COMMISSIONER WEISS: Which exhibit are you at?

16 THE WITNESS: I'm at 5, that one.

17 COMMISSIONER WEISS: That's titled "Cherry
18 Canyon"?

19 THE WITNESS: Yes, "Base of Producing Interval".

20 Let's see. Look at the annotation and see if it
21 says "Structure Map, Base of Producing Interval".

22 COMMISSIONER WEISS: Yeah.

23 THE WITNESS: Okay, that's the one we're on. Are
24 you ready?

25 COMMISSIONER WEISS: Yeah, go ahead.

1 THE WITNESS: Okay. As I said, there are several
2 important characteristics that this map shows us.

3 The first is that there are two major and one
4 minor depositional pathways etched in the carbonate that
5 lies underneath the base of this sand.

6 The first one begins in the southwest quarter of
7 Section 3 and transects Section 10 to the southeast and
8 terminates in the southeast quarter of 10 and the southwest
9 quarter of 11.

10 There is another major depositional pathway that
11 runs north/south across the west half of Section 2. It
12 terminates in the northwest quarter of Section 11.

13 There is a minor depositional pathway that runs
14 north/south from Section 35 down into the northeast quarter
15 of Section 32. There is minor sand accumulation in that
16 depositional pathway. There's 24 feet of porosity greater
17 than 15 percent in the well in the northeast northeast
18 quarter of Section 2, and none of the other wells in the
19 east half of 35 have any sand present. So this is a minor
20 depositional pathway.

21 It's important to note these two depositional
22 pathways, because this is where the two sand thicks are
23 going to lay, where the primary producing reservoir will be
24 out here.

25 The other significant topographic feature that

1 this map shows is a nose that runs between these two
2 depositional pathways and lies in the southeast quarter of
3 Section 3, the northeast quarter of 10 and the northwest
4 quarter of 11.

5 This topographic nose separates these two
6 depositional pathways and acts as a topographic barrier to
7 any kind of sand that would be deposited and crossing that
8 nose. There is no sand deposited on top of that nose, and
9 we know that by well drilling information.

10 If you will look at the well that's in the
11 northwest of the southwest of Section 2, annotated minus
12 2321, that is Armstrong Energy's Mobil Lea State Number 2
13 well. In the third sand that well has 97 feet of porosity
14 greater than 15 percent.

15 You will note the well immediately to the west of
16 it, which is the Read and Stevens Number 8 well, annotated
17 minus 2320. There's two feet of sand in that well. That
18 well is on the flank of the nose.

19 This well information, plus the mapping,
20 indicates there is no sand on top of that nose, so that
21 there is no horizontal connection in the oil leg between
22 the third sand reservoir in the depositional pathway on
23 Read and Stevens' acreage and the one in the west half of 2
24 that's on Armstrong's acreage.

25 This nose is extremely important, and it serves

1 as the topographic barrier to these two sand bodies.

2 Q. (By Mr. Carr) All right, let's go now to the
3 structure map on the top of the third sand.

4 A. The next map is the structure map on top of the
5 producing interval. This map is not a significant
6 exploration, but it does show the same features as the map
7 on the base of the interval.

8 You see the depositional pathway, clearly evident
9 in Section 3 and 10, running to the southeast. Also, the
10 one in Section 3 -- in the west half of Section 2, running
11 north-south.

12 As you will note, each of these depositional
13 pathways have minor perturbations or re-entrants running
14 into them. Those little re-entrants sometimes have sand in
15 them and sometimes don't.

16 As noted, on the flank of that nose, the Number 8
17 well had two feet of sand in it. On the other side of the
18 nose, on Read and Stevens' well in Section -- in unit
19 letter P, annotated minus 2231, there's approximately 76
20 feet of sand.

21 Another indication that there is no sand on that
22 nose is the placement of Read and Stevens' well in P of 3,
23 the Number 4 Well.

24 That well was originally staked 660 in the middle
25 of that proration unit. It was then amended to be 990 from

1 the south and 330 from the east, to be closer to our wells.

2 After the well to the north that was drilled with
3 two feet of sand in it, the location was amended again and
4 moved at 990 from the east and 330 from the south, moving
5 it further away from the nose and trying to get in a
6 position where they would find sand.

7 Q. Now, that's Exhibit Number 6 that you've just
8 addressed?

9 A. Yes.

10 Q. That does not define the topographic conditions
11 on which the sands were actually laid down, but it does
12 show, basically, the same picture of the Delaware as
13 Exhibit number 5?

14 A. Yes, that's true.

15 Q. All right, let's go now to Exhibit Number 7, and
16 I'd ask you to identify that first and then review it for
17 the Commission.

18 A. Exhibit Number 7 is the net porosity isopach map
19 on the third sand, the main producing intervals in the
20 Northeast Lea-Delaware field.

21 As you can see, and as one would expect, there
22 are two sand thicks that correspond with the two
23 depositional pathways.

24 The thick in Section 3 and 10 is -- approaches
25 100 feet thick and runs northwest-southeast in the center

1 of the depositional pathway and terminates down in the
2 southeast quarter of Section 11 -- southwest quarter of
3 Section 11, as you would expect, corresponding with a
4 depositional pathway.

5 The same is true in the west half of 2. A major
6 thick running north-south in the center of the depositional
7 pathway in the west half of Section 2, terminating also
8 downdip in the water leg in the west half of Section 11.

9 It is again important to note that there is only
10 two feet of sand in the well in the northeast of the
11 southeast of Section 3, while we have offset that well with
12 two wells that have 98 and 94 feet of sand in them.

13 We have dipmeter information in three of the four
14 wells in the southwest quarter of Section 2.

15 In the two wells in the west half of the
16 southwest quarter of Section 2, the two wells annotated 94
17 and 98 feet, dipmeter indicates straight south dip, which
18 is telling us that the sand thick is to the north.

19 The well annotated in the northeast of the
20 southwest of Section 2, annotated 86 feet, has dipmeter
21 information dipping to the southeast indicating thickening
22 to the northwest.

23 The map, the drilling information and the
24 dipmeter information all indicate that this sand is
25 restricted to the west half of Section 2. It's going to

1 run north-south.

2 We know that we have wells to the west with two
3 feet of sand and wells to the east of us with as little as
4 18 feet of sand. We know where the sand is; it's in the
5 west half of 2. It is not --

6 CHAIRMAN LEMAY: Could I stop you just a minute?
7 I'm sorry. Your Exhibit Number 7, which I think you're
8 talking about --

9 THE WITNESS: Yes.

10 CHAIRMAN LEMAY: -- is there -- does it say what
11 sand you're isopaching here?

12 THE WITNESS: Yeah, the producing interval -- It
13 says "producing interval". It's the third sand, is what
14 we're talking about. The last three maps --

15 CHAIRMAN LEMAY: So under "producing interval",
16 that title should be also "third sand"?

17 THE WITNESS: Yes, sir.

18 COMMISSIONER BAILEY: How about for the previous
19 exhibits?

20 THE WITNESS: It's the same. For the previous
21 two exhibits the producing interval is the third sand.
22 Excuse me.

23 CHAIRMAN LEMAY: I'm sorry, just for
24 clarification.

25 THE WITNESS: That's fine.

1 Anyway, to reiterate, dipmeter information, well
2 information and mapping indicates that the sand is
3 restricted to the west, and this sand in this depositional
4 pathway is restricted to the west half of 2 and is not
5 connected to the sand in Sections 3 and 10 in the oil leg.
6 They are connected downdip in the water leg, but not in the
7 oil leg.

8 So there's no horizontal connection of these two
9 sands in the oil leg.

10 Q. (By Mr. Carr) Now, Mr. Boling, let's go take out
11 the cross-section, which is the large exhibit. That's
12 Exhibit Number 8.

13 A. Okay.

14 Q. After we get that out, I'd ask you then to review
15 the information on the exhibit for the Commissioner.

16 A. This cross-section is quite long. I don't know
17 if all of you want to unfold all of them or not.

18 Q. All right, Mr. Boling. First tell us what this
19 is.

20 A. This is a cross-section that traverses the
21 producing wells in the Northeast Lea-Delaware field and
22 several of the producing wells in the Quail Ridge field in
23 Section 10.

24 Q. And you have an index map on this exhibit?

25 A. And I have an index map from A' to A, A' on the

1 northeast.

2 Q. Now, what have you shown generally on the cross-
3 section?

4 A. What are annotated on these logs are the base of
5 the first, base of the second and base of the third, base
6 of the fourth sand, the oil/water contact, as we have
7 determined it in the third sand, and also the perforations
8 in each of the wells.

9 Q. Now, before we get into that, on the West Pearl
10 Number 1, perforations need to be added, correct?

11 A. Correct.

12 Q. And that is which well on the cross-section?

13 A. The second well on the cross-section. It's the
14 West Pearl State Number 1. The perforations are not on
15 that well, but they are from 5890 to 5910.

16 Q. All right. Could you briefly now review this
17 exhibit for the Commissioners?

18 A. The first well on the right, Pennzoil Mescalero
19 Ridge Number 3, is in the southeast southeast of 35.

20 This is a well is productive out of the carbonate
21 interval that corresponds to the second sand. As you can
22 see, there's only tight sand in this well. The well is
23 perforated in a limestone interval and has produced about
24 26,000 barrels since its inception day.

25 The next well to the left is the West Pearl State

1 Number 1, which is in the northeast northeast of Section 2.

2 This sand -- As you can see, this well has no
3 first sand, no second sand present, only a remnant of the
4 third sand, and the fourth sand. This well was perforated
5 in the remnant of the third sand and is currently producing
6 about 48 barrels a day.

7 The next well is the Armstrong Energy West Pearl
8 State Number 2, which is in the southwest of the northeast
9 of 2.

10 As you can see again, here the second sand is
11 present, but only a remnant of the third sand is present
12 and some porous carbonate above it. We have passed into a
13 facies change from one depositional pod, and we're going to
14 pass into the next one. This sand was perforated in the
15 remnant. It is currently making about 25 barrels a day.

16 The next well is the Harken Energy Corporation
17 Mobil State Number 1, the discovery well for the Northeast
18 Lea-Delaware Pool. It is in the northwest of the southeast
19 of Section 2.

20 As you can see, it has a very thick first sand
21 interval, 66 feet thick. It's been perforated in that
22 interval. It has a fairly thick second sand. It only has
23 18 feet of the third sand present, all below the oil/water
24 contact. This well has made about 76,000 barrels from that
25 first sand interval.

1 CHAIRMAN LEMAY: How much? I'm sorry?

2 THE WITNESS: 76,000.

3 The next well is Armstrong Energy Corporation
4 Mobil Lea State Number 1, the first well that Armstrong
5 Energy drilled in the Northeast Lea Pool.

6 As you can see, there's a remnant. We have lost
7 quite a bit of the first sand, from 66 feet down to about
8 18 feet. The second sand is slightly thicker, but the
9 third sand is significantly thicker. We've gone from 18
10 feet of porosity in the Harken well to 86 feet in the Mobil
11 Lea State Number 1. You can see the perforations there.

12 This well -- During initial testing phase of this
13 well, the first two or three days of testing, this well
14 made in excess of 500 barrels a day.

15 The next well is the Armstrong Energy Corporation
16 Mobil Lea State Number 2.

17 As you can see, again we have thinned in the
18 second sand, but still a thick, wet second sand with a
19 carbonate barrier below it and above it, separating our
20 main producing reservoir, the third sand, from the first
21 sand above it.

22 The third sand in this well is 97 feet thick.
23 You can see the perforations there. This well also -- it
24 IP'd -- We IP'd the well for 211 barrels a day. It also
25 has the capability of producing in excess of 500 barrels a

1 day.

2 The next well is the Spectrum 7 Exploration Mobil
3 State Number 2 Well, the dryhole in the southeast of the
4 southwest of Section 2.

5 As you can see, again a quite thick second sand
6 interval, thick carbonate above it, thick carbonate below
7 it, approximately 76 feet of sand in the third sand, but
8 only 18 feet above the oil/water contact.

9 We recently sought approval from the Division and
10 received approval to drill an unorthodox well offsetting
11 this well in which we moved about 300 feet to the northwest
12 of this well and went from 18 feet above the oil/water
13 contact to 46 feet above the oil/water contact.

14 We have recently completed that well. We have
15 four days of productive history. It's been producing in
16 excess of 200 barrels a day, this week.

17 The next well is the Mobil Lea State Number 3
18 Well.

19 As you can see again, thick, wet number two sand,
20 thick carbonate below it, above it. Also about 97 feet of
21 sand in the third sand in this -- porosity in this third
22 sand in this well, not quite as much above the oil/water
23 contact, about 26 feet. This well is capable of producing
24 in excess of 200 barrels a day routinely.

25 The next well is the Read and Stevens Mark

1 Federal Number 4, which is in the southeast southeast of
2 Section 3.

3 It has 76 feet of third sand interval, as you can
4 see, a few feet above the oil water contact. This well was
5 completed in December of 1993 for about 92 barrels a day.

6 Again, even on Read and Stevens' side, you see a
7 thick carbonate barrier between the second and third sand.
8 A carbonate barrier is present between the second and the
9 first sand. It's not as thick in this particular well, but
10 there is carbonate barriers, and the thick wet sand present
11 between the two primary reservoirs on all the acreage.

12 The next well is the Read and Stevens Federal
13 Number 10. It was also completed in the third sand. It
14 tested about 26 feet above the oil/water contact. It IP'd
15 for 56 barrels a day in April of 1993.

16 The next well is the North Lea Federal Number 7.
17 As you can see, quite a thick third sand interval, all
18 below the oil/water contact. A completion attempt was made
19 in this well. It was swabbed a hundred percent water.

20 The next well is the North Lea Federal Number 6
21 in Section 10 of 20 South, 34 East.

22 As you can see, again about 26 feet above the
23 oil/water contact in the third sand. This well has been
24 completed in the third sand. It IP'd for about 117 barrels
25 a day in April of 1993. Again, a thick carbonate interval

1 above it, between it and the thick, wet second sand.

2 And the last well is the North Lea Number 5. As
3 you can see, the third sand is now gone. We're out of the
4 depositional channel and we're into the dolomite facies, no
5 third sand present.

6 This well is one of the wells where the thick,
7 wet second sand was attempted. You can see the
8 perforations there at 5812. This well swabbed 100 percent
9 water in that second sand.

10 Q. (By Mr. Carr) All right, Mr. Boling. What
11 conclusions can you reach from your geologic study of the
12 Delaware formation in this area?

13 A. My conclusions are, we have two primary
14 reservoirs that are quite extensive across the Northeast
15 Lea and Quail Ridge fields. Our nomenclature calls them
16 the first and third sands.

17 They're extensive across a wide area of these two
18 pools. They're prolific, both the first and the third are
19 prolific. They are separated, consistently separated by a
20 thick, wet second sand and two carbonate barriers so that
21 there is no vertical connection between these two
22 reservoirs.

23 We have drilling and mapping information that
24 tell us that across the topographic nose in the southeast
25 of Section 3 and northwest of Section 10, no sand occurs.

1 We have a well that goes from 97 feet of porosity to two
2 feet on the flank of that nose, and we have evidence that
3 Read and Stevens moved their location away from that nose,
4 trying to get sand.

5 We have plenty of evidence, geologic evidence,
6 that says there's no sand on that nose. If there's no sand
7 on that nose, there is no horizontal connection of the
8 third sand reservoirs in these two depositional pathways.
9 They're connected hydrologically in the water leg, but not
10 in the oil leg.

11 We also know that they're not vertically
12 connected because in many of -- in several of the wells
13 that Read and Stevens has, they completed in the third sand
14 and then went up and completed in the first sand and got
15 increased production, which indicates that we have two
16 separate reservoirs, two different sources of supply.

17 We would have to -- for Armstrong to produce oil
18 in the third sand reservoir out of -- off of Read and
19 Stevens' acreage, we would have to pull -- Since there is
20 ample evidence that no sand occurs across the topographic
21 nose in the high there, we would have to pull the oil down
22 through the water leg around that nose and back up into our
23 acreage, and I find that extremely difficult to conceive of
24 a mechanism that would allow us to do that.

25 So in my opinion, there is no connection in the

1 third sand reservoir, in the oil leg, between the
2 depositional pod and the sands that occur in Section 3 and
3 10 and the one that occurs in the west half of Section 2.

4 Q. Is Exhibit Number 9 an affidavit confirming that
5 notice of this hearing has been provided as required by Oil
6 Conservation Division Rules?

7 A. Yes, it is.

8 Q. And to whom was notice provided?

9 A. All operators in both pools.

10 Q. And there are no unleased tracts in either of
11 these pools?

12 A. That's correct.

13 Q. How close is the nearest Delaware production
14 outside what are now the established pool boundaries?

15 A. Eight miles to the southwest in the Hat Mesa
16 field.

17 Q. Will Armstrong also be calling an engineering
18 witness in this case?

19 A. Yes, they will.

20 Q. Were Exhibits 1 through 8 prepared by you?

21 A. Yes, they were.

22 Q. And Exhibit 9 is the notice affidavit?

23 A. Yes, sir.

24 MR. CARR: At this time, may it please the
25 Commission, we would offer into evidence Armstrong Energy

1 Corporation Exhibits 1 through 9.

2 CHAIRMAN LEMAY: Without objection, those
3 exhibits will be entered into the record.

4 MR. CARR: And that concludes my direct
5 examination of Mr. Boling.

6 CHAIRMAN LEMAY: Thank you, Mr. Carr.

7 Mr. Bruce?

8 CROSS-EXAMINATION

9 BY MR. BRUCE:

10 Q. Mr. Boling, if you could keep your Exhibits 5 and
11 7 handy --

12 A. Okey-doak.

13 Q. -- that's the only ones I have questions on as
14 far as --

15 A. Okay.

16 Q. A part of your Application is to abolish the
17 Quail Ridge and extend the Northeast Lea?

18 A. That's correct.

19 Q. Okay. So I presume you're saying that the pays
20 in the Northeast Lea-Delaware correlate with those in the
21 Quail Ridge?

22 A. I beg your pardon?

23 Q. The pay zones in the Northeast Lea correlate with
24 those in the Quail Ridge?

25 A. That's correct.

1 Q. Okay.

2 A. We are actually -- For the record, we were
3 directed by the Division in their Order to treat these two
4 pools as one. That is why we made it part of our
5 Application.

6 Q. Looking at your Exhibit 7, that is the isopach on
7 your third zone; is that correct?

8 A. Yes, sir.

9 Q. Okay. Looking at the wells in the southwest
10 quarter of Section 2 and then in the southeast quarter of
11 Section 3 --

12 A. Yes, sir.

13 Q. -- what is -- and I don't have the names, but I'm
14 looking --

15 A. Okay.

16 Q. -- the well that has your well, that has a "98"
17 by it. What is the gross --

18 A. That's the Mobil Lea State Number 2.

19 Q. Number 2.

20 A. The Number 3 is south of it. The Number 1 is
21 east of it. And the well that offsets the dryhole,
22 annotated "86", is the Number 4, recently completed.

23 Q. Okay. Well, let's look at the Number 2 and the
24 Number 3.

25 A. Okay.

1 Q. What are the gross thicknesses of the sands?

2 A. Actually, in these two sands, the gross thickness
3 is extremely close to the net porosity. The sand is very
4 porous, so it's approximately the same.

5 Q. Okay. 95 or 100 or --

6 A. Yeah, there is actually -- Consistently in the
7 southwest quarter of 2, there is about 20 -- between 11 and
8 18 feet of tight sand that occurs at the top before you hit
9 the porosity, and approximately 10 feet in the bottom. So
10 there's approximately 30 feet, or 25 to 30 feet, in excess
11 of these numbers that's tight. So that would be the gross
12 number.

13 Q. Okay. Now, let's go over to the Read and Stevens
14 wells.

15 A. Okay.

16 Q. These two wells in the southeast quarter of
17 Section 3, one of them you don't have a number by.

18 A. The one that's annotated "2"?

19 Q. Correct, the one in the northeast quarter --

20 A. Okay, that's the Number 8.

21 Q. -- of the southeast quarter.

22 A. That's the Number 8, yeah. Two feet of porosity
23 in that one.

24 Q. What is the gross --

25 A. Six.

1 Q. -- sand thickness? Six feet gross sand?

2 A. That's my interpretation, yes, sir.

3 Q. What about the well in the southeast quarter of
4 the southeast quarter? What is the gross?

5 A. I don't recall. I think it's -- But it is a very
6 porous well, so it's similar to -- It's a little bit more
7 than 76 feet.

8 Q. Okay. My question is, between your Number 2 and
9 Number 3 wells and the Read and Stevens well in the
10 southeast of the southeast of Section 3, and the other one,
11 the --

12 A. Number 8.

13 Q. -- Number 8 --

14 A. Yes, sir.

15 Q. -- Well, in looking in the northeast northeast of
16 Section 10, is there any other well control, any well
17 control that would show a zero porosity between those
18 wells?

19 A. I'm not -- Are you asking me if there are more
20 wells out there than I have on the map? What are you
21 asking me?

22 Q. I'm asking you what the basis is for showing this
23 big nose starting in the southeast quarter of Section 3 and
24 going down into the northeast quarter of Section 10.

25 A. Well, the nature of these depositional pathways

1 are such that you're either in or out of the pathway, and
2 it -- as -- when you map out there, you'll find that -- if
3 you'll notice a trending across the northeast -- I mean the
4 -- the northeast and southwest portions of Section 2,
5 you'll see several other noses.

6 There are nosing trends out there with the low
7 spots in between the noses and the low spots where the sand
8 is, and this is consistent with almost all Delaware
9 topography that I've mapped in the last eight years.

10 Q. What I'm asking is, do you have any control which
11 would show a zero in between your wells --

12 A. Yes, sir, I have their well that has two feet in
13 it, and my well right beside it has got 97 feet in it.

14 Q. Well, that's not quite in between, though. And
15 there is rapid dropoff --

16 A. And you will notice if you'll look in the west
17 half of Section 10, and the north -- southeast quarter of
18 Section 3, the same thing happens. When you're in the
19 depositional pathway, you're in the sand. And when you're
20 out, you're out, and there's no sand. You're in a dolomite
21 facies.

22 The nose is present because we have these two
23 depositional pathways, we have two low spots. You normally
24 have -- Unless there's one huge low spot out there, which
25 there's not, you have a high in between them.

1 Q. Well, I'm looking at your map. I don't see any
2 other nose out here.

3 A. Well, if you'll look in the southwest quarter of
4 Section 2, you'll see a well that's a dryhole, annotated
5 minus 2320. There's a nose there.

6 I'll point them out to you if you want me to.

7 Here we go, there's a nose here, there's a nose
8 here --

9 MR. CARR: Mr. Boling, if you could instead of
10 just saying "here" tell us by description where they're
11 located?

12 THE WITNESS: I'm sorry, there's a nose in the
13 southwest quarter -- southwest quarter of Section 2,
14 there's a nose. And there's also a nose in the northeast
15 quarter of Section 2.

16 Q. (By Mr. Bruce) So this nose you have on your
17 Exhibit 7 is based solely on your structure controlling the
18 deposition of the sand?

19 A. That's correct.

20 Q. Okay, nothing else.

21 What is your oil/water contact?

22 A. We have determined that in the third sand it is
23 approximately -- not approximately, we believe that at 2269
24 there is approximately a six-foot transition zone.

25 A recent well drilled by Read and Stevens

1 indicates the absolute oil/water contact appears to be
2 2275. For our purposes, we've used 2269 because we have
3 several wells where we note loss of shows and change in the
4 resistivity characteristic at that level. We're talking
5 about a difference of six feet.

6 Q. Okay. And looking at your Exhibit 5, then, the
7 Read and Stevens well, certainly in Section 10 and perhaps
8 some of those in Section 3, are lower structurally than the
9 Armstrong wells?

10 A. That's correct. And that's -- As noted on the
11 cross-section, you'll notice how much of their sand is
12 above the observed oil/water contact versus the amount of
13 sand in the Armstrong well that is above the observed
14 oil/water contact.

15 Q. What is the -- Looking at your wells in Section 2
16 and the Read and Stevens wells in Section 3, is the gravity
17 of the oil the same?

18 A. Yes, sir, I believe it is.

19 MR. BRUCE: I don't have anything further, Mr.
20 Chairman.

21 CHAIRMAN LEMAY: Thank you, Mr. Bruce.

22 Questions? Commissioner Bailey?

23 EXAMINATION

24 BY COMMISSIONER BAILEY:

25 Q. I'd like to draw back from these maps.

1 A. Okay.

2 Q. Can you give me a brief, three-line summary of
3 the depositional history --

4 A. No.

5 Q. -- of the Delaware sand in this area?

6 A. No, I cannot. I can tell you this, though: The
7 Delaware probably has no analogue in geologic history, nor
8 possibly in modern history.

9 The depositional environment has been debated for
10 years. It is in question. There are some people that
11 believe there's a modern analogue to the Delaware Basin --
12 Delaware sands off the west coast of Africa, but that is
13 currently being debated.

14 So I cannot do that in three lines. I may be
15 able to do it in three hours, if you want to listen to a
16 lecture in geology.

17 Q. No, I was just listening -- waiting for your
18 interpretation.

19 The closest Delaware production that --

20 A. Eight miles to the southwest.

21 Q. Eight miles to the southeast? Does it have the -

22 -

23 A. West.

24 Q. -- same type of --

25 A. Characteristics? No.

1 Q. -- characteristics, with the lobes and --

2 A. No, the Hat Mesa field is eight miles to the
3 southwest. This sand is in the -- The Delaware has been
4 divided into three sections: the upper portion called the
5 Bell Canyon, the middle section called the Cherry Canyon,
6 the basal portion of the section called the Brushy Canyon.
7 And we're talking about a 2500-foot section.

8 This sand that we're producing out of both of
9 these reservoirs, all four of these sands in the Northeast
10 Lea and Quail Ridge fields are in the Cherry Canyon, the
11 last sands deposited at this particular time in the Cherry
12 Canyon.

13 The wells at Hat Mesa to the southwest are
14 primarily producing out of the Brushy Canyon, much deeper.
15 Completely different kind of animal down there.

16 COMMISSIONER BAILEY: No further questions.

17 CHAIRMAN LEMAY: Commissioner Weiss?

18 EXAMINATION

19 BY COMMISSIONER WEISS:

20 Q. Yeah. Mr. Boling, you said that the third sand
21 is connected only downdip in the water leg --

22 A. Yes, sir.

23 Q. -- and not in the --

24 A. And not in the oil leg, that's correct.

25 Q. Okay. Now, that's based purely on your maps?

1 A. That's based on my maps and the engineering data
2 that we have.

3 Q. You have some more data?

4 A. We've got a lot more data.

5 Q. Okay. But your interpretation is from the maps.

6 And then you said there was no vertical
7 communication between the --

8 A. Absolutely none.

9 Q. Do you think -- I assume that's again inter-well.
10 What about at the wellbore?

11 A. No, I don't think that there's any vertical
12 communication -- I don't understand.

13 Q. Are the wells all cemented properly?

14 A. Oh, absolutely, absolutely.

15 There has been -- In fact, we're extremely
16 careful with the cementing procedures, because there have
17 been some casing problems out there and we have had --
18 experienced lost circulation. So we're extremely careful
19 with cement.

20 Q. So there is support to come --

21 A. Absolutely.

22 Q. -- lack of communication at the well?

23 A. (Nods)

24 COMMISSIONER WEISS: No more questions. Thank
25 you.

EXAMINATION

BY CHAIRMAN LEMAY:

Q. Mr. Boling, just going back to your Exhibit Number 5 --

A. Okay.

Q. -- I'm curious. Do you have on top of this main producing sand --

A. Mapped?

Q. Let's see. Exhibit 5 is the --

A. -- base.

Q. -- the base of the --

A. Yes, sir.

Q. Okay.

A. Exhibit 6 is the top.

Q. Actually, my question could refer to either exhibit.

A. Okay.

Q. Do you have a regional dip on the Delaware with these sands, so many feet per mile, estimated?

A. Not really. The problem here, Mr. LeMay, is that the sands are so restricted areally to this small area, and there -- the dip is -- in the third sand, maybe up to 200 feet per mile, two degrees, but -- which is -- You know, the standard dip out here is about one degree anyway.

But regional dip is quite flat except in these

1 depositional pathways. Apparently the edges of these
2 incised channels must be quite abrupt, because you go from
3 sand to nothing really -- real fast. And actually, there's
4 probably not a thinning, as indicated on this map. I mean,
5 you're in it and you're out of it. And you go from sand to
6 dolomite just like that.

7 Q. The reason why I ask is, it looks to me like your
8 -- and this isn't a form of criticism but just a form of
9 exploring your style.

10 A. Okay.

11 Q. You tend to keep your contours tight and maximize
12 structure utilizing your method of contouring?

13 A. Actually, it's quite the opposite. I don't
14 utilize -- The contours are tight only because I use such a
15 fine contour interval, ten feet.

16 If I used 25 feet or something -- I like to use
17 ten feet because, you know, God is in the details. So you
18 look for the small things out here.

19 And I actually try not to accentuate the
20 structure because I'm more of a -- I like to map a big area
21 and get a feel for the trend and then try to be consistent
22 with the trends as I've shown here, noses and low spots,
23 and I don't normally try to accentuate the structure.

24 Q. So you would say it wouldn't maximize structure,
25 your style would --

1 A. No, it wouldn't.

2 Q. Okay. It's difficult not having regional dip to
3 compare with your style.

4 A. Sure.

5 Q. That's why I ask the question on regional dip.
6 The continuity of the sands as you've mapped
7 them --

8 A. Yes, sir.

9 Q. -- and your identification of the first, second,
10 third and fourth sands -- It's been a while since I've even
11 looked at the Delaware. Is that becoming standardized
12 terminology at all?

13 A. No, that's mine.

14 The reason why I did that is because at -- Once
15 we drilled the first well and had the discovery, had the
16 shows in the first interval that we had along with this
17 tremendously prolific well in this other sand, I went back
18 and did a much more detailed map in the area and broke
19 those sands down, because I recognized that we had two
20 reservoirs, and at the time I thought we might have four
21 reservoirs. So I just -- That's just a nomenclature I
22 picked up.

23 And actually, if you go to the south of Section
24 10, down in Section 15, there are no carbonate barriers
25 down there to these sands; you just have one big pile 400-

1 feet-thick sand.

2 So we're very close to the source. We're getting
3 back up to -- up shelfward, and we have those carbonate
4 barriers between the sand. It was just a convenient
5 nomenclature for me to use while I was mapping.

6 Q. Final question. I assume that Charlie Read and
7 Bob Armstrong don't go to the same church?

8 A. No, sir, I don't believe they do. Does Charley
9 go to church? I don't know.

10 CHAIRMAN LEMAY: You want to identify those? I'm
11 sure there would be a lot of oil, gas operators would like
12 to know.

13 Any further questions of the witness? If not, he
14 may be excused.

15 THE WITNESS: Thank you.

16 CHAIRMAN LEMAY: We can take about a fifteen-
17 minute break here.

18

19 (Thereupon, a recess was taken at 10:23 a.m.)

20 (The following proceedings had at 10:41 a.m.)

21

22 CHAIRMAN LEMAY: We will continue.

23 Mr. Carr?

24 MR. CARR: At this time, we would call Mr. Bruce
25 Stubbs.

1 BRUCE A. STUBBS,

2 the witness herein, after having been first duly sworn upon
3 his oath, was examined and testified as follows:

4 DIRECT EXAMINATION

5 BY MR. CARR:

6 Q. Would you state your name for the record, please?

7 A. My name is Bruce Allen Stubbs.

8 Q. And where do you reside?

9 A. Roswell, New Mexico.

10 Q. By whom are you employed and in what capacity?

11 A. I'm employed by Armstrong Energy as a consulting
12 petroleum engineer.

13 Q. Mr. Stubbs, have you previously testified before
14 this Commission?

15 A. I have not testified before the Commission; I
16 have testified before the Division.

17 Q. Could you briefly summarize your educational
18 background and then review your work experience?

19 A. I'm a graduate of New Mexico State University
20 with a bachelor of science in mechanical engineering in
21 1972.

22 Out of college I went to work for Halliburton
23 Services, which is an oilfield service company. I worked
24 for them for nine years, numerous locations in the Permian
25 Basin in southeast New Mexico, primarily as an engineer.

1 In 1981 I went to work for Read and Stevens. I
2 was their operations manager/engineer for approximately six
3 years, primarily working southeast New Mexico, nonoperating
4 properties in the Rocky Mountains and Texas.

5 In 1987 I went to work for Hondo Oil and Gas as
6 the Permian Basin operations manager. I operated 1200
7 wells in west Texas, southeast New Mexico, and I worked for
8 Hondo Oil and Gas up until mid-1992.

9 And in 1992 my partner and I started our own
10 company called Pecos Petroleum Engineering. Since that
11 time we've been providing service to the oil and gas
12 industry as engineers.

13 Q. Are you familiar with the Applications filed in
14 each of these consolidated cases?

15 A. Yes, I am.

16 Q. And are you familiar with both of the pools that
17 are involved in the cases?

18 A. Yes, I am.

19 Q. Have you made an engineering study of these
20 pools?

21 A. Yes, I've studied every well in the pools.

22 Q. Are the results of this engineering study
23 contained in what has been marked for identification as
24 Armstrong Energy Corporation Exhibit Number 10?

25 A. That's correct.

1 MR. CARR: May it please the Commission, at this
2 time we would tender Mr. Stubbs as an expert witness in
3 petroleum engineering.

4 CHAIRMAN LEMAY: His qualifications are
5 acceptable.

6 Q. (By Mr. Carr) Mr. Stubbs, let's go to Exhibit
7 Number 10, and first I would like you to identify what is
8 Exhibit A in Exhibit 10.

9 A. Exhibit A is just a short narrative of what we
10 looked at in these fields, some of our findings and some of
11 our conclusions.

12 Q. And does this basically contain your -- summarize
13 the entire study that you have made?

14 A. Yes.

15 Q. There's an index ahead of that to all the
16 exhibits in this book?

17 A. That's correct.

18 Q. Let's go to the portion of the exhibit marked
19 Exhibit B -- the pages are numbered at the bottom -- and I
20 would ask you to identify what is marked Exhibit B-1.

21 A. Exhibit B-1 is an enlarged view of a land plat
22 which shows the location of the two fields. The Northeast
23 Lea-Delaware field is outlined in orange. The Quail Ridge-
24 Delaware Pool is outlined in red.

25 It also spots the wells, and later we'll use this

1 map to identify the wells, and what the production is.

2 To simplify things a little bit, when we talk
3 about the West Pearl wells, they'll be located in the
4 northeast quarter of Section 2. The Mobil Lea State wells
5 are in the southwest quarter of Section 2. The Mark
6 Federal wells, Read and Stevens Mark Federal wells, are in
7 the south half of 3. The Snow Oil and Gas wells are in the
8 southeast of 4 and the northeast of 9 and the southwest of
9 10. And the North Lea Federal Read and Stevens wells are
10 in the north half of Section 10.

11 Q. There's a circle drawn on this map, and this
12 circle really is not applicable to the issues involved in
13 this case; is that right?

14 A. No, that's just kind of a reference to see the
15 wells that are within one mile of the wells we're talking
16 about.

17 Q. All right. Could you identify what has been
18 marked Exhibit B-2?

19 A. All of the wells in the pool are listed with the
20 operator, the well name, their location and the zones that
21 have been perforated, and then any comments about
22 particular wells.

23 Q. If we go to the second page of that exhibit, the
24 Mobil State Number 2 is listed as being operated by
25 Spectrum 7 Exploration. What is the status of that well?

1 A. That well was drilled back in 1986 by Spectrum 7
2 shortly after they drilled the Mobil State Number 1 well.
3 They tested that well and, for whatever reason, it was not
4 productive. And they have since plugged and abandoned that
5 well. And in fact that well, that plugged wellbore, is now
6 on the Armstrong lease.

7 Q. Let's now go to Exhibit Number C, the type log.
8 How does this type log compare to the type log that was
9 marked Exhibit Number 1 and offered by Mr. Boling?

10 A. This is essentially the same type log, and I have
11 essentially the same picks as Mr. Boling has. Concerned
12 mainly with the sands where he included the carbonate
13 barriers, but in my analysis I'm mainly concerned with the
14 sands.

15 Q. All right. Could you generally summarize the
16 nature of the sands in each of these intervals and, in so
17 doing, try not to just duplicate what Mr. Boling presented,
18 but if you could briefly review each of them for the
19 Commissioner?

20 A. Okay, the first sand from 5520 to 5706 is
21 productive or potentially productive in all the wells in
22 both fields, excluding the Mescalero Ridge Number 3, which
23 is in Section 35, and the West Pearl Number 1, which is in
24 the northeast northeast of Section 2. It is the main pay
25 in the Quail Ridge field, marked Federal 1, 2, 3, 5 and 6,

1 and the North Lea Federal 4, 5, 6, 7, 8 and 9 are completed
2 in that first sand. The Snow Oil and Gas wells are also
3 completed in that first sand.

4 Now, the discovery well, which is the Mobil State
5 Number 1 -- it was originally drilled by Spectrum 7 and is
6 now owned by Mid-Continent Energy, located in the northwest
7 of the southeast of Section 2 -- that was the discovery
8 well for the northeast Lea Field. That well is completed
9 in the first sand and has made 76,000 barrels to date.

10 The first sand over both fields has produced in
11 excess of a half a million barrels, and the daily
12 production has been about 700 barrels a day.

13 We'll show in production curves in a little while
14 that we have constant GORs, the water rates are constant.
15 We'll show that we have an oil/water contact in the first
16 sand that's not real definite, but at minus 2043, and that
17 occurs in the North Lea Federal 1 Y well.

18 There's also evidence of that sand extending
19 south into Sections 11, 14 and 15, so there's a large water
20 leg associated with this oil column.

21 There doesn't appear to be a gas cap present.
22 The reservoir is above bubble point, so there's no free
23 gas.

24 And the oil column covers approximately 1200
25 acres. And if you'll look back at the map, B-1, it

1 essentially covers the area, south half of 3, north half of
2 10, the southeast quarter of 4, northeast quarter of 9,
3 southwest of 2, northeast of Section 2.

4 Q. All right. Let's go to the second sand. Could
5 you generally describe the characteristics of that sand?

6 A. The second sand on the type log occurs from 5745
7 to 5840. It's been tested in three wells -- again, you
8 might want to refer back to the map, B-1 -- in the West
9 Pearl State Number 2, which is in the southwest of the
10 northeast of Section 2, and also in the -- let's see, in
11 the West Pearl 2 and the Mark Federal 5 and the Mark
12 Federal 8, which are on the opposite side of the field.
13 The Mark 8 is in the northeast of the southeast of 3, and
14 the Number 5 is in the northeast of the southwest of 3.

15 So we have a pretty nice representation all
16 across the field on the second sand has been tested and in
17 all cases has been found to be wet. I think this is also
18 confirmed by the log analysis. The resistivity of the zone
19 is three ohms or less, and usually that means it's wet,
20 especially with 20-percent porosity.

21 The only well that has produced anything out of
22 that interval -- and it's not a sand interval; it's a
23 limestone interval -- is the Mescalero Ridge Number 3 up in
24 Section 35, and it's a fairly poor well. It's made 26,000
25 barrels of oil to date.

1 Q. All right. Let's go to the third sand.

2 A. The third sand, from 5870 to 6048, is the main
3 pay in the Northeast Lea field. All of the Mobil Lea State
4 wells have been completed in that third sand, and also the
5 two West Pearl wells have been completed in that third
6 sand.

7 The wells in the Quail Ridge field, the North Lea
8 Federal 6 and 10 and the Mark Federal 4, have been
9 completed in the third sand. Then the North Lea Federal 5
10 and 8 have been completed in that interval, but it's a
11 limestone, it's changed to a limestone facies over in the
12 east half of the southwest quarter of Section 10.

13 We've established an oil/water contact on the
14 Mobil Lea State side. There's a little transition zone.
15 It starts at about at minus 2269, water saturations
16 increase. At minus 2275, it's basically above 60 percent
17 considered wet.

18 There's no gas cap present, indicating the
19 reservoir is undersaturated, and it's above the bubble-
20 point pressure. There's about a two- to two-and-a-half-
21 degree southeast dip through this third sand formation.

22 The third sand has produced over 234,000 barrels
23 to date. Production is about 750 barrels a day. The zone
24 is believed to have a strong water drive, as evidenced by
25 constant GORs, stable bottomhole pressures, flat production

1 rates and material balance analysis, which we'll look at
2 here in a few minutes.

3 Evidence of this sand can be seen in Section 11,
4 Section 10, Section 14, again indicating a large water leg
5 associated with this reservoir.

6 The third sand covers approximately 400 acres.
7 It covers about one-third the area of the first sand.

8 Q. All right. Quickly, the fourth sand?

9 A. The fourth sand is basically any sand we find
10 below the third sand, and there's been two wells that have
11 had small shows or small amounts of production. That's the
12 North Lea 5 and the Snow Oil and Gas SCJ Federal Number 1,
13 and it really hasn't been a significant producer in the
14 area, and not much consideration has been given to that
15 sand.

16 Q. Do the wells that are the subject of the cases
17 before the Commission today, do those wells perform as
18 typical Delaware wells?

19 A. No, back when we first started looking at this
20 thing, it became pretty obvious pretty quick that these
21 were not your normal Delaware oil wells.

22 If you'll turn to Exhibit D, D-1, what we've done
23 is totaled all the production for all the Delaware
24 completions in different years, starting with 1985. And
25 1985 is a little hard to see, so if you would turn to maybe

1 the second one, 1986, where the gas/oil ratio -- or the gas
2 production is overlaid with oil production.

3 A typical Delaware well initially starts out with
4 a fairly low GOR. You get a flush production due to the
5 stimulation treatment and the reservoir being at the
6 highest pressure it's ever going to be. That bleeds off
7 pretty quick, and you get to bubble-point pressure fairly
8 rapidly.

9 You'll notice on D-2, that the gas production
10 stays relatively high as the oil production decreases.
11 This shows you that the GOR is increasing.

12 In this case, out at the end there in 1993, the
13 GOR is about 2500 to 1. And it starts out roughly one to
14 one. So we've reached bubble point, primarily solution gas
15 drive. The wells after about three years flatten out to
16 around 11 percent decline.

17 And this is -- If you want to glance through D-3
18 through D-6 real quick, it's fairly typical.

19 Q. You have about a year with a high decline rate
20 that flattens out for a couple of years, and then it
21 becomes fairly -- very flat after that?

22 A. Yeah, its final decline.

23 Q. Do you have any opinion as to what the reservoir
24 mechanism is in the normal Delaware reservoir?

25 A. It's primarily a solution gas drive with maybe

1 just a little bit of water influx in some cases.

2 Q. Now, Mr. Stubbs, you were a witness at the
3 hearing last January, were you not?

4 A. That's correct.

5 Q. And when that application was denied, Armstrong
6 was directed to accumulate some additional data on the
7 pool; is that right?

8 A. That's correct.

9 Q. Were you involved in the May request to the
10 Division for authority to conduct special tests on the -- I
11 believe it's the Mobil Lea State Number 2 Well?

12 A. That's right, I was.

13 Q. And when you received that approval, was
14 Armstrong directed to come back at the Commission hearing
15 and present the data they had been able to accumulate on
16 the reservoir?

17 A. That's correct.

18 Q. And are you prepared to do that at this time?

19 A. Yes.

20 MR. CARR: May it please the Commission, we are
21 going to look at the wells individually in the pool. We're
22 going to do that as quickly as we can.

23 In that regard, just as a tool to keep us all
24 oriented as to the portion of the reservoir we're
25 discussing, it might be helpful to pull Exhibit 2 and

1 Exhibit 7. Those are the net isopach maps on the two
2 primary producing intervals.

3 COMMISSIONER WEISS: Before we do that, I need a
4 little clarification. I don't see which of these curves on
5 these six production history plots is the GOR.

6 THE WITNESS: There's not a GOR curve. There's
7 gas production and oil production.

8 COMMISSIONER WEISS: Okay.

9 THE WITNESS: As the gas production stays
10 relatively flat and the oil production drops, the GOR
11 increases.

12 COMMISSIONER WEISS: It says "GOR longdash", and
13 I can't see those.

14 THE WITNESS: No, there's no GOR plotted on
15 there.

16 COMMISSIONER WEISS: Thank you. Which --

17 MR. CARR: Exhibit Number 2 and Exhibit Number 7.
18 Those are the two net-porosity isopachs, zone 1, and the
19 other on zone 3.

20 THE WITNESS: If you'll turn to Exhibit E-1,
21 we'll quickly run through the production histories of these
22 wells.

23 Q. (By Mr. Carr) First, Mr. Stubbs, we're going to
24 do the wells that are in the Northeast Lea-Delaware Pool,
25 correct?

1 A. That's correct.

2 Q. All right.

3 A. We'll start in Section 35 and go to Section 2.

4 Q. All right. Starting first with the Mescalero
5 Number 3 in 35?

6 A. That's correct.

7 Q. Okay. Can you review for the Commission what is
8 shown in regard to that well?

9 A. Exhibit E-1 is -- The top box is the production
10 history of the well. If you'll -- Probably since this well
11 is in the second sand lime equivalent, it really doesn't
12 have a lot of bearing on the first or third sand that we'll
13 be talking about.

14 But the thing we need to look at is, it behaves
15 like a typical Delaware well: high initial rates, drops
16 off, finally levels out. GOR starts at 400 or 500 cubic
17 feet per barrel. Over the life of the well it's increased
18 to 2500 cubic feet per barrel.

19 Q. All right. What do you have on page E-2?

20 A. E-2 is the raw data that we obtained from
21 *Dwight's Energy Data*, and it's just a -- same plot. We
22 took that data and put it in a computer program to get the
23 GORs and blow it up a little bit where you can see it a
24 little better.

25 Q. Okay. Now let's go to the wells located in

1 Section 2. Would you go to page E-3?

2 A. Okay. E-3 is the West Pearl State, located in
3 Unit A of Section 2. This is a third sand completion. And
4 I want to try to tie some of the production back to the
5 geology. I think you'll see a real close correlation.

6 If you look on Exhibit 7, you'll notice that this
7 well is up in that little pod in the northeast quarter of
8 Section 2, more or less isolated by itself, not really
9 connected to the main sand body.

10 And this affects, I think, the production, number
11 one, and it also affects the GOR. We have a GOR increase
12 from about 300 to slightly over 700 cubic feet per barrel.
13 This indicates that there's probably, if anything, minor
14 water influx, and it's primarily solution gas drive.

15 Water cuts have remained constant at about 10
16 percent. This well has made 24,000 barrels so it's kind of
17 an edge well, off kind of by itself.

18 Q. Okay, let's go to the next well, the Pearl State
19 Number 2.

20 A. West Pearl State 2 again is on the edge of the
21 main sand body, almost into that isolated little pod on the
22 northeast quarter. It was a third sand completion.

23 In the middle of 1993, they made an attempt to
24 test the second sand. The second sand was perforated and
25 no increase in oil production and a drastic increase in

1 water production is evidenced by the water cut at the
2 bottom box. In June it was about 20 percent; after the
3 completion it was over 60 percent.

4 Q. Okay, Mobil State Number 1 well?

5 A. Okay, the Mobil State Number 1 Well is the
6 discovery well in the Northeast Lea-Delaware field,
7 originally drilled by Spectrum 7 and now operated by Mid-
8 Continent Energy.

9 If you'll refer to Exhibit 2, that's the well
10 that's located in the northwest of the southeast of Section
11 2, Unit J. It's kind of on the northeastern edge of the
12 first sand reservoir. And it is behaving similar to what
13 we call a typical Delaware well: High initial rate, it
14 drops off, levels out, GOR has increased from 400 or 500
15 cubic feet per barrel to now slightly over 1000.

16 Water cuts are about 30 percent, and this well
17 has made about 76,000 barrels out of the first sand.

18 Q. Let's go now to the Mobil Lea State Number 1.

19 A. The Mobil Lea State 1 is a third sand well, and
20 if you'll refer to Exhibit 7 you'll see that the four
21 Armstrong wells lay in the guts of the north-south trend of
22 that deposit, with -- Most of them have around a hundred
23 feet of gross interval, 60 feet above the oil/water
24 contact.

25 If you would turn the page, this is the test data

1 on E-10 that we acquired while we were testing this well.
2 These are daily tests, obtained from the pumper, and you'll
3 notice that when the well was first completed back in
4 November of 1992, there was a few days it was over 500
5 barrels a day.

6 It took a few days to get equipment --

7 COMMISSIONER WEISS: Which Exhibit are you on?

8 THE WITNESS: E-10.

9 COMMISSIONER WEISS: Thank you.

10 THE WITNESS: Once it was -- chokes were
11 installed and the well was calmed down enough to tell what
12 was going on, it leveled off at about 180 barrels a day.
13 It's been produced at 180 to 300 barrels a day, and it
14 was -- Starting in about April, it was put on about a 200-
15 barrel-a-day production test till about mid-July.

16 The important things to notice here is the GORs.
17 The middle box, GORs are initially about 300 in May.

18 The way they were producing it before May was,
19 they were just allowing it to flow up the tubing. And this
20 kept quite a bit of pressure on the well, and that
21 evidently restricted the gas flow a little bit.

22 They opened the annulus in May and bled off that
23 gas, and the GOR was stabilized at about 400 cubic feet per
24 barrel.

25 Another important note is, the bottom box is the

1 water cuts. You'll notice that the water cut initially was
2 about ten percent, and even after the production of 200
3 barrels a day, the water cuts have actually decreased to
4 less than ten percent.

5 So we feel like there's no coning problems in
6 this particular reservoir, probably due to the laminated
7 nature of the reservoir. If we do have water influx, it
8 will probably be from the edge of the reservoir.

9 Q. (By Mr. Carr) All right, let's go now to page
10 E-12.

11 A. I might just mention that that well in November
12 made 3444 barrels, 114 barrels a day.

13 Q. Now, the E-12.

14 A. E-12.

15 Q. The Mobil Lea State Number 2.

16 A. Mobil Lea State Number 2. If you'll turn to
17 E-13, this is the daily production test that we ran when
18 that well was initially completed. The well was completed
19 in April of 1993, and again, excellent well; we had days
20 over 500 barrels. We finally got it choked back and calmed
21 down to 150 barrels a day.

22 In June we got permission to run a 300-barrel-a-
23 day test. Rates were increased, stabilized at 300 barrels
24 a day.

25 The important things to note, again, GORs are 300

1 to 400 cubic feet per barrel. During the tests they
2 leveled off just slightly over 400 cubic feet per barrel.

3 And again, the bottom box, water cuts. During
4 that 300-barrel-a-day test the water cuts were less than
5 ten percent, and there toward the end they even dropped off
6 to as low as seven percent.

7 So again, even at higher rates, we're not seeing
8 any kind of water coning or bringing water in from some
9 other place to affect the production on this well.

10 Q. Now, the Mobil Lea State Number 3?

11 A. The Mobil Lea State Number 3 was completed in
12 September of 1993.

13 COMMISSIONER WEISS: Which exhibit?

14 THE WITNESS: This is E-15.

15 COMMISSIONER WEISS: Thank you.

16 THE WITNESS: Another excellent well, capable of
17 the same type of production as the 1 and 2. In November,
18 it made 3470 barrels, which is 115 barrels a day. Water
19 cuts about 22 or 23 percent. Gas/oil ratio is below 400
20 cubic feet per barrel. And this well made about 11,000
21 barrels.

22 Q. (By Mr. Carr) Now, Mr. Stubbs, have you reviewed
23 now all of the wells in the Northeast Lea-Delaware field?

24 A. Well, there's one other well, and that's the
25 Mobil Lea State Number 4. It's just been completed in the

1 last few days. In fact, I've got a test for this morning.
2 It's out of the third sand from 5910 to -40. First
3 production was last Saturday, so it's been about five days
4 now, they've been getting things on production.

5 This morning's test was 222 barrels of oil, 15
6 barrels of load water, 77 MCF of gas, fluid level at 47
7 joints, which would be roughly 1500 feet from surface. So
8 there's about 3500, 3800 feet of fluid column below the
9 producing zone.

10 CHAIRMAN LEMAY: Where is that well located?

11 THE WITNESS: That's in the southeast of the
12 southwest of Section 2, just south of the number 1.

13 MR. BOLING: Offsetting a dryhole, slightly to
14 the northwest of the dryhole.

15 THE WITNESS: If you will refer to Exhibit B-1 in
16 my book, it's on that map.

17 CHAIRMAN LEMAY: Is that it?

18 MR. BOLING: Yes.

19 CHAIRMAN LEMAY: Got it. Thank you.

20 Q. (By Mr. Carr) Now, Mr. Stubbs, can you draw any
21 conclusions about the Northeast Lea-Delaware Pool?

22 A. The Northeast Lea-Delaware Pool in the third sand
23 is excellent production, probably some of the best Delaware
24 production you're going to see in southeast New Mexico. It
25 has a large interval, a lot of it -- a majority of it above

1 the oil/water contact. It has the capacity to produce at
2 high rates. We've seen no evidence of any kind of
3 reservoir damage due to water influx, increasing GORs,
4 damage due to fines or production rates decreasing, due to
5 production rates.

6 The second sand has been tested. It's not
7 productive, it's wet. Calculations show it to be wet, well
8 tests show it to be wet.

9 The first sand has been produced in the Mobil
10 State Number 1 in the southeast of Section 2, is the
11 discovery well, so it's productive. We feel like it's
12 productive all across the southwest quarter of Section 2.
13 There's good log shows, good mud log shows. The logs
14 calculate that this should be productive in the first sand.

15 Q. With the exception of the discovery well and the
16 well in 35, are all wells in this field producing from what
17 we call the third sand?

18 A. All except for the West Pearl 2, which has been
19 perforated in the second sand, and it's -- Mostly it's all
20 water, it's no production increase due to that workover.

21 Q. All right. Let's go on now, and let's take a
22 look at oil wells in the Quail Ridge-Delaware Pool, and we
23 will start with the Mark Federal Number 1 on page E-16.
24 Would you briefly review the information on this well?

25 A. Okay, the Mark Federal Number 1 is a first sand

1 well. It's located in Unit M of Section 3.

2 Noteworthy things to notice on this are the
3 stable production. This well has been on production now 34
4 months. In the last few months it's averaged -- In
5 November it averaged 190 barrels a day. It's been a top-
6 allowable well. Again, not your typical Delaware well.
7 The GORs have remained stable, between 300 and 400 cubic
8 feet per barrel, and the water cuts have remained stable at
9 slightly less than 30 percent.

10 Q. All right. Let's go now to E-18, the Mark
11 Federal Number 2.

12 A. The Mark Federal Number 2 is also a first sand
13 well. It's in Unit Letter N. It's the east offset to
14 Number 1.

15 Again, notice the stable production. In November
16 it made 3035 barrels. It's averaged 101 barrels a day.

17 One noteworthy thing: We see a slight increase
18 in the GOR in this well. Initially, it was around 300
19 cubic feet per barrel, and the last seven or eight months
20 it's come up to 400 cubic feet per barrel, and this may be
21 an indication that we're finally getting in that one
22 particular area down maybe to the bubble-point pressure, or
23 close to bubble-point pressure.

24 Also, the water cuts have remained below ten
25 percent in this well. It's produced 92,000 barrels to

1 date.

2 Q. All right, let's go now to page E-20, the Mark
3 Federal Number 3.

4 A. The Mark Federal Number 3 is another first sand
5 well, completed February of this year. It's kind of a poor
6 well. And it looks like, in my opinion, that maybe the
7 stimulation treatment got in the second sand. It's had
8 some water problems, water cuts above 60 percent. In
9 November it made 1369 barrels. That's 45 barrels a day.
10 And it's only cum'd about 12,000 barrels.

11 Q. All right, let's now go to page E-22, the Mark
12 Federal Number 4. Would you review the information on that
13 well?

14 A. This is a new well. It was -- Drilling was
15 completed in mid-November, and the well was completed the
16 first part of December out of the third sand. This well is
17 located in Unit P.

18 The production test on December 3rd was 98 oil,
19 62 barrels of load water, 24 hours with 95 barrels of load
20 left to recover. So that should be a top allowable well
21 also. It's got about 30 or 40 feet above the oil/water
22 contact.

23 Q. All right, the Mark Federal Number 5 on page
24 E-23.

25 A. This well was completed in October of 1993. It

1 didn't have any third sand. The second sand was tested.
2 In fact, it was tested twice, two different intervals. The
3 first interval, at 5814 to -36 was wet, 100 barrels of
4 water per day, no show. The second interval, 5720 to -24,
5 swab tested water. And the well was finally completed in
6 the first sand, 5650 to 5670, for 31 barrels of oil a day,
7 84 barrels of load water.

8 If you look on Exhibit 2 -- and this well is
9 located in Unit K -- you'll see that it's kind of on the
10 northern edge of the first sand reservoir, so it's a little
11 skimpy on the pay.

12 Q. All right, let's go to the Mark Federal Number 6,
13 page E-24.

14 A. This -- Drilling was completed on this well the
15 end of October, and it was completed in the first sand,
16 5652 to 5674. The test November 14th was 123 oil, 66
17 water, and it had a partial month of production in November
18 and made 2536 barrels. This is, like I said, a first sand
19 well located in Unit L of Section 3.

20 Q. All right, let's go to the Mark Federal Number 8,
21 E-25.

22 A. Mark Federal 8 is the well located in Unit I of
23 Section 3. It tested the fourth sand, and there was no
24 show in that sand. It also tested the third sand and had a
25 -- There's a low porosity part right in the top above the

1 oil/water contact, and there's -- the sand that actually
2 has over 15 percent porosity is below the oil/water
3 contact. That zone tested 8 oil, 24 water, on October
4 30th.

5 An attempt was made to complete the well in the
6 second sand, 5698 to 5727. It had a show of oil, one
7 barrel of oil, 100 barrels of water, and that zone has
8 since been squeezed off.

9 An attempt was made in the first sand, 5548 to
10 5572. On December 8th they were testing that well. I
11 think since that time that zone has not been commercial,
12 and the well is shut in, awaiting further evaluation at
13 this point.

14 Q. All right. The wells we've discussed so far in
15 Quail Ridge are operated by Read and Stevens; is that
16 correct?

17 A. That's correct.

18 Q. Let's go now to the Snow Oil and Gas Powell
19 Federal Number 1 on E-26.

20 A. Okay, this well is located in Unit P of Section
21 4. It's completed in the first sand. I'm going to call
22 this a typical Delaware well. It never had a real high
23 production at the first, but it's been fairly stable
24 throughout its life.

25 The GOR started at about 400, increased to 1000,

1 and the last couple of years the production has been so low
2 they just haven't sold much gas off that lease. So the GOR
3 doesn't mean much the last year or so.

4 Water cut has been 30 to 40 percent. The well
5 has cum'd 43,000, 44,000 barrels. And we're probably going
6 to call that an edge well on the western edge of the A
7 sand.

8 Q. All right, let's go to Snow Oil and Gas's Federal
9 SCJ Number 1 on page 28.

10 A. Okay, this well is located in Unit A of Section
11 9. It's completed in the first sand and the fourth sand.

12 Again, it's kind of a poor well. It started at
13 30 barrels a day, 35 barrels a day, and it's down to about
14 10 barrels a day now. It has some water problems.
15 Probably out of the fourth sand it's only made 2600 oil and
16 about 12,000 water. Water cut is about 90 percent.

17 Q. Mr. Stubbs, let's go now to Read and Stevens
18 Northland Federal Number 4 on page E-30. Review this well
19 and also review the history of the well during periods of
20 shut-in or re-work.

21 A. Northland Federal Number 4 is located in Unit D.
22 This is a south offset to the Mark Federal Number 1. This
23 well has made 57,000 barrels. It's completed in the first
24 sand.

25 It was a top-allowable well up to about January

1 of 1993. It had a casing leak in the Seven Rivers
2 interval, and after that casing leak there's a reduction of
3 about 30 barrels a day in production. So now the well is
4 making about 75 barrels a day. In November it made a total
5 of 2266 barrels, 75 barrels of water.

6 GORs have been between 300 and 400 cubic feet per
7 barrel. And since the casing leak was repaired, water
8 production has been almost nil.

9 Q. In the order that was entered last February it
10 was noted that there was no evidence that mechanical
11 failures could result in the loss of oil and gas reserves
12 in this pool. Is what happened to this well evidence that
13 when there are mechanical failures, in fact, there can be a
14 resulting loss of oil and gas?

15 A. I believe that's what it indicates. The well was
16 making 100 barrels a day prior to having a casing leak.
17 After the casing leak, it appears that it's been damaged in
18 some way and now the production is about 30 barrels less
19 per day.

20 Q. Let's go to the Lea Federal Number 5 Well and the
21 information set forth on page E-32.

22 A. North Lea Federal Number 5 was initially
23 completed in the fourth sand and third sand lime
24 equivalent. Then in mid-1992 it was completed in the first
25 sand interval. Since that time it's been a top-allowable

1 well.

2 In November it made 3375 barrels of oil, which is
3 112 1/2 barrels of oil per day. This well has also had --
4 In fact, it's had two casing leaks. It had one casing leak
5 in March of 1992 and another one in September of 1992. It
6 doesn't appear that this well suffered any damage due to
7 those casing leaks.

8 This well has made about 60,000 barrels to date.

9 Q. Move on now to the Lea Federal Number 6 on page
10 E-34.

11 A. This well was initially completed in the third
12 sand, about 70 barrels a day. In July of 1983 it was
13 completed in the first sands. In November it made 3967
14 barrels; that's 132 barrels of oil per day.

15 It has a little bit of a water problem. There's
16 a tracer that indicates that the stimulation treatment on
17 the first sand frac'd down into maybe the first few feet of
18 the second sand, and that's why you see the drastic
19 increase in water cuts. Water cuts are now running over 60
20 percent, but it's still a top-allowable well, even under
21 those conditions.

22 Q. Okay, let's go to the North Lea Federal Number 7
23 on E-36.

24 A. The North Lea Federal 7 tested the third sand
25 at -- That sand is right at or below the oil/water contact.

1 It was wet. It was then completed in the first sand.

2 This well has been in production now about ten
3 months. It has averaged 98 barrels a day over that ten-
4 month period. In November it made 2916 barrels, and that's
5 97.2 barrels a day.

6 GORs have been 300 cubic feet per barrel or less,
7 and the water cuts are about 50 percent. Again, there may
8 be a little water coming from that second sand.

9 Q. Okay, let's look at the next well, the North Lea
10 Federal Number 8.

11 A. This well was completed in March of 1993. It
12 tested the fourth sand at 6184; it was wet. It was then
13 completed in the third sand lime equivalent, 5934 to -60.
14 It started out about -- almost 70 barrels -- 65 to 70
15 barrels a day.

16 In September, October, it was completed into the
17 first sand, 5636 to -60. There was a tracer log that
18 indicates that stimulation treatment may have been gone
19 down into the second sand, and we see a drastic increase in
20 water production.

21 November, that well made 1402 barrels of oil,
22 7290 barrels of water.

23 Q. All right, let's go to the North Lea Federal
24 Number 9 on E-40.

25 A. The Number 9, located on Unit H, tested the lime

1 barrier above the third sand from 5892 to -04, and that was
2 found to be wet.

3 It was then completed in the first sand, 5610 to
4 5676, and this well has been a top-allowable well. It has
5 been on production six months. It's averaged 104 barrels
6 of oil a day during that period of time. November it made
7 3046 barrels, which is 101 1/2 barrels a day.

8 Again, GORs are less than 300 cubic foot per
9 barrel. The water cut is about 60 to 70 percent, 65
10 percent.

11 Q. Okay, Mr. Stubbs, let's go to the last Read and
12 Stevens well, the North Lea Federal Number 10, on page
13 E-42.

14 A. Number 10 is completed in the third sand, 5910 to
15 5930. This well is located in Unit A of Section 10. It's
16 cum'd 15,000 barrels since it was completed in April.
17 Production has been fairly flat at about 70 barrels a day.
18 In November it made 2015 barrels of oil. That's 67.2
19 barrels a day.

20 GOR -- We've seen a slight increase in the GOR
21 from about 300 to 500. And I believe this well has a
22 little less permeability, and it may be something in
23 relation to that nose. It just doesn't seem to have the
24 permeability that it should. There's 26 foot of pay above
25 the oil-water contact in this well.

1 And another note that we'll talk about a little
2 later, the North Lea Federal 10 is 2486 feet away from the
3 closest Armstrong well, so it's scooted back to the west
4 and to the south from the Armstrong well.

5 Q. All right, and the last well in these pools, the
6 Union "A" Federal Number 2, page E-44.

7 A. Okay, this well is located in Unit K of Section
8 10. It's completed in the first sand. It's made 4000
9 barrels of oil, 22,000 barrels of water, and this is
10 probably the southwest boundary of that first sand. It's a
11 relatively poor well. In fact, it's been shut in since
12 February of 1993.

13 CHAIRMAN LEMAY: Just a point of clarification,
14 Counselor.

15 It looks like the North Lea Federal Number 5 and
16 the North Lea Federal Number 10 are located in the same
17 unit letter --

18 THE WITNESS: Let's see.

19 CHAIRMAN LEMAY: -- A, of 10-20-34.

20 THE WITNESS: North Lea Federal 5, that's a
21 mistake.

22 CHAIRMAN LEMAY: Where is the North Lea Federal
23 Number 5 located?

24 THE WITNESS: Unit letter C of Section 10.

25 CHAIRMAN LEMAY: Thank you.

1 THE WITNESS: It's in the northeast of the --
2 northeast of the northwest of Section 10.

3 Q. (By Mr. Carr) All right, Mr. Stubbs, you've
4 reviewed the information on each of the wells in this pool.
5 What conclusions can you draw about both of the pools?

6 A. The biggest thing that jumps out at us is, the
7 sands or the zones do not produce like a typical Delaware
8 sand. We don't have initial -- high initial production,
9 and about a 50-percent decline in the first year.

10 Some of these wells now have been on production
11 for three years, and the production has been essentially
12 flat for that three-year period. The Mobil Lea State wells
13 have been on production for a year now, and the production
14 has remained flat.

15 This was our first clue that this is not a
16 typical Delaware well, and there's some other mechanism
17 taking place to keep these wells at this high production
18 rate.

19 Q. Let's go now in your engineering exhibit to
20 Exhibit F-1. Would you identify that?

21 A. This is a water analysis from the Mobil Lea State
22 Number 1 Well, and we'll use this analysis in some of our
23 calculations to determine density, chloride content, and
24 establish a good R_w for the formation water. We'll also
25 use this water analysis to determine the gas solubility and

1 also on the viscosity of the formation fluids.

2 The thing we need to note on here is the
3 chlorides are about 133,000, so it's fairly salty water.

4 Q. And the next page, F-2?

5 A. We determined R_w at .04 from this chart using the
6 resistivity in the chlorides from the water analysis, and
7 we used that to generate the water saturation chart on F-3.

8 Most of the logs we've looked at, we've talked
9 about 20 percent porosity and four or five ohms. If you'll
10 go to the column, 20 percent, and the R_t column of 4 to 5,
11 you'll notice that the water saturations in the producing
12 intervals range from about 40 to 45 percent. That's what
13 we use this chart for.

14 Q. Now, Exhibit G, G-1 and G-2.

15 A. G-1 and G-2 are where we tried to determine the
16 oil/water contacts, and it's been a little hard in the
17 first sand. There's not a real definite oil/water contact.
18 The best one I found was in the North Lea Federal 1 Y,
19 which is a Morrow gas well located in the southeast quarter
20 of Section 10.

21 And you can see at minus 2243 you get a break in
22 the resistivity curve, and it goes from three or four ohms
23 down to two ohms at that point, and we feel like that's
24 probably a pretty good oil/water contact in that first
25 sand.

1 Now, the next one, G-2, is the third sand and it
2 sticks out like a sore thumb. This is the Mark Federal
3 Number 4 well, and at minus 2275 you can see a drastic
4 decrease in the resistivity from about five ohms down to
5 about two ohms, three ohms.

6 So we feel pretty confident on that oil/water
7 contact.

8 As we stated before, in the Mobil Lea State
9 wells, we have a little bit of a transition zone, about
10 five or six feet, that starts at minus 2269. But by 2275
11 they're the same oil/water contact.

12 Q. All right. Now, if you'd review Exhibits H and I
13 together and review for the Commission your conclusions
14 about the mobility of the fluids in this formation.

15 A. Since we think we have we have a water influx, we
16 wanted to determine the efficiency of the water displacing
17 the oil and come up with a mobility ratio.

18 Exhibit H-1, we wanted to determine the viscosity
19 of the water, and in this case under reservoir conditions
20 the viscosity is slightly over one centipoise.

21 In Exhibit H-2, they're the same thing for the
22 oil, and came up with a viscosity of 1.4 centipoise.

23 And if you'll look at Exhibit I, this is a
24 typical Delaware permeability -- or relative permeability
25 curve. And then using this curve plus the viscosities, we

1 determined -- we find that under the present saturation of
2 about 40 to 45 percent oil saturation -- or water
3 saturation, we have about 45 to 50 percent of the
4 permeability, oil permeability.

5 Using that number, we come up with the mobility
6 ratio of about 1.78. This means that the oil will move
7 about two times easier through the formation as the water
8 will, so it should be efficiently displaced by the water
9 influx.

10 Q. Mr. Stubbs, let me take you back for a minute.
11 With Exhibit G we were talking about an oil/water contact.

12 A. Yes, sir.

13 Q. Do you have an opinion concerning the potential
14 for water coning in the reservoir?

15 A. We have studied now with the production tests and
16 the high-rate tests, trying to see if there's any coning
17 problems, and we haven't seen any coning problems. I think
18 this is probably due to the nature of the reservoir.

19 As the sands, different sands were deposited, we
20 had thin layers of shale or maybe even thin layers of
21 limestone deposited in series, so it has a laminated
22 nature.

23 And these laminations, if they're shale
24 laminations or tight lime laminations, don't have any real
25 permeability. So you have a reduction in vertical

1 permeability. You have good horizontal permeability, but
2 the fluids are not able to migrate up.

3 So we're not going to have a bottom water drive
4 in this reservoir. We feel like the water is probably
5 going to come from the edge, and in most cases from the
6 south or southeast as indicated by Mr. Boling's maps.

7 Q. Okay, and you have reviewed Exhibits H and I
8 would show that -- your study shows that the oil has a
9 tendency to move twice as quickly or easily through the
10 reservoir as the water?

11 A. That's correct.

12 Q. What have you observed about gas/oil ratios in
13 the reservoir?

14 A. Well, as we went through the production data on
15 these wells, we noted that the GORs on the main wells of
16 the field have remained constant, 300 to 400 cubic feet per
17 barrel. The edge wells, which are either farther away from
18 the water influx or a little lower permeability, exhibit
19 increased GORs more typical of a Delaware well, and we're
20 not seeing water influx; they're primarily solution gas
21 drive.

22 Q. Let's go now to Exhibits J and K. Could you
23 review these for the Commission and what they're designed
24 to show?

25 A. J is a gas analysis of the gas on the Mobil Lea

1 State 1. The main thing we want to get off this was the
2 gravity, which is .972. It's a fairly rich gas, 1480-BTU
3 gas.

4 This was used in Exhibit K to determine an oil
5 density at reservoir conditions. Using the 38-gravity oil
6 and the .972 gas gravity, we calculated a specific gravity
7 of .71, and that gives us a gradient of .3112 p.s.i. per
8 foot, and we'll use that number in a minute in some of the
9 calculations.

10 Q. All right, let's move on, then, to Exhibit L,
11 bottomhole pressure.

12 A. We have three good drillstem tests in the Quail
13 Ridge North Lea area. The first one is a drillstem test on
14 the North Lea Federal, and it tested in the third sand
15 interval, 5891 to 5937. Final shut-in pressure was 2395,
16 and that pressure was extrapolated to 2539, gives us a
17 gradient of mid-zone of about .429 p.s.i. per foot. So
18 bottomhole pressure, the third sand is going to be around
19 2500 pounds.

20 We have two DSTs in the first sand. The first
21 one is the North Lea Federal Number 2, tested the interval
22 5630 to -77. Final shut-in pressure was 2347. That's a
23 gradient of .415 p.s.i. per foot. That's not an
24 extrapolated pressure, so that pressure would probably go
25 ahead and build up to somewhere around that .3 gradient.

1 Same thing in the Mobil State Number 1, which was
2 the discovery well. It tested 5635-5714, which is the
3 first sand interval. Final shut-in pressure was 2328, and
4 that's a gradient of .41 p.s.i. per foot. Again, that --
5 didn't have the data to extrapolate that, so we would
6 expect it to be slightly higher than that, maybe .43 p.s.i.
7 per foot. That's the gradient we used to determine
8 bottomhole pressures in this reservoir.

9 Q. Let's move now to Armstrong's Exhibit 10-M.
10 Would you identify and review this?

11 A. Exhibit M is a pressure history that we have
12 calculated as we tested these wells. One number we need to
13 look at before we talk about that, if you'll turn to
14 Exhibit P -- start talking about bubble-point pressure, and
15 from Exhibit P we determined the bubble-point pressure to
16 be 1200 p.s.i. for the first and third sands.

17 Now, if you'll turn back to Exhibit M, the first
18 batch, the data is off the Mobil Lea State 1, and the data
19 starts in December of 1992, and the last data is in
20 November of 1993.

21 This first column is the date the test was done.
22 The next column is the casing pressure. The next column,
23 joints to fluid level. The next column, the amount of
24 fluid above the pump, the hydrostatic -- that column. And
25 then the gas hydrostatic, or the hydrostatic of the gas

1 column, calculated bottomhole pressure, and then the last
2 column is the rate that that well was producing at that
3 time.

4 Now, these are instantaneous pressures. The
5 wells weren't allowed to build up. They were just shut
6 down long enough to run down these bottomhole pressure
7 gradients, or bottomhole fluid level tests to get
8 bottomhole pressure.

9 If you'll recall, we determined that the bubble-
10 point pressure was about 1200 pounds. If you'll look at
11 the next to the last column on the right, you'll notice
12 that at no time did we get below 1200 pounds while these
13 wells were producing. And this is another real strong
14 indication that the bottomhole pressure has been being
15 maintained by water influx.

16 Also, one thing to notice in -- if you'll recall,
17 we mentioned that in May of 1993, the production technique
18 was changed, the way that they were producing the Mobil Lea
19 State 1. It dropped down -- The oil rate stayed the same,
20 and the pressures decreased because they were venting off
21 or bleeding off the gas and the gas rate increased, so the
22 bottomhole producing pressures dropped for a little while.
23 But you'll notice they built right back up again.

24 Now that the wells have been pinched back to
25 allowable, the 126 barrels a day in November, the

1 bottomhole pressure had increased back up to over 1800
2 pounds.

3 These wells, in fact all four of these Mobil Lea
4 State wells, are only being pumped by a time clock for a
5 short period each day, just to keep the water off of them.
6 If the time clock runs a little too long and gets too much
7 hydrostatic off of the formation, these things will kick
8 off and flow at 30 or 40 barrels an hour, just like they
9 did back a year ago. So bottomhole pressure is still real
10 high in the third sand reservoir.

11 Q. So after the tests you ran in mid-year, you've
12 cut it back to allowable, and the reservoir has re-
13 pressured?

14 A. Yes, we're seeing the higher fluid levels and
15 higher bottomhole producing pressures.

16 Q. Okay. Let's go to Exhibit Number N. Could you
17 review that?

18 A. Exhibit N is just an exhibit to show how
19 productive these wells could be. We took the fluid levels
20 back in December of 1992 and the production -- produced 283
21 barrels of oil that day and 36 barrels of water. The fluid
22 level is at 48 joints, which is 1488 feet from the surface.
23 Casing pressure was 220 pounds.

24 If you want the calculation, we came up with a
25 bottomhole flowing pressure of 1837 p.s.i., and we knew

1 that the static bottomhole pressure was originally 2539
2 pounds, and if we go down and calculate the productivity
3 index we find that we produced 319 barrels of fluid with a
4 702-pound pressure drop. That's .45 barrels per p.s.i.

5 If we were able to pump that well off completely,
6 it would produce over 1100 barrels a day fluid, and since
7 the cut is roughly 90 percent oil and 10 percent water it
8 would be 983 barrels of oil and 125 barrels of water a day.

9 Took the calculation just a little bit farther
10 since we had a productivity index, went through the
11 calculation to come up with the relative permeability of
12 oil, came up with 12.7 millidarcies. And if you'll
13 remember back to the relative permeability curve, that only
14 about 45 percent of the total permeability is permeable to
15 oil. That means the formation has a permeability somewhere
16 between 25 and 30 millidarcies.

17 So it's -- We already knew this, we knew the well
18 was very, very productive. This just confirms that the
19 well is very productive, good permeability, excellent
20 reservoir.

21 Q. Mr. Stubbs, could you now just identify what is
22 contained in Armstrong Energy Corporation Exhibits O
23 through T?

24 A. This is just some basic engineering numbers that
25 we'll use in some later calculations. We've already talked

1 about P, which is the bubble-point pressure. O is gas
2 formation volume factors. Q is the oil formation volume
3 factor, and that was determined to be 1.24, 400 cubic feet
4 per barrel GOR.

5 R is the formation compressibility, and that was
6 determined to be 3.7 times 10^{-5} . Oil compressibility was
7 determined to be 1.188 times 10^{-5} .

8 Q. That's Exhibit S?

9 A. S. Exhibit T, water compressibility was
10 determined to be 3.03 times 10^{-6} .

11 Q. All right. What is Exhibit U?

12 A. Exhibit U is a volumetric analysis of the third
13 sand reservoir, and we need a volume, reservoir volume, to
14 do a material balance equation, which will be the next
15 thing we do.

16 So we estimated the reservoir volume for the
17 third sand, or the oil column in the reservoir of the third
18 sand, and we used an average porosity of 20 percent or 400
19 acres as the area. Average height is 40 feet, water
20 saturation of -- average water saturation of 45 percent,
21 and oil formation volume factor of 1.24.

22 This calculation indicates that there's 11
23 million barrels of oil in place in the third sand
24 reservoir.

25 Q. All right, let's go to the next page, Exhibit V.

1 A. This is a material balance equation for an
2 initially undersaturated oil reservoir -- meaning that we
3 don't have any free gas; there's no gas cap -- with an
4 active water drive.

5 At this point we've pretty well proved to
6 ourselves that we have water influx because our bottomhole
7 pressures are staying up, we're not seeing any pressure
8 depletion.

9 And we know we're above bubble-point pressure
10 because we -- from our pressure tests we never, even during
11 all the time we were producing the well, we've never gotten
12 below the bubble point.

13 When we use this equation, we use it a couple of
14 different ways.

15 The first way is in Exhibit W, and we want to
16 determine in Exhibit W the amount of oil that would be
17 produced if we lowered the pressure, how much -- if we
18 lowered the pressure in the reservoir. And right now we
19 feel like we've only lowered the pressure, maybe average
20 pressure, about 300 pounds. And we can see from this chart
21 that that's about -- a little over 50,000 barrels.

22 If we could lower the reservoir pressure farther
23 down to the bubble point, which would be a 1300-pound
24 reduction in bottomhole pressure, we'd see that we could
25 produce, due to the compressibility of the system, 240,000

1 barrels.

2 Under the present, the way we're producing these
3 wells, we're only utilizing, really, only one drive
4 mechanism, and that's the water influx, and we're not able
5 to take advantage of any of the compressibility or gas
6 expansion or any of the other mechanisms available to
7 produce the oil out of the third sand.

8 If you'll turn two pages to Exhibit X, we feel
9 like this is where we're at right now, with a moderate
10 drawdown in reservoir pressure, in this case a 300 p.s.i.
11 drawdown.

12 We have produced about 56,000 barrels due to the
13 expansion or the compressibility of the system. All the
14 other oil, the other 178,000 barrels that we've produced, a
15 total of 234,000 barrels to date, is going to be produced
16 by about a 270,000-barrel water influx.

17 Now, if we continue -- If you'll turn to the very
18 last page, there's a real simple diagram that kind of shows
19 what I think is going to happen in the third sand. The
20 blue line is the oil/water contact on the south southeast
21 edge of the reservoir. The pink line or the red line is
22 the facies changes in the permeability barrier to the
23 northwest and to the north, and the wells are spotted
24 there. The sawtooth line is the line that I envision the
25 water front moving towards the wells. The first row of

1 wells, like the North Lea Federal 10, the Mobil Lea State
2 4, are probably going to be ones that are watered out first
3 as that front moves toward the wells.

4 Then the front will continue on to the upper row
5 of wells, the 6, the 4, the 2, the Mobil Lea State 2, and
6 then the Mobil Lea State Number 1.

7 What we'll have if we don't do some good
8 reservoir management at this point in time, and we'll
9 either lower -- find some other mechanism to produce these
10 reserves, we're going to have oil trapped along the upper
11 edge of this reservoir that's not going to be produced.
12 There's no mechanism right now, there's no bottom water
13 drive, there's no reduction of pressure to allow those
14 floods to expand. There's no gas cap right now to allow
15 that fluid to be pushed down to the producing well.

16 So we're going to actually have oil trapped at
17 the boundary of this reservoir between the producers and
18 the permeability pinchout. There will also be a fairly
19 large amount of oil trapped or not moved between the wells.

20 Q. How can this be recovered?

21 A. Well, if you'll turn back to Exhibit Y, I think
22 the first thing we need to do is systematically lower the
23 reservoir pressure, and this will cause -- give a chance
24 for the system to expand and let expansion of the reservoir
25 fluids move fluid to the producing wells.

1 This Exhibit Y indicates that we could reduce the
2 reservoir pressure down to 1300 pounds, which would be the
3 bubble-point pressure. Approximately 240,000 barrels of
4 oil would be produced due to the compressibility of the
5 system, and any remaining reserves at that point would be
6 due to water influx.

7 Now, we can take that one step further and at
8 that point the reservoir will be evaluated, and there's two
9 things that could be done after that.

10 We could either inject more fluid if the pressure
11 was not staying up like we thought it ought to, or we could
12 take it below bubble-point and allow gas expansion to
13 actually expand on a forced basis and push oil toward the
14 producing wells and possibly even build a gas cap up
15 against a permeability pinchout. And that would displace
16 the oil, as represented by the green shading on the last
17 little sketch. That would push the oil downdip to the
18 producing wells.

19 Q. Without this pressure drawdown and the subsequent
20 development of a secondary gas cap, in your opinion, will
21 the reserves that are indicated by the green-shaded area on
22 the cartoon which is the last page in the exhibit, would
23 those reserves be lost?

24 A. Yes, I'm afraid they probably would be. If we
25 continue like we are, I think there will be about a million

1 and a half barrels recovered from the third sand.

2 If we can manage this reservoir efficiently, I
3 think there's another 600,000 barrels that could be
4 recovered from the third sand. So that would be a total of
5 2.1 million barrels out of the 11 million barrels in place.

6 Q. And without the drawdown in pressure and the
7 development of the secondary gas cap, then this 660,000
8 barrels could in fact be wasted?

9 A. That's right, it would be left in the ground.

10 Q. Now, we've been talking about the -- primarily
11 the third sand?

12 A. Right.

13 Q. Would the statements that you've made concerning
14 the third sand also be applicable to the first sand?

15 A. I think they are. If you'll recall, when we look
16 at production curves, we've seen very stable production,
17 low GORS, very little if any increase in GORS.

18 We have the same characteristics in the first
19 sand as we do the third sand, and it indicates to me that
20 it also has a strong water drive, and the same conditions
21 apply.

22 We're going to have a ring of oil around the
23 permeability pinchout in the first sand. And if we don't
24 do something, and fairly soon do something, we're going to
25 have reserves up against that permeability pinchout and in

1 between the wells that's not going to be produced.

2 Q. And Mr. Stubbs, if we raise the production rate
3 as is requested by Armstrong, will that cause the pressure
4 to come down in the development of the secondary gas cap?

5 A. I believe that's correct. If you go back to
6 Exhibit -- I believe it's Exhibit M, where we had the
7 pressure data, when we were at 300 barrels a day we had
8 lowered the pressure to about 1400 pounds, and that was
9 with only two wells in the northeast Lea field and the Read
10 and Stevens wells producing.

11 Now we've got three more wells, the Mark 4 and
12 the 2, the 3 and the 4 North Lea State wells, in the
13 Northeast Lea field now producing. So between all those
14 wells we ought to be able to draw the reservoir pressure
15 down to 1200 pounds.

16 Q. And will that have the net effect of preventing
17 waste of hydrocarbons in this portion of the Delaware?

18 A. I believe it will.

19 It will allow the fluids in the reservoir to
20 expand, and we'll get the benefit of that recovery
21 mechanism, and if we decide to take it below bubble point,
22 we'll be able to get the benefit of gas expansion and
23 possibly even creating a gas cap.

24 Q. If this Application is granted, will correlative
25 rights be protected?

1 A. I believe they will.

2 Q. And how so?

3 A. Well, for a number of reasons. Everybody will
4 have the opportunity to produce their wells and manage this
5 reservoir, and if everybody brings the pressure down
6 equally, they ought to recover the fluid that they're
7 entitled to from under their lease.

8 A couple other points. We mentioned a while ago
9 that the North Lea Federal 10 is over 2400 feet away from
10 the Mobil Lea State -- closest Mobil Lea State well,
11 whereas the Mobile Lea State wells are only a few hundred
12 feet away from the oil/water contact.

13 I think reason dictates that probably fluids
14 would move from the water toward the Mobil Lea State wells,
15 rather than oil moving 2000 feet from the Read and Stevens
16 lease to the Armstrong lease.

17 Also, in the third sand there appears to be a
18 definite nose with little porosity or little sand across
19 that nose, and -- separating the two depositional channels.
20 So there are really almost two separate reservoirs in the
21 oil column connected with the big water leg to the south.

22 Q. Could you identify what has been marked as
23 Armstrong Energy Corporation Exhibit Number 11?

24 A. Yes, that's the letter, order.

25 Q. Do you have a copy of that?

1 A. No, I don't believe I do. Yes.

2 Q. Is this the approval that was given to Armstrong
3 to conduct certain tests in May of 1993?

4 A. That's correct.

5 Q. Did Armstrong then proceed, pursuant to this
6 letter, to obtain waivers from the offset operators as
7 required by the Division?

8 A. That's correct.

9 Q. In your opinion, has adequate data been collected
10 and engineering analysis performed to prove the drive
11 mechanisms involved in the reservoir?

12 A. Yes, they have.

13 Q. And in each of the zones that comprise this
14 reservoir?

15 A. Yes.

16 Q. And have you now presented the data as required
17 by that order to the Oil Conservation Commission?

18 A. Yes, I have.

19 Q. You are the witness who testified last January,
20 were you not?

21 A. That's correct.

22 Q. In denying the application of Armstrong, the
23 Division determined that evidence had not been presented on
24 certain questions. In your opinion, has data been
25 presented on the mechanical well failures in this area,

1 which have resulted in loss of reserves?

2 A. Yes, they have.

3 Q. Does the available data, in your opinion,
4 conclusively demonstrate that oil production at the
5 proposed rate of 300 barrels of oil per day will not cause
6 reduced ultimate recovery of oil from the third sand due to
7 excessive expenditure of reservoir energy?

8 A. Yes. In fact, we need to lower the pressure to
9 increase the recovery.

10 Q. Has evidence been presented on the nature and the
11 characteristics of each of the producing intervals in the
12 Northeast Lea-Delaware Pool?

13 A. Yes.

14 Q. In your opinion, does the evidence also
15 demonstrate that the requested producing rate will not
16 reduce the ultimate recovery from each of the producing
17 zones?

18 A. It will not reduce the recovery. In fact, it
19 should increase the recovery.

20 Q. As the Division suggested in that order, you're
21 now requesting that both of these pools be treated as a
22 single common source of supply and developed under one set
23 of rules; is that correct?

24 A. That's correct.

25 Q. In your opinion, has Armstrong now responded to

1 each of the reasons set forth in the Division's February
2 order denying Mr. Armstrong's application?

3 A. Yes, we have.

4 Q. In your opinion, will approval of these
5 Applications and production of the Delaware formation in
6 accordance with the recommended 300-barrel-a-day allowable
7 result in the recovery of oil that otherwise will not be
8 recovered?

9 A. Yes, it will result in higher recoveries from
10 this reservoir.

11 Q. Was Armstrong Energy Corporation Exhibit Number
12 10 prepared by you?

13 A. Yes, it was.

14 Q. And Exhibit 11 is the Division's May 18 letter?

15 A. Yes, it is.

16 MR. CARR: At this time, may it please the
17 Commission, we offer into evidence Armstrong Energy
18 Corporation Exhibits 10 and 11.

19 CHAIRMAN LEMAY: Without objection, Exhibits 10
20 and 11 will be entered into the record.

21 MR. CARR: And that concludes my direct
22 examination of Mr. Stubbs.

23 CHAIRMAN LEMAY: Mr. Carr.

24 Mr. Bruce?

25 MR. BRUCE: Just a few questions, Mr. Chairman.

CROSS-EXAMINATION

BY MR. BRUCE:

Q. Mr. Stubbs, you talked about typical Delaware pools. Are you aware of any other Delaware pools in New Mexico that have a strong water drive?

A. I believe the Parkway does, and probably the Paducah.

Q. Paducah?

A. Paducah. I believe the Paducah is probably one of the best Delaware -- I think it may be even a deeper zone than this, but it's excellent Delaware production.

Q. Brushy Canyon?

A. Yes.

MR. BOLING: It's actually shallower.

THE WITNESS: Is it shallower?

MR. BOLING: Yes.

THE WITNESS: Okay.

Q. (By Mr. Bruce) Does fracturing of these wells create vertical communication in the reservoir?

A. Well, yes, you usually get a vertical fracture. That's the reason you can cover -- You know, if you perforate 30 or 40 feet, you can cover that 30 or 40 feet with a fracture treatment.

Q. Have you done any calculations as to whether coning will occur in any of these wells?

1 A. Yes, we've looked at the coning situation, and as
2 we stated, it doesn't appear to be a problem, mainly due to
3 the laminated nature of this reservoir.

4 MR. BRUCE: Thanks, Mr. Chairman.

5 CHAIRMAN LEMAY: Mr. Bruce.

6 Mr. Carr?

7 MR. CARR: May it please the Commission, I
8 omitted -- If you can believe it, I omitted a couple of
9 questions, and with your permission, could I ask Mr. Stubbs
10 just a couple of additional questions?

11 CHAIRMAN LEMAY: Certainly.

12 DIRECT EXAMINATION (Continued)

13 BY MR. CARR:

14 Q. Mr. Stubbs, Armstrong Energy Corporation's wells
15 in the Northeast Lea Delaware Pool are completed in the
16 third sand; is that correct?

17 A. That's correct.

18 Q. Is the first sand present throughout the
19 Northeast Lea-Delaware Pool?

20 A. Yes, they are.

21 Q. Under the current allowable rates, will you be
22 able to produce the first sand?

23 A. No, the productive life of the third sand at the
24 present 107 barrels a day is going to be a number of years,
25 8, 10, 15 years. So it's going to be a long, long time

1 before those reserves are recovered and the wells are
2 available to move up to the first sand.

3 Q. And during this period of time, will other
4 operators be able to produce reserves in the first sand?

5 A. Yes, they will. In fact, there's two operators
6 producing on either side of the Armstrong acreage right
7 now.

8 Q. And what impact does that have on Armstrong's
9 correlative rights?

10 A. I think they're probably being drained.

11 MR. CARR: That's all I have. Thank you.

12 CHAIRMAN LEMAY: Mr. Carr.

13 Mr. Bruce?

14 CROSS-EXAMINATION (Continued)

15 BY MR. BRUCE:

16 Q. If I could just ask a follow-up question, what is
17 the drainage of these wells?

18 A. The better wells probably drain over 40 acres.
19 The standard proration unit is 40 acres, and based on
20 volumetric analysis, I think you can show that some of the
21 better wells with a higher permeability, may drain more
22 than 40 acres, and the lesser wells may drain a little less
23 than 40 acres.

24 Q. Why didn't Armstrong request an increase in the
25 spacing if that's the case?

1 A. Because I think the average is going to be 40
2 acres, and that's a standard spacing unit.

3 Q. Okay. So if the average is 40 acres, then there
4 shouldn't be any drainage of the first zone in Armstrong's
5 wells?

6 A. Over a long period of time, if you're not able to
7 compete equally, you could have drainage.

8 CHAIRMAN LEMAY: Thank you.

9 Commissioner Bailey?

10 EXAMINATION

11 BY COMMISSIONER BAILEY:

12 Q. Going back to the cartoon, the very last --

13 A. Yes, ma'am.

14 Q. -- portion, is this the scenario for the third
15 sand --

16 A. Yes.

17 Q. -- all sands? What's --

18 A. Well, this is for the third sand, but the same
19 situation would apply to the first sand, especially the
20 wells along the permeability pinchout, because there's no
21 mechanism now, if that reservoir pressure remains high,
22 there's still no mechanism to produce those reserves above
23 the last row of producing wells and the oil in between the
24 producing wells. Same scenario would apply to the first
25 sand.

1 Q. Okay, I'm trying for a correlation between this
2 and one of the exhibits --

3 A. Okay, the first sand --

4 Q. -- like maybe Exhibit Number 7, if this is for
5 the third sand.

6 A. Okay.

7 Q. Is there some sort of correlation between these
8 lines --

9 A. Okay, the red line would be the --

10 MR. BOLING: Structure map would be the --

11 THE WITNESS: -- where the --

12 Q. (By Commissioner Bailey) Which --

13 A. -- pay goes to essentially zero. You have a zero
14 pay. You can see this southwest-northeast trending; that
15 would be the permeability pinchout of the northern edge,
16 northwestern edge of the reservoir.

17 And the southwest -- or the southeast boundary is
18 going to be the oil/water contact which occurs at minus
19 2275. And if you would -- I think Exhibit 6 is a structure
20 map on the top of the third sand. If you would follow the
21 contour, minus 2275, you'd see that it's a northeast-
22 southwest trending line as we demonstrated in the cartoon.

23 In fact, I've sketched it in blue here. That's
24 what it actually -- the oil/water contact would actually
25 be, and that's represented by the blue line in the cartoon.

1 Q. Okay, that will help me when I further study it.
2 Thanks.

3 Putting together these lobes that are showing up
4 so strongly in the southwest of Section 2, along with this
5 concept that you have in your cartoon, will there be areas
6 of higher porosity through that section which will then
7 cause a greater drainage of -- higher than the 40 acres, if
8 that allowable is increased substantially to the point
9 where it would then cause a decrease in the correlative
10 rights of the wells outside of these lobes?

11 A. I don't believe so. You have a -- somewhat of a
12 limiting factor, if I understand your question correctly.
13 The wells outside the lobe have lower permeability, so
14 they're not going to be affected as much by the drawdown in
15 these main sands.

16 The main sands are also usually thicker, so you
17 have more pay, so you have more capacity to produce too.
18 So there's -- It's kind of balanced out, I think.

19 Q. I'm just trying to evaluate the impact on the
20 lower permeability wells, for their ultimate recovery.

21 A. I don't think that you're going to see any impact
22 on the lower permeability wells. They're probably not
23 draining the 40 acres that they're in to begin with, and
24 because there's a permeability change from the good wells
25 to the poor wells, as that permeability decreases, the

1 fluids are not going to move through that tighter rock very
2 fast at all, or if it all.

3 Q. Right, along with the concept of the coning
4 through the laminated --

5 A. Yeah, but you're talking about vertical
6 permeability as opposed to horizontal permeability.

7 Q. I'll keep thinking. No questions.

8 A. It's two different directions. The vertical
9 permeability --

10 Q. I'm well aware of that.

11 A. -- controls the coning, and the horizontal is the
12 flow of the oil into the --

13 Q. No, I'm just putting together fracturing and your
14 vertical permeability.

15 A. Well, these reservoirs are not naturally
16 fractured. It's an induced hydraulic fracture stimulation
17 treatment.

18 COMMISSIONER BAILEY: That's all I have.

19 CHAIRMAN LEMAY: Commissioner Weiss?

20 EXAMINATION

21 BY COMMISSIONER WEISS:

22 Q. Yeah, this is -- Your analysis is very
23 interesting and very well thought out, I think. It is
24 dependent on a lot of properties that you mention. But the
25 production data supports your analysis.

1 Now, let me get clear in my mind, is this 300-
2 barrel-a-day allowable request only for the third sand, or
3 is that for the first sand also?

4 A. It's also -- It would be fieldwide. And we feel
5 that Read and Stevens has essentially the same problem in
6 the first sand as Armstrong has in the third sand, is they
7 have high fluid levels, they're not able to bring the
8 pressure down, they've got reserves they're going to have
9 to try to manage to recover also.

10 The third sand is very similar to the first sand.
11 There's the same drive mechanism, excellent permeabilities,
12 excellent porosities. They're real close to being
13 identical sands.

14 Q. And then the other question I had was, the -- any
15 evidence to support that there's no communication between
16 the zones at the wellbores?

17 A. Well, yes, I think there is, because there's been
18 wells completed in the third sand, and they make like 50
19 barrels a day, say, and then you move up to the first sand
20 and complete that, and it makes 150 barrels a day. So if
21 they were communicated, there would have been no increase
22 in production. So --

23 Q. Is that typical of most of the wells --

24 A. Yeah.

25 Q. -- that observation?

1 A. Yeah.

2 Q. And one other question. What was -- Everything
3 else you had was documented. What was the source of the KR
4 curves?

5 A. That's -- Let's see, that's Exhibit --

6 Q. It was I, Exhibit I.

7 A. Yeah, we don't have any real core data to go by
8 out here. This is data from just my basic experience in
9 the Delaware and some other permeability data that we have.

10 We know two or three things about the Delaware
11 that helped us construct this curve.

12 We know that when the water saturation gets down
13 to about 40 percent, that the Delaware will essentially
14 produce no water. It's 100-percent permeable to oil.

15 We also know that when we get water saturations
16 greater than 60 percent, that you're going to get mostly
17 water. And if it gets toward 65 or 70 percent, the
18 permeability to oil is zero. So that gives us a couple of
19 starting points.

20 We also know that if we have 100-percent oil
21 saturation, we're going to have 100-percent permeability to
22 oil, and vice-versa on the water.

23 So we use those numbers plus just what experience
24 I have in the Delaware to construct that curve, and it may
25 not be exactly right because, like I say, we don't have any

1 core data. But it's a close approximation.

2 COMMISSIONER WEISS: I have no other questions.

3 Thank you.

4 EXAMINATION

5 BY CHAIRMAN LEMAY:

6 Q. Mr. Stubbs, is 300 barrels of oil per day, the
7 request -- is that a magic number? Or is it just kind of,
8 the higher the number, the better, or -- How do you come up
9 with 300 barrels a day?

10 A. Well, it's somewhat magic. If you'll go back to
11 Exhibit M where we had the pressure data and the producing
12 rates, at 300 barrels a day we got the producing bottomhole
13 pressure down to about 1400 pounds, and that was with only
14 two wells in the reservoir.

15 So to manage this thing with two additional wells
16 on the Armstrong side and the additional Read and Stevens
17 wells, with that 300-barrel allowable we ought to be able
18 to get the reservoir down to the bubble-point pressure of
19 around 1200 pounds.

20 But see, even at 300 barrels a day on the Mobil
21 Lea State 2, we didn't get -- we didn't reduce the pressure
22 to the bubble-point pressure.

23 So it's going to have to be a combination of all
24 the wells in that pool to draw that pressure down.

25 So I think 300 barrels a day is a good number.

1 If we don't have 300 barrels a day, then we probably aren't
2 going to be able to withdraw that -- you know, draw that
3 pressure down like we need to.

4 Q. As that water encroaches, would the potential for
5 coning increase with the higher deliverabilities that the
6 wells would produce?

7 A. No, I don't think so, because of the -- you
8 just -- I don't feel like you have any vertical
9 permeability because of the laminated nature.

10 See, you're not going to have a bottom drive,
11 you're not going to have classic coning where the water
12 comes from the bottom, because there is layers of shales
13 and limes that don't have permeability so they're going to
14 act as barriers to the water moving from the bottom.

15 The water is going to come in from the side.
16 You're going to get a -- It's going to be just like a
17 waterflood. The water's going to move in from the side,
18 push the oil toward the producing wells. And you're going
19 to get this cusping effect like you do in a waterflood.
20 Where you have a pressure sink, the oil is going to move in
21 toward that well. And you're going to have oil in between
22 the wells that you may not move, but it's going to be just
23 almost like a waterflood except you're not going to have to
24 inject water for a while, probably.

25 Q. Help me understand this drive mechanism a little

1 bit more. You indicate initial bottomhole pressure was
2 like 2400 pounds, but all of a sudden you're down to 1400
3 to 1800 pounds. With a water drive, why would you get that
4 initial pressure loss?

5 A. Well, that's -- If you recall, we had mentioned
6 that that was the producing pressure, and that was an
7 instantaneous pressure while the well was producing.

8 So if you could imagine a pressure drawdown
9 curve, from the edge of the reservoir would be 2500 pounds.
10 As it approaches the wellbore, it drops off to the
11 producing bottomhole pressure.

12 Now, if you were to shut that well in and allow
13 it to build up, it would build back up to the average
14 reservoir pressure, which you probably haven't dropped more
15 than a few pounds.

16 Q. So you'd anticipate a static bottomhole pressure
17 in the neighborhood of the initial shut-in pressures that
18 you --

19 A. Yes.

20 Q. -- you quoted?

21 A. That what we're saying.

22 We don't think we've dropped the reservoir
23 pressure at this point more than 300 pounds, and that's
24 just due to the compressibility of the water column moving
25 into the oil column. We've taken some water out of the

1 water column, which is going to lower that pressure a
2 little bit.

3 So that's where the pressure loss is coming from,
4 is the water moving into the oil column in producing the
5 well.

6 Q. Have you looked up the volumes of third sand that
7 would be water-saturated in terms of the --

8 A. I've looked --

9 Q. -- ratio of that to the oil-saturated zones?

10 A. I've looked a mile and a half to the south, and
11 that sand is still going. So there's two or three square
12 miles of third sand down there that's pushing the water
13 into that 400-plus acres in the oil column.

14 And it also gets thicker the farther south you
15 go. Instead of having 100-foot sands, that sand grows into
16 some pretty good-size sands.

17 Q. How do you visualize secondary, tertiary
18 operations in this field? With 11 million barrels of oil
19 in place, one would hope they could recover more than 10 or
20 15 percent of the oil in place.

21 A. Well, through the life of this reservoir it's
22 going to require constant management, and I think the first
23 phase is to see how we go getting the pressures down.

24 If everything looks good, then go below the
25 bubble point and produce everything -- We can do a gas

1 expansion and maybe even create a gas cap to help move
2 those reserves.

3 Or at some point in time, if the water column is
4 not able to keep up with the withdrawal, you may want to
5 start injecting water into the ground and to go to some
6 secondary-type operation where you're actually injecting
7 water back into the reservoir.

8 Q. But at this point in time you really don't have
9 an idea how you would go about a secondary or tertiary
10 operation? I mean concrete -- I mean, do you have plans
11 for that, I guess is my question?

12 A. Well, we have some ideas. I'm not sure you'd
13 call them plans at this point.

14 You're going to have to have a decision point at
15 some point in time to decide whether -- if you need to put
16 more water in the ground, if your withdrawal rate is so
17 high that the water drive is not able to keep up. All
18 indications are now that the water drive is going to be
19 pretty efficient.

20 You may just let it go and produce primary by the
21 water influx and solution gas drive. Or you could go to a
22 secondary and actually turn some of your wells into
23 injectors and start putting water back in the ground.

24 Probably, my guess, there's going to be a
25 tremendous amount of oil left in place. If we withdraw 2

1 or 2 1/2 million barrels, there's still a lot of oil in
2 place. This would probably be a good candidate for CO₂-
3 flood or some other tertiary-type flood.

4 Q. Are you familiar with any other orders the
5 Division has issued concerning increased allowables in the
6 Delaware?

7 A. Not in the Delaware, no.

8 MR. BOLING: I think there was one in --

9 Q. (By Chairman LeMay) There's been some. I just
10 wondered if you were familiar.

11 A. No, I haven't followed that.

12 CHAIRMAN LEMAY: Commissioner Weiss?

13 FURTHER EXAMINATION

14 BY COMMISSIONER WEISS:

15 Q. This information you have on Exhibit M, I think
16 your plans are quite dependent on maintaining this type of
17 a record. Is that --

18 A. Yes.

19 Q. Is that part of your plan, to maintain this type
20 of information?

21 A. On M? Yes. The pressure data?

22 Q. Yes.

23 A. Yes, definitely.

24 Q. So you --

25 A. But --

1 Q. -- don't get your 300 barrels a day and go home?

2 A. No, huh-uh, because I think everybody realizes --
3 at least in the Armstrong organization -- realizes that
4 there's a lot of oil to be made here, and it needs to be
5 efficiently managed, and everybody is aware that we're
6 going to keep meticulous data and know what the pressures
7 are and what the reservoir is doing.

8 Q. Is there enough dip here to take advantage of a
9 secondary gas cap, such as you mentioned?

10 A. Yeah, there's about 2, 2 1/2 degrees of dip,
11 which is a couple hundred feet per mile.

12 COMMISSIONER WEISS: I have no other questions.
13 Thank you.

14 CHAIRMAN LEMAY: That's all I have.

15 Thank you. The witness may be excused.

16 MR. CARR: We have nothing further in this case.

17 CHAIRMAN LEMAY: Thank you. Let's take -- I need
18 to -- I don't know if I mentioned the problem that a few of
19 us have, I guess myself and -- We have a budget hearing
20 at -- it's now 1:30.

21 So what I'd like to do, if you don't mind, is
22 come back in about 10 or 15 minutes and break late for
23 lunch. Maybe we can get one of your witnesses in or --
24 We'll see how that works.

25 So let's just take about a ten-minute break now,

1 and we'll come back.

2 (Thereupon, a recess was taken at 12:12 p.m.)

3 (The following proceedings had at 12:25 p.m.)

4 CHAIRMAN LEMAY: We'll resume.

5 Mr. Bruce, your pleasure.

6 BILL BRADSHAW,

7 the witness herein, after having been first duly sworn upon
8 his oath, was examined and testified as follows:

9 DIRECT EXAMINATION

10 BY MR. BRUCE:

11 Q. Would you please state your name and city of
12 residence for the record?

13 A. My name is Bill Bradshaw. I live in the City of
14 Roswell, New Mexico.

15 Q. Who do you work for and in what capacity?

16 A. I'm a full-time employee as a geologist for Read
17 and Stevens.

18 Q. Have you previously testified before this
19 Commission?

20 A. No.

21 Q. Would you please outline your educational and
22 employment background for the Commission?

23 A. I have a bachelor's degree in geology from the
24 College of Worcester in Ohio. I have a master's degree in
25 geology from West Texas State University. I'm a certified

1 petroleum geologist through APG.

2 I started work in 1980 with Gulf Oil Corporation.
3 I worked three and a half years in Hobbs, New Mexico. I
4 worked for Texas Oil and Gas for four years in Midland and
5 Amarillo and, most recently, the last six years with
6 Charlie, or Mr. Read, in Roswell.

7 CHAIRMAN LEMAY: We all know him as Charlie.

8 THE WITNESS: I guess everyone knows --

9 Q. (By Mr. Bruce) And you've got approximately nine
10 years' experience in New Mexico geology?

11 A. Yes, I have worked about nine years in New
12 Mexico. I've been responsible for picking all of the
13 Delaware locations for Read and Stevens that we've drilled
14 out the Quail Ridge field.

15 Q. Have you testified as an expert before any other
16 state commissions?

17 A. I've testified before the Texas Railroad
18 Commission.

19 MR. BRUCE: Mr. Chairman, I tender the witness
20 as an expert petroleum geologist.

21 CHAIRMAN LEMAY: His qualifications are
22 acceptable.

23 Q. (By Mr. Bruce) First off the bat, Mr. Bradshaw,
24 I just want to ask you whether or not Read or Stevens is in
25 agreement with the Armstrong request for 300 barrels of oil

1 per day?

2 A. No, we're not.

3 Q. You would like it to remain at just the statewide
4 allowable?

5 A. Statewide allowable.

6 Q. Well, let's refer to Exhibit Number 1 and
7 identify it for the Commission.

8 A. Okay. Might clarify, it's a little bit
9 confusing. Exhibit D is not Exhibit D; it's Exhibit 1 if
10 you look at the stamp. I suppose you go by that all the
11 time.

12 But basically -- It's not exactly outlined on
13 your plat, but what I wanted to point out was that Read and
14 Stevens controls approximately 1640 acres in this area.

15 Q. Most of it within that heavily outlined area?

16 A. It's in the heavily outlined area, with the
17 exception of the stippled acreage in the southwest -- in
18 the west half of Section 15 of 20-34. That acreage has
19 expired. But all of the other stippled acreage in the area
20 is owned by Read and Stevens.

21 And in the past we've drilled five Morrow wells,
22 which cost approximately \$7 million, and then we have
23 drilled 14 Delaware wells, indicated on this plat right
24 here. We've spent approximately \$6 million developing the
25 Delaware.

1 Q. Now, you have --

2 A. That's a total of about \$13 million.

3 Q. You have these on your legend, certain Delaware
4 producers A through F. For ease of reference or cross-
5 reference, Armstrong refers to the third zone. What color
6 is that on your map?

7 A. That is the green sand, what I call the D sand.
8 The top -- The A, B and C sands refer to -- Armstrong
9 referred to those as the number one sand. I've actually
10 broken it down into three sands.

11 Q. Okay.

12 A. And there are five productive sand intervals out
13 there that we've indicated.

14 Q. Now, how many of Read and Stevens' Delaware wells
15 have been drilled in the past year?

16 A. We have drilled eight wells in 1993, and we have
17 anticipated drilling additional -- nine potential
18 development locations in the north half of Section 3 and
19 one well in the north half -- the north -- it would be the
20 northwest of the southeast quarter of Section 3.

21 Q. What you're saying is, there's nine potential
22 Delaware wells that Read and Stevens has in the north half
23 of Section 3?

24 A. That's correct.

25 Q. And one final question on this exhibit. Does

1 Read and Stevens have an interest in Section 2?

2 A. Yes, we have a ten-percent working interest.

3 Q. Now, you just said there's been quite a bit of
4 development over the past year. Has this development
5 changed your view of the geology in this pool -- in this
6 field?

7 A. A year ago, we had six Delaware wells, and since
8 we have drilled the additional eight, I would say that the
9 picture of the geology has changed out there. We can see
10 that there's quite a bit more sand present on Armstrong's
11 lease that is also present on our acreage in the Quail
12 Ridge field.

13 Q. Okay. Let's move on to the geology. First, your
14 Exhibit 2, the cross-section.

15 A. Yeah, I'd like to take the cross-section out. It
16 sure would be easy if I could hold this thing up somehow
17 and...

18 Basically, you can see -- This is a structural
19 cross-section, and we're -- Basically, there's a map on the
20 corner down here that shows that we're going up the east
21 side of Read and Stevens' acreage and the Quail Ridge
22 Delaware field, and then we're crossing over into the
23 Northeast Lea Delaware field where Armstrong has their
24 wells.

25 And what I wanted to point out first of all was

1 that most of our production is coming from these A, B and C
2 sands, specifically the B sand. If you look at that
3 production index map that I gave you at first, those yellow
4 -- the orange dots right there represent basically the B
5 sand.

6 Armstrong, as you will notice, also has the B
7 sand indicated behind pipe.

8 I would also point out that they have A sand and
9 they also have C sand. And if you were to look at Mike
10 Boling's Exhibit Number 2, which is an isopach map of the
11 Number 1 sand interval, which is what I'm talking about,
12 referring to right now, I'd like to point out to Mr. LeMay
13 that the sands that he's -- He's indicating sand in the
14 southwest quarter of Section 2. That sand could just as
15 easily be drawn to correlate directly with sands present in
16 the southeast quarter of Section 3.

17 You recall, his lower sand is trending northeast-
18 southwest. There's no reason why these upper sands
19 couldn't also trend in a northeast-southwest direction.

20 In effect, if you look at the cross-section,
21 their wells are located on strike or updip of our acreage.

22 Q. And as far as their first-zone wells, you concur
23 that that is behind pipe?

24 A. Yes, their zones are behind pipe. In effect, we
25 are downdip to them, and at this time we don't feel that

1 we're draining their upper sands.

2 Q. Okay, thank you.

3 Now, let's move on to your Exhibit 3.

4 A. I need to point out a couple other things.

5 Q. Okay.

6 A. On this cross-section, you'll notice this lower
7 pinnacle right down in here. This is the Armstrong sand
8 that is productive, and you'll notice that there's a common
9 oil/water contact approximately minus 2275, which
10 corresponds with what Bruce has said.

11 And I just want to point out that this lower sand
12 is continuous across our acreage, it is productive in the
13 four wells that we have, and that we are closer to the
14 oil/water contact than the wells updip in the Armstrong
15 acreage, and I'll point that out on some more maps.

16 Q. Okay, Mr. Bradshaw, now let's move on to your
17 Exhibit 3, your -- Would you identify that for the
18 Commission and also, where necessary, cross-reference that
19 to Armstrong Energy's --

20 A. Yeah, this is a --

21 Q. -- isopach?

22 A. -- a net-porosity isopach map, and basically I've
23 got net values of porosity greater than 16 percent over
24 gross sand interval.

25 It's this exhibit right here. I don't know if

1 you can see it or not.

2 Basically, it indicates the wells that are
3 productive in green from this lower sand, the third sand
4 that Armstrong refers to.

5 And I'd start out by pointing out that originally
6 this was a -- mapped as a northeast-southwest trend, and
7 recently Armstrong drilled their well in the northwest of
8 the southwest quarter of Section 2, and you'll notice they
9 have 94 feet of sand present in that well. And immediately
10 south of there, they had 92 feet of sand. And it sets up
11 the possibility for this re-entrant of sand, which could
12 come down from the north, feeding into this main northeast-
13 southwest system.

14 Matter of fact, Mike Boling was pointing out that
15 the dipmeters in these wells indicated north-south
16 deposition of sand.

17 We would point out that the possibility exists
18 for additional locations in the east half of our Section 3,
19 which could also encounter this sand.

20 A discrepancy that I have with Mr. Boling would
21 be our Mark Federal Number 8, which is drilled in the
22 northeast of the southeast quarter of Section 3. He's
23 indicated approximately six feet of gross sand and two feet
24 of net sand, and I indicate 62 feet of gross sand present
25 in that wellbore, four feet of net sand.

1 I'd like to point it out to you on the cross-
2 section here.

3 You can see the Mark Federal Number 8, from a
4 depth of 5906 to 5996. There's sand present on the log.
5 We've even got little bit of porosity in the bottom of it,
6 sand that's greater than 16 percent.

7 We've perforated that interval. It's capable of
8 producing eight barrels a day.

9 Right now the well is temporarily abandoned, but
10 we have plans to possibly go back and produce that oil from
11 that interval. We tried some other zones up the hole.

12 What I'm trying to point out is that we do have
13 sand present on the east half of our acreage and possibly
14 under the locations in the north half of our acreage in
15 Section 3.

16 I'd also like to point out on this cross-section,
17 well in the southeast quarter of Section 3, our Mark
18 Federal Number 4. There's a very obvious oil/water contact
19 at 5942 that you can see on the electric log in the Mark
20 Federal Number 4 on the cross-section.

21 And I would point out that Mr. Boling, on his
22 exhibit, points out about four or six feet of net pay
23 that's above the oil/water contact. And our oil/water
24 contact here would indicate that we have about 34 feet of
25 net pay.

1 MR. BOLING: I'd have to concur that --

2 MR. BRUCE: Well --

3 MR. CARR: Shhh.

4 THE WITNESS: The point being that I'm trying to
5 demonstrate that we have good productive pay in the Mark
6 Federal Number 4 in the southeast quarter of Section 3.

7 Q. (By Mr. Bruce) Why don't you -- Okay. One
8 thing, though, looking at your isopach, you have -- You
9 know, going from the west half of the southeast quarter of
10 Section 2, the Armstrong Energy wells, over toward your
11 acreage in Section 3, there appears to be continuous sand;
12 is that correct?

13 A. Yes. I'd also like to --

14 Q. And -- well, let --

15 A. Okay.

16 Q. Now, compare that with Mr. Boling's Exhibit 7, I
17 believe it is --

18 A. Right.

19 Q. -- where he basically shows a big zero line
20 running between your acreage and the Armstrong Energy
21 acreage.

22 A. It's kind of a --

23 Q. Do you see any basis for that?

24 A. There is no basis in terms of -- Just looking at
25 the isopach values, there's no indication that there's any

1 barrier at all present. And in fact, I think his basis for
2 saying it was there was saying that there was a little nose
3 there at the base of the sand, and I would contend that the
4 small structures out here don't necessarily reflect the
5 deposition of the sand. It could have been post-
6 depositional, it could have been post-depositional
7 compaction, it could have been post-depositional movement.
8 There's no isopach value indicating thinning sand between
9 our acreage and their acreage.

10 Q. Now, Mr. Boling also made a statement about -- I
11 think it's the Mark Federal Number 4 in the southeast
12 southeast of Section Number 3 -- that it was moved to --
13 moved away from the thin net pay. What was the reason for
14 moving that?

15 A. As indicated, as you're going over towards our
16 lease on the cross-section, that we are becoming closer to
17 the oil/water contact. And in order to take advantage of
18 the structure, we moved our location from an eastward
19 location to a more westward location in that proration unit
20 to move updip in the reservoir.

21 We were not concerned about picking -- or about
22 losing the sand to the east. We figured we would thicken
23 in sand to the east, but we were afraid of losing
24 structure.

25 Q. Do you have any other comments on your Exhibits 3

1 and 4 that you'd like to point out to the Commission?

2 A. Yes, I'd also point out on Mr. Stubbs' Exhibit
3 Number 10, that there's no barrier indicated that would
4 correspond with the geology that Mr. Boling in his --

5 Q. You're talking about his very last page of his
6 exhibit?

7 A. Yes, the colored picture seems to be more in line
8 with the geology that I have mapped in terms of the net
9 sand presence.

10 Q. It doesn't show that barrier between Sections 2
11 and 3?

12 A. No, there's no barrier indicated.

13 Exhibit 4 demonstrates all of the potentially
14 productive interval, Armstrong sand, above the oil/water
15 contact. And as you can see, in our well that we drilled
16 in the southwest of the northeast quarter of Section 10 on
17 Exhibit 4, that well tested wet and downdip in the
18 Armstrong sand.

19 Q. And you're afraid of having your wells water out?

20 A. Yes, we're closer to the oil/water contact when
21 we are downdip. Structurally, this is a structure map on
22 top of the D sand, and you can see that if you look at the
23 Armstrong wells over in the southwest quarter of Section 2
24 that they are -- the majority of them are updip to our
25 acreage --

1 Q. Okay.

2 A. -- by about 10 to 20 feet, depending on which
3 well you choose.

4 Q. Were Exhibits 1 through 4 prepared by you or
5 under your direction?

6 A. Yes.

7 Q. In your opinion, is the denial of the Armstrong
8 Application for an increased allowable in the interests of
9 conservation, the prevention of waste and the protection of
10 correlative rights?

11 A. Yes, it is.

12 MR. BRUCE: Mr. Chairman, I'd move the admission
13 of Exhibits 1 through 4.

14 CHAIRMAN LEMAY: Without objection, Exhibits 1
15 through 4 will be admitted into the record.

16 Mr. Carr?

17 MR. CARR: Mr. LeMay.

18 CROSS-EXAMINATION

19 BY MR. CARR:

20 Q. Mr. Bradshaw, to follow on the question the
21 Commission Chairman asked earlier, you don't go to the same
22 church as Mr. Boling, do you?

23 A. We live on the same street now, but he hasn't
24 come down to help me unpack yet.

25 Q. Your geologic interpretation is based on well

1 control, is it not?

2 A. Yes, it is.

3 Q. You're not integrating seismic or anything
4 else --

5 A. No.

6 Q. -- into this interpretation?

7 Although we've got a lot of disagreement, are we
8 really in agreement that there are really two primary
9 producing zones in this area? What we call the one and the
10 three, you call, I think, the B and the D sand, something
11 like that. Is that a fair statement?

12 A. Yes, I think they're separate.

13 Q. And you're generally familiar with the Delaware
14 in this area, are you not?

15 A. Yes.

16 Q. And don't we generally have a sort of southeast
17 general depositional dip in this area?

18 A. Yes. Depends on which sand.

19 Q. Where we really get into disagreement is as to
20 whether or not there is a nose or any kind of a barrier
21 between your wells in Sections 3 and 10 and the Armstrong
22 wells in 2; is that right?

23 A. Yes.

24 Q. You and Mr. Boling aren't in agreement on the
25 gross sand interval in your -- I think it's your --

1 A. -- Number 8.

2 Q. -- Mark Federal Number 8?

3 A. Right.

4 Q. Mr. Boling found two feet of porosity. You found
5 how many?

6 A. Four feet.

7 Q. So you're basically in agreement on the porosity;
8 it's just the gross interval that you're not in agreement?

9 A. That's correct.

10 Q. It is possible that with additional development
11 or information in there, you might see a nose instead of
12 just a deterioration in the formation?

13 A. I'm not understanding the question.

14 Q. Basically what we have is just two differing
15 geologic interpretations based on the same data points?

16 A. Yes, he contours it differently than I do.

17 Q. And he sees a nose and you don't see them?

18 A. That's correct.

19 Q. To resolve that we would have to get some
20 additional data, wouldn't we?

21 A. Yes.

22 MR. CARR: That's all I have.

23 CHAIRMAN LEMAY: Mr. Carr.

24 Commissioner Bailey?

25 COMMISSIONER BAILEY: No.

1 CHAIRMAN LEMAY: Commissioner Weiss?

2 EXAMINATION

3 BY COMMISSIONER WEISS:

4 Q. I think I wrote down that you agreed with Mr.
5 Stubbs' cartoon, his last exhibit, basically?

6 A. Well, what I was basically pointing out was that
7 they did not indicate that there was a barrier on his
8 cartoon, whereas the geology indicated that there was a
9 barrier.

10 Q. Do you think the edge of the reservoir is such as
11 he depicted, that is, lying to the north --

12 A. Well, I believe it goes further to the north than
13 he's depicted. I think that it could go in the north part
14 of our acreage.

15 COMMISSIONER WEISS: Okay, thank you.

16 CHAIRMAN LEMAY: Are you going to have an
17 engineering --

18 MR. BRUCE: Yes.

19 CHAIRMAN LEMAY: -- witness too?

20 EXAMINATION

21 BY CHAIRMAN LEMAY:

22 Q. Talked Charlie into a well up there in the
23 northeast of Section 3?

24 A. I'm sorry?

25 Q. Have you talked Charlie into drilling a well in

1 the northeast of Section 3?

2 A. Well, he's trying to talk me into it right now.
3 He wants to drill the northwest of the northeast of 3 right
4 now. He's got that acreage.

5 I'd prefer to -- I'm a little more conservative.
6 I step out a little bit, one well at a time. But you know
7 Charlie.

8 Q. I think it's just an interpretation based on
9 the -- The differences, I should say, are based on the
10 presence or absence of a nose and whether that four feet or
11 two feet indicates a termination to the north or extend it
12 down, a kind of a tight spot between those --

13 A. Uh-huh.

14 Q. -- those wells.

15 A. I think that, you know, with the subsurface
16 control, we don't have any -- There's no basis to say that
17 it's thinning. It's purely interpretation to say that,
18 Well, there's a nose in there, so therefore you would have
19 less sand.

20 There's no evidence to indicate that the
21 structure controlled the deposition of sand. It could be
22 post-depositional compaction, it could be post-depositional
23 structural movement out there. We know in general that
24 it's a northeast-southwest trend.

25 Q. Do you have any objection -- or I should say,

1 does Read and Stevens? -- do they have any objection to the
2 consolidation of these pools?

3 A. I can't answer that. I don't know. I couldn't
4 speak for my boss at this time.

5 Q. But you do to the allowable? You'd like to keep
6 statewide --

7 A. Yes --

8 Q. allowable? Okay.

9 A. -- about our drainage.

10 CHAIRMAN LEMAY: Okay, that's the only question I
11 have.

12 Is there anything else of the witness?

13 If not, he may be excused.

14 You may call your next witness. We might be able
15 to get this in.

16 MR. BRUCE: Call Mr. Maxey to the stand.

17 JOHN C. MAXEY,

18 the witness herein, after having been first duly sworn upon
19 his oath, was examined and testified as follows:

20 DIRECT EXAMINATION

21 BY MR. BRUCE:

22 Q. Would you please state your full name for the
23 record?

24 A. John Maxey.

25 Q. Where do you reside, Mr. Maxey?

1 A. Roswell, New Mexico.

2 Q. Have you previously testified before the
3 Commission as an engineer?

4 A. Not *de novo*, but I have testified.

5 Q. Okay. You have testified before the Division?

6 A. Right.

7 Q. Okay. Who is your employer?

8 A. Read and Stevens, Inc.,

9 Q. And what is your position there?

10 A. Petroleum engineer.

11 Q. Would you briefly outline your educational and
12 employment background?

13 A. I graduated with a BS in petroleum engineering in
14 1980, Oklahoma State.

15 I went to work immediately for Chevron in
16 Midland, Texas, worked in the drilling department for
17 Chevron for a couple of years, then went to work for Mesa
18 Petroleum in Roswell, worked then as a drilling engineer.
19 With Chevron, I was a drilling representative. A lot of
20 workover/completion drilling-type of work. With Mesa
21 Petroleum I was drilling engineer for about a year and a
22 half.

23 Then moved to the Amarillo Office, the corporate
24 office, was a petroleum engineer, working production at
25 reservoir assignments in the Amarillo office till about

1 1985. Total time with Mesa was about five years.

2 I worked about two years for a company out of
3 Dallas, Texas, Matador Oil Company, and was a petroleum
4 engineer with Matador, doing drilling, production and
5 reservoir work, and then in 1988 went to work for Read and
6 Stevens as their petroleum engineer.

7 Q. And does your area of responsibility include the
8 engineering matters related to the Quail Ridge Delaware
9 Pool?

10 A. Yes, it does.

11 MR. BRUCE: Mr. Examiner, I would tender Mr.
12 Maxey as an expert petroleum engineer.

13 CHAIRMAN LEMAY: His qualifications are
14 acceptable.

15 Q. (By Mr. Bruce) Mr. Maxey, first, what is Exhibit
16 5?

17 A. Exhibit 5 is a letter dated December 30, 1992,
18 that I wrote. It was to Campbell, Carr, Berge and
19 Sheridan. It was a letter in support of an increased
20 allowable in Armstrong's -- last year. The hearing, I
21 believe, was in January.

22 Q. Do you support that application today?

23 A. No.

24 Q. Why not?

25 A. There's some things that have changed since the

1 initial application, the initial hearing.

2 One of the things that has changed is the
3 geology. After they drilled the Mobile Lea Number 2, it
4 changed the geology significantly from our point of view.
5 We felt like that initially when we supported this
6 Application, that the D sand, what I call the D sand, this
7 sand that they'd like to get the increase, they're
8 providing out of, was not present on the east half of our
9 acreage. And once they drilled the Mobile Lea 2, it became
10 apparent that we had -- very possibly had D sand on the
11 east half of our acreage, and therefore we did not want to
12 incur any drainage before we had a chance to develop the
13 acreage.

14 And number two, in their initial hearing they
15 brought up some testimony indicating that there was a
16 partial water drive, which concerned me because I was
17 assuming we had a solution gas drive reservoir.

18 And those are the two major reasons that we
19 oppose it now.

20 Q. Well, what is Exhibit 6 then?

21 A. Exhibit 6 is a letter I received -- Well,
22 actually it came to Read and Stevens; it's addressed to the
23 working interest owners. We are a working interest owner
24 in the Mobil Lea State wells.

25 It's a letter from Bob Armstrong indicating that

1 they were coming to this hearing to present testimony. And
2 primarily in the second paragraph, about halfway down,
3 there's a sentence in there that concerned me even greater,
4 concerning what they were purporting to find in the
5 reservoir.

6 It reads, "If we are not allowed to increase
7 production to decrease pressures, a significant amount of
8 oil will not be recovered due to the nature of the
9 reservoir, the strong water drive, the amount of gas in
10 solution and the extremely high bottom-hole pressures."

11 Number one, I disagree that we have a strong
12 water drive. That concerned me.

13 Number two, I had heard this a lot from
14 Armstrong, but no one had ever explained the engineer data,
15 that a significant amount of oil will not be recovered due
16 to the nature of the reservoir. I don't understand that.
17 And after all that testimony today, I still don't
18 understand it.

19 Q. Now, you have over there a copy of their Exhibit
20 10, their engineering study. Was today the first time you
21 saw that study?

22 A. It is. I was quite surprised to see the study,
23 being as we are a working-interest owner and we, I believe,
24 agreed that we shared some correlative rights in the D
25 sand. I was kind of surprised to get that today, not

1 having a chance to put any input into it or even an
2 opportunity to see it as working interest owner.

3 Q. And will you make a few comments on that at the
4 end of your testimony?

5 A. I will.

6 Q. Let's move on to your other exhibits. First, why
7 don't you discuss together your Exhibits 7, 8 and 9, and
8 what do they show to you?

9 A. Okay, 7, 8 and 9, Exhibits 7, 8 and 9, are
10 decline curves.

11 Let me briefly state, I'm just going to deal with
12 wells that we have in the D sand and the Armstrong wells in
13 the D sand. We've heard a lot of testimony today. In my
14 opinion, a lot of it is not pertinent to the fact that
15 Armstrong wants to raise the allowable in the D sand.
16 That's what we need to be dealing with.

17 We have wells in other sands. Armstrong does not
18 have any production data on any of the upper sands on their
19 lease. Therefore we don't have anything to compare,
20 really, as far as the performance of our wells and the
21 performance of their wells. They're strictly producing out
22 of the D sand.

23 These production decline curves, the first one is
24 the Mobil Lea State Number 1. The reason I've entered this
25 in as evidence, we've talked -- heard a lot of testimony

1 today about flat GORs, and this is just a simply a decline
2 curve on the Mobil Lea Number 1.

3 If you'll notice towards the bottom of the chart,
4 there's a GOR with a line drawn through it. It's just a
5 curve fit through those points indicating an increase in
6 GOR.

7 And if you'll notice, the decline over there
8 equals negative 100.8. The 100.8 is really of no
9 importance, but I just wanted you to notice the negative
10 sign in front of it. That does indicate an incline in this
11 line.

12 The significance of an increase in GOR on the
13 Mobil Lea State Number 1 indicates to me that we have a
14 partial solution gas drive, some amount of solution gas
15 drive. In light of all the testimony about water drive, I
16 probably initially would have said we're dealing with a
17 solution gas drive reservoir, but if in fact there's
18 additional evidence to indicate water drive, we may have a
19 partial water drive with partial solution gas drive.

20 Let me back up to that one real quick. I'll
21 probably make this point later too. If in fact we have --
22 this is solid evidence to me we have an increasing GOR
23 solution gas drive. If we have a water drive also that's
24 working in this reservoir, we have simultaneous drive.
25 Solution gas drive is the more inefficient drive. You

1 definitely want to produce the well at a rate that will be
2 favorable to the water drive, because that has a higher
3 percent of oil recovery.

4 If you initially produce the well at a rate
5 faster than the water encroachment and you lose a lot of
6 your solution gas, you're going to lose a lot of your
7 efficiency, and you're going to leave reserves in the
8 ground.

9 The next decline curve is on our North Lea Number
10 10, and what I wanted to illustrate there was, we have just
11 slightly increasing GOR again. I don't have a line drawn
12 through it, but the point -- The GOR curve towards the
13 bottom is increasing. We have flat water production. The
14 oil is flat too, also. It's not a top-allowable well, but
15 we're producing the well on a flat decline right now.
16 There is no decline.

17 The second -- or, excuse me, the third curve is
18 the North Lea Number 6, and if you'll notice, that the
19 North Lea Number 6, we initially completed in the lower --
20 in what we call the D sand. If you can see the line I've
21 drawn through there and the arrow at the bottom of the
22 page, that is the point where we completed into the upper
23 sands and commingled the well. That's why the oil, gas and
24 water have increased after that point.

25 What I'm dealing with is the production before

1 the line, which is strictly out of the D sand. We have a
2 GOR prior to that line that increases dramatically over
3 approximately six months, indicating we definitely have gas
4 coming out of solution.

5 The water -- Something that's interesting, we
6 talked about water encroachment and that there's no coning
7 taking place. On this curve you can see very plainly we
8 have increasing the water cuts.

9 This well is not the downdipmost well. The
10 Number 10, which I've showed you before, is the downdipmost
11 well, and it has flat water production.

12 The Number 6, which is updip, has increasing
13 water production, and I have -- on all the frac -- well,
14 not all the frac jobs, but a lot of frac jobs we've done,
15 I've documented that frac height growth and propped
16 fracture height is definitely larger than the perforated
17 interval for all the sands.

18 So I believe we have coning taking place on this
19 Number 6 well. The fact that you have vertical
20 lamentations [sic] in the reservoir and there's no coning
21 -- there's no vertical permeability, every well out there
22 is hydraulically fractured and propped, and it destroys any
23 of the lamentation [sic] or the effects you get from
24 lamentation [sic]. There's an order or magnitude of
25 vertical permeability that's much greater than horizontal.

1 Q. Now, based on this, what would you suggest is
2 necessary to find out what rate this field should be
3 produced at?

4 A. What's necessary, especially under -- When you're
5 under simultaneous drive, that's my big concern, that's why
6 I'm here. If in fact we have simultaneous drive, an MER
7 needs to be established for the wells and for the field.

8 An MER is a maximum efficient rate of recovery.
9 An MER takes into account the amount of water influx you
10 have into the reservoir. And once that is established,
11 you'll know much better at what rates to produce your well
12 so you can take advantage of the water drive and the more
13 efficient displacement of the water drive, rather than
14 depleting your gas and allowing it to expand and producing
15 it at higher GORs.

16 Q. What type of data would you want for an MER
17 calculation?

18 A. MER calculations are primarily a material balance
19 calculation. And what -- The critical information you need
20 is PVT data, accurate bottomhole pressure data and enough
21 ultimate production to plug into your equations.

22 In this case, we probably have enough ultimate.
23 Normally five to ten percent -- Well, I take that back. I
24 just thought of something. In most cases -- or the
25 average, I guess you could say -- you need five to ten

1 percent of your ultimate production, you need to produce
2 that and have accurate records, with accurate bottomhole
3 pressure data and PVT data to, in turn, do a material
4 balance and try to establish how much water influx you
5 have.

6 In all of Armstrong's testimony, they talk about
7 the bottomhole pressure. They have not taken, that I know
8 of, one single bottomhole pressure point. They have used a
9 DST off of our well on their initial point. Every other
10 pressure point they've taken has been a surface buildup
11 using -- or excuse me, not a surface buildup but a fluid
12 level shot, using casing pressure and then calculating the
13 bottomhole pressure based on gradients of fluid in the
14 wellbore that are not known at the time. You're just
15 estimating what those gradients are.

16 I looked at some of the bottomhole pressures in
17 their report. On, I believe it's the Mobil Lea Number 1,
18 they had a constant rate, and they calculate -- They shot a
19 lot of fluid levels over the months. The bottomhole
20 flowing pressure that they calculated was fluctuating quite
21 a bit at a constant rate. To me, that's indicative of the
22 error that you can bring about in doing that. But those --
23 that's the --

24 Q. Okay.

25 A. Yes, sir.

1 Q. Let's move on to your Exhibit 10. Identify it
2 and briefly set forth what this shows you.

3 A. These are GORs, initial and late GORs that I have
4 on three of the Mobil Lea wells, two of our wells. The
5 Mark Federal Number 4, I don't have adequate information to
6 have a GOR prepared at this time.

7 These are initial GORs that I calculated using
8 two months of production very early in the life of the well
9 when it initially came on. And then the latest GOR
10 represents November, 1993, production information, with the
11 exception of the North Lea Number 6. It was in May of
12 1993. That was the last month we produced it prior to
13 recompleting and commingling with other sands.

14 What this exhibit will show you is that, clearly,
15 on the Mobile Lea Number 1 and 2 and 3, on the initial
16 GORs, as each well was drilled, the initial GOR, which is
17 the critical one -- if you want to measure -- If you want
18 to try to measure all this at surface, your initial GOR is
19 the most critical. That's representative of your solution
20 gas/oil ratio that you have in the reservoir at the time
21 you start producing.

22 The Mobil Lea Number 1 was 280 MCF -- excuse me,
23 cubic feet per barrel of oil. Now, if you were going to
24 move over and drill an offset and you had a strong water
25 drive that was keeping pressure maintenance on your

1 reservoir, and you weren't having any gas come out of
2 solution and you were having flat GORs, you would expect
3 the same GOR at the next location.

4 The Mobil Lea Number 2 that as drilled four
5 months later had an initial GOR of 360 cubic feet per
6 barrel of oil.

7 Moving on with the Mobil Lea Number 3, the
8 initial GOR is up to 395 now, when it was drilled.

9 So we have an increase in GORs. It's not a large
10 increase, but we're not talking about very much production
11 either. I think it's a clear upward trend indicating
12 there's a solution gas drive taking place in this
13 reservoir.

14 I think that this data is conclusive testimony
15 that you need to be very careful. If you suppose that
16 there's a water drive, if you have any feeling there's a
17 water drive, then you have simultaneous drive taking place.
18 You'd better be careful with the amount of oil that you
19 produce from your wells, because if you produce at a rate
20 higher than what the water influx is, you're going to be
21 damaging your ultimate recovery.

22 The North Lea Number -- Fed 6 and North Lea Fed
23 10 are just a further indication. They are down in Section
24 10 on our acreage. I saw the same thing on our wells, once
25 we drilled those. Two months apart, the GOR initially on

1 the Number 6 was 195, and on the Number 10 it was 283.

2 So I see expansion taking place outside the 40-
3 acre drainage radius.

4 The North Lea Federal Number 6 was not what we
5 call a top-allowable well. There was testimony earlier
6 that top allowable -- or, excuse me, wells that aren't real
7 good wells, less than top allowable, probably don't drain
8 up to 40 acres, they drain less than 40 acres. This, to
9 me, is clear evidence that drainage is taking place on a
10 larger spacing than 40 acres on all the wells.

11 Q. Let's move on to your Exhibits 11 and 12. Would
12 you discuss them for the Commissioners?

13 A. Oh, can I back up, just --

14 Q. Sure.

15 A. Okay, I just wanted to make one more point.

16 The latest GOR, you'll notice that the latest GOR
17 on that exhibit is also increased from the initial GOR.
18 That also indicates you've got solution gas drive. I mean,
19 you've got gas coming out of solution, your GOR is going
20 up.

21 The other one is the Mobil Lea Number 3, because
22 that's the newest well, and the GOR is essentially the same
23 month for initial and latest.

24 Q. You're looking at the third and fourth columns
25 there; is that correct?

1 A. Yes, that's right.

2 There was also some testimony that a 300 to 700
3 GOR over a ten-month period was a minor sign of water
4 influx.

5 If that's the case, our North Lea Number 10,
6 we've got a GOR increase of about 300 over about a six-
7 month period. That would indicate to me, based on that
8 testimony, there's only minor water influx, that the
9 majority of this production is solution gas drive.

10 Q. Okay, please move on to your next exhibits, the
11 next two exhibits.

12 A. As stated earlier, the Mark Number 4, I didn't
13 have adequate data for GORs, but I do have individual well
14 tests that I wanted to introduce as evidence. On the Mark
15 4, this is a 48-hour test.

16 You'll notice that in the upper left-hand corner
17 on both pages, the oil produced on the test was 106 barrels
18 the first day, 114 the second day. Top-allowable well.

19 You'll also notice that about midway down, kind
20 of on the left, under the heading, "pump", did the well
21 pump off? Yes. We're producing that well at top allowable
22 rate, but that is the maximum we can get. If we're forced
23 into a competitive situation with the four wells just
24 across the lease line and triple their production, we lose,
25 period. There's no -- There's no way around it.

1 Q. And finally, what do your Exhibits 13 and 14
2 show?

3 A. Well, I threw this in there. There has been some
4 testimony that we're producing from the upper sand and that
5 Armstrong is going to have to wait until the lower sand is
6 depleted before they actually produce their upper sands.

7 Well, you'll -- As you have a chance study this,
8 you can see that clearly we have wells producing more than
9 the top allowable. Some of those wells are commingling.
10 In other words, we've got more than one sand open, and
11 they're producing at a top-allowable rate. They could in
12 fact produce more.

13 We're not interested in an allowable increase at
14 this time because we haven't even delineated the reservoir
15 yet, we don't even know the extent of the reservoir. I'll
16 get into that later in their study. They used volumetrics.
17 They plugged in 11 million barrels of primary recovery --
18 or, not primary recovery but ultimate recovery -- I'm
19 sorry, it's ultimate recovery; it's in place. 11 million
20 barrels a day, barrels of oil in place in the reservoir.

21 Well, they used 400 acres for the reservoir
22 volume. We have no dryholes except for probably our well,
23 the Number 8, which delineates a very small portion of that
24 reservoir. Volumetrically, that reservoir may have 30
25 million barrels, I don't know. There's no limit on it yet.

1 But these wells show you that we are producing
2 from more than one zone and that Armstrong has the same
3 capability. They can set a bridge plug over their
4 perforations, they can produce -- test and produce their
5 upper sands, and they can commingle them with the lower.

6 Yes, the well will produce a lot more than the
7 allowable, but at least you've got everything on line. As
8 is bottomhole pressure draws down, you'll get more and more
9 production from the sand that maybe is the poorer sand, but
10 over time you'll deplete the sand.

11 If we all operate under the same allowable and
12 they're not given an unfair advantage because we don't have
13 wells that can do that good, there's no correlative rights
14 to be impaired.

15 Q. Is Read and Stevens concerned about its downdip
16 wells being watered out?

17 A. Yes, we are. If -- When we're talking about a
18 strong water drive, which -- I guess you would probably
19 surmise that I don't agree with that, but if you were to
20 present testimony that there's a strong water drive, yes,
21 the downdip wells are going to be the ones that suffer,
22 they're going to be the ones that water out first,
23 especially if you have wells updip that can produce at a
24 much higher rate. The downdip wells will suffer. They'll
25 be the first to water out. Unfortunately, those are the

1 ones on our acreage.

2 Q. Let's move on to Armstrong's Exhibit 10.

3 Generally, do you agree with the conclusions?

4 A. No, I don't. There was a lot of work going into
5 this, and unfortunately we didn't have any input on it. We
6 didn't have the opportunity to have any input.

7 I disagree with the conclusions. Some of it I
8 agree with, and some of it I don't. But like I said, it
9 was a lot of work.

10 Q. Would you please pick out the two or three things
11 you disagree with most and state why you disagree with
12 them?

13 A. Okay, there were a lot of things that I probably
14 could pick out. Some of them may be small, not have that
15 much impact on our case. We could probably be here all day
16 arguing about it. I think -- I'll try to run through here,
17 because I made penciled notes and, like I said, this is
18 quite a bit to digest that quickly.

19 There was a comment, no gas cap is present,
20 indicating the reservoir is undersaturated and above bubble
21 point. We have not drilled the updip limit of this
22 reservoir. That's where your gas cap is going to be
23 located. If in fact there is a gas cap, it may not have
24 been drilled, simply because we haven't delineated the
25 updip point of this reservoir.

1 Furthermore, in the Delaware -- I have no
2 engineering data to back this up, but I really feel like
3 gravity segregation probably will not be a big factor in
4 this reservoir, as far as gas migrating. Once the well is
5 produced, gas breaks out of solution. I don't think
6 gravity segregation will have a big impact till the gas
7 actually migrates updip.

8 Now, if it does, that's a whole 'nother study and
9 you've got to understand that drive mechanism too, because
10 then you have three drives working. You've got water
11 drive, gas cap and solution gas. And if you want to order
12 those in terms of efficiency, gas -- excuse me, water drive
13 is the most efficient, so you want to take advantage of
14 that as long as you can. And when you can't take advantage
15 of that, you want to structure your reservoir management to
16 take care of your -- to produce by gas cap drive, because
17 that is the next most efficient. And then finally solution
18 gas is your most inefficient, but that's your remaining
19 energy source.

20 Moving along -- Oh, on page A-3 there was a --
21 again, there's evidence that a strong water drive is
22 present. I'm not convinced there's a strong water drive.
23 I believe that in order to determine if there's a strong
24 water drive, your material balance has to be backed up with
25 good PVT data, good bottomhole pressure data, and of course

1 we do have some good production data that we could plug in.

2 If we don't plug in the right size as far as the
3 volumetric -- the oil in place -- that gets back to the
4 size of the reservoir -- all these calculations are --
5 they're not going to be worthwhile, because we don't know
6 the size of the reservoir. It's just -- It will be in
7 error.

8 Again, if we had -- I could make a -- I could
9 probably make a -- infer some kind of judgment on this
10 report if all the bottomhole pressures were -- or, excuse
11 me, the calculated bottomhole pressures, if they were
12 actually bottomhole pressure buildups or some kind of a
13 bottom mechanical recording device, if the pressure
14 appeared not to decline, the initial pressure had not
15 declined any at all, I would be able to look at this in
16 five minutes and say, yeah, I believe you're right, we have
17 a water drive.

18 But I will not -- and because I've had the
19 problem on our wells of shooting fluid levels and trying to
20 determine accurate levels, I don't use that data for
21 anything of any weight as far as calculations.

22 Armstrong has told me -- we've talked about
23 this -- they did mention they shut their casing in, allowed
24 head to build up and hold the fluid down. You still don't
25 know the density of the fluid that's in the casing that

1 you're calculating with, and you still don't know if
2 there's a slug movement in the casing. There's no way to
3 tell.

4 One of the other points -- I may need to move
5 along here, but we attribute this to the laminated nature
6 of the Delaware with thin shale beds dispersed throughout
7 the sand body and creating barriers to vertical
8 permeability.

9 As I stated before, vertical permeability, the
10 barrier effect you get from the laminations in the
11 immediate vicinity of the wellbore is destroyed by vertical
12 fracturing, and coning is an ever-present possibility from
13 bottom water. If you have very, very high conductivity
14 from bottom water up to your producing zone, if in fact
15 it's a drive mechanism -- I don't believe we've still
16 established that, but if it is a drive mechanism, you could
17 cone the water up through a vertical fracture.

18 It could take place at any time. And there would
19 need to be some calculations to figure out, even though you
20 didn't have coning with 300 barrels of water a day for six
21 months, the next month the coning -- you may see the water
22 head. You need to know where that's going to happen and if
23 the rate's excessive.

24 I think the rate -- 300 barrels a day is
25 excessive on several points. One of them is the coning,

1 one of them is the drive mechanisms. We don't have a
2 handle on them, and there's a great possibility -- Well, I
3 believe in my mind a hundred percent, if the allowable is
4 increased that you stand a very, very high chance of
5 leaving ultimates in the ground because you don't know what
6 kind of drive mechanisms have taken place and what
7 percentage each mechanism contributes to the total
8 production of the well.

9 Q. Any other major points?

10 A. I think that's -- Well, the constant GOR with
11 water, I disagree with that.

12 Material balance, I've already stated that's
13 incorrect because we -- unless everybody else goes out and
14 drills dryholes right around our producing wells to go
15 ahead and delineate a 400-acre reservoir. But the
16 reservoir could be 800 acres. That could be off by a
17 factor of two.

18 Q. There's no well control to the immediate north
19 and northwest?

20 A. There's no well control to the north. There's --
21 I believe -- I was talking to Bill; we have well control on
22 in the next section to indicate the sand is not there.
23 That leaves the whole north half of their section open, and
24 our geology would indicate on the northeast part of our
25 section, very possible that the sand develops.

1 Q. Were Exhibits 5 through 14 prepared by you or
2 under your direction or compiled from company records?

3 A. Yes.

4 Q. And in your opinion is the denial of the
5 Application to increase the allowable in the interests of
6 conservation, the prevention of waste, and the protection
7 of correlative rights?

8 A. Yes.

9 MR. BRUCE: Mr. Chairman, I move the admission of
10 Read and Stevens Exhibits 5 through 14.

11 CHAIRMAN LEMAY: Without objection, Exhibits 5
12 through 14 will be admitted into the record.

13 Mr. Carr?

14 CROSS-EXAMINATION

15 BY MR. CARR:

16 Q. Mr. Maxey, when you look at data on the
17 reservoir, I gather you're seeing an increase in gas/oil
18 ratios?

19 A. Yes.

20 Q. Based on the amount of time you've had to look at
21 Armstrong's Exhibit Number 10, have you found anything in
22 that exhibit which would suggest that any of the raw data
23 on gas/oil ratio is in fact incorrect?

24 A. In the time that I've had to look at it, no. And
25 in fact, there were some flat GORs, there were some

1 increasing GORs.

2 I'd like to comment that -- furthermore, that the
3 flat GORs is not indicative of water drive. Flat GOR --
4 You can have a hundred-percent solution gas drive
5 reservoir. If you're above the bubble point, you're going
6 to produce that reservoir at a constant GOR, and there
7 doesn't have to be any water influx whatsoever until you
8 reach the bubble point, and then the GORs increase.

9 Q. All right, are you --

10 A. So that's not conclusive of water --

11 Q. Are you suggesting that in this reservoir we're
12 above the bubble point and that's why the GOR is flat?

13 A. I believe that -- Yeah, I concur that we're above
14 the bubble point. I think there's a -- I have a -- I
15 believe the bubble point is lower than -- I believe it's
16 about 800 to 900 p.s.i.

17 Q. And we're producing at pressures above that?

18 A. Right.

19 Q. If we look at your Exhibit Number 7, the data
20 that you've used to project GOR in that exhibit runs
21 through some time in 1993, does it not?

22 A. The GOR --

23 Q. Yes.

24 A. -- data? Yeah, it runs through late 1993.

25 Q. If we look at the actual data, in fact,

1 September, October and November, they were flat, were they
2 not?

3 A. No, the last point is actually up from the two
4 prior.

5 A. Have you looked at the actual data points that
6 have shown in Exhibit 10 presented by Armstrong on page
7 E-9?

8 A. Run that by me again. E-10?

9 Q. Doesn't it appear on this well that actually the
10 gas/oil ratio has flattened out?

11 A. Wait, I've got two different things here. E-9?
12 Okay. On the last three?

13 Q. Yes.

14 A. No.

15 Q. Yes.

16 A. No is my answer. The furthest one to the left,
17 the third one to the left, it's lower than the last two.
18 So if you did a least-squares fit on that, you'd have an
19 increase in GOR.

20 Q. So you'd still, based on that well information,
21 show a gas/oil ratio increase like you are depicting on
22 your Exhibit Number 7?

23 A. I don't know if it would be exactly like I'm
24 depicting, but I'm just saying that there is a slight
25 increase there.

1 Q. What we're talking about is gas/oil ratios that
2 go into the range of -- from your Exhibit Number 10, a
3 range of about 386 to 504; isn't that right?

4 A. Yeah.

5 Q. Aren't those still relatively low for solution
6 gas drive Delaware reservoirs?

7 A. Each reservoir is different, so -- This is a
8 particular reservoir, so I don't know if they're actually
9 low for this reservoir or not.

10 I do know that the trend is upward and that GOR
11 is not necessarily a function of rate. So even if you're
12 jockeying the rate around, if the GOR goes up you're having
13 more gas come out of solution.

14 Q. If I understand your concern, you're concerned
15 about drainage -- four wells on Armstrong's side, competing
16 with your wells off to the west.

17 A. Well, there's several factors.

18 Q. Is that one of them?

19 A. That would be one of them. They're -- I think I
20 illustrated that we're draining more than 40 acres, so
21 you're going to be in a competitive situation.

22 If you want to raise the allowables above the
23 statewide, and we don't have anything that will do that as
24 far as this D sand, the offset well, we're put at an unfair
25 advantage.

1 Q. How far apart are those wells?

2 A. Well, they're offset proration units. I don't
3 know the exact footage. But it's 40-acre proration units,
4 so...

5 Q. Two thousand feet, maybe?

6 A. I guess that's possible, I'm not sure. I'd have
7 to scale it off on the map. I don't know the answer to
8 your question.

9 Q. Okay. You're also concerned about watering out
10 your wells; isn't that right?

11 A. If we have a water drive like they're suggesting,
12 I'm concerned about it.

13 Q. And aren't we really concerned about a problem
14 that would develop between the Armstrong wells in Section 2
15 and the Read and Stevens properties in Sections 3 and 10?

16 A. I'm not concerned -- I put a lot of faith in our
17 interpretation. I just don't -- There's no control for
18 what they testified on that permeability barrier.

19 Q. But what we're saying is, a problem that will
20 develop by drainage towards Section 2 from the Read and
21 Stevens properties, isn't that what you're concerned about?

22 A. Well, possibly drainage if we're talking about
23 pure solution gas drive.

24 Q. And what else?

25 A. If we're talking about water drive, watering out.

1 Q. Wouldn't it be because of the effect that occurs
2 across that line between Section 2 and your properties to
3 the west?

4 A. Restate the question if you can.

5 Q. I'm just trying to identify where our problem is
6 in the reservoir. You seem to be concerned about a higher
7 allowable that would be produced by Armstrong wells in
8 Section 2; is that right?

9 A. Right.

10 Q. And that would then have an impact on your wells
11 in Sections 3 and 10?

12 A. It would have an impact on all the wells.

13 Q. It would cause the water to move to your wells
14 more quickly, you're concerned about that?

15 A. It would cause the water to move to our wells
16 more quickly, and it would cause -- If we produce faster
17 than the water encroachment we're producing under solution
18 gas drive in part of the reservoir, and that's more
19 inefficient than allowing the water to displace the oil.

20 Q. And you're basing your engineering determinations
21 on whether or not there exists a nose or a barrier in that
22 area, and you're concluding there is not evidence that
23 shows that?

24 A. Right.

25 Q. Now --

1 A. Now, I'd like to state, though, that that
2 barrier, it doesn't necessarily -- If you talk about a
3 barrier there, we have no conclusive evidence it's there.

4 Number two, if it is, we don't know what kind of
5 barrier.

6 Number three, it doesn't have to be a very
7 permeable sand, but it can be a pressure -- it can have
8 pressure communication, which would affect both sides.

9 Q. Now, you're familiar with your Mark Federal
10 Number 4 well, are you not?

11 A. Yes.

12 Q. How many feet of pay do you have above the
13 oil/water contact in that well? Do you know,
14 approximately?

15 A. I would have to glance at the cross-section real
16 quick.

17 Q. Approximately 34? Does that seem about right?

18 A. Yeah.

19 Q. If you go off to the east, to the Mobil Lea State
20 Number 3, do you know how many feet they might have above
21 the oil/water contact?

22 A. I believe they have more above the oil/water
23 contact.

24 Q. Do you want to look at the cross-section?

25 CHAIRMAN LEMAY: Counselor, could I break it

1 here?

2 MR. CARR: Yes.

3 CHAIRMAN LEMAY: Why don't you come back after
4 lunch and --

5 MR. CARR: All right.

6 CHAIRMAN LEMAY: -- pick up? I normally don't do
7 that, I apologize. But I have to be there in --

8 MR. CARR: No, I understand. Thank you.

9 CHAIRMAN LEMAY: -- three or four minutes, so
10 we'll break and come back at 2:30.

11 (Thereupon, a recess was taken at 1:25 p.m.)

12 (The following proceedings had at 3:30 p.m.)

13 CHAIRMAN LEMAY: We're back in session. I
14 apologize for the delay. It's beyond my control, as they
15 say.

16 Mr. Carr, you may continue.

17 Q. (By Mr. Carr) May it please the Commission.

18 Mr. Maxey, when we recessed, I was asking you
19 some questions about the -- your testimony concerning the
20 impact producing four wells, Armstrong's four wells in
21 Section 2, could have on the pool as a whole and, in
22 particular, on Read and Stevens properties off to the west
23 of there.

24 I had asked you about the Mark Federal Number 4
25 well and asked you if in fact it didn't have 34 feet above

1 the oil/water contact, and I believe you had agreed with me
2 at that time.

3 I asked you if you could then determine how many
4 feet there were in the Mobil Lea State Number 3 well above
5 the oil/water contact. Have you had an opportunity to
6 check?

7 A. Oh, no, I'm sorry.

8 Q. Can we get the cross-section and have you look at
9 that? Anybody's cross-section?

10 A. Twenty-six feet on this cross-section. I think
11 ours may be -- Is ours 26 feet?

12 MR. BRADSHAW: Pardon me?

13 THE WITNESS: On the Mobil Lea Number 3, how much
14 water -- I mean oil -- above the oil/water contact?

15 MR. BRADSHAW: I don't have it on my cross-
16 section.

17 THE WITNESS: Oh, okay.

18 Q. (By Mr. Carr) Subject to subsequent check --

19 A. Right.

20 Q. -- if there are 26 feet in the Mobile Lea State
21 Number 3, then in your well there would be 34 feet above
22 the oil/water contact.

23 How much of the time are you producing your well,
24 the Mark Federal Number 4? Is it on basically all the
25 time?

1 A. Yes.

2 Q. And at what producing rate? What is your
3 producing rate on that?

4 A. It's at top-allowable rate.

5 Q. Okay. Would it be making 107, then,
6 approximately, a day?

7 A. Approximately.

8 Q. Now, if we go to the Mobil Lea State well, assume
9 for purposes -- you can check this later -- for the
10 question that it's on about half the time to make the 107-
11 barrel-a-day.

12 Can you explain to me what would cause this
13 difference in producing characteristics between these two
14 wells if in fact there isn't something in the reservoir
15 separating them?

16 A. It could be the permeability of the sand. I
17 think we've basically got the same kind of frac that we're
18 putting on them, so I believe like there's a -- They have a
19 thicker section that looks better on the logs, and that's
20 probably got better permeability.

21 Q. It's not a completion technique?

22 A. I don't believe so.

23 Q. Could it be because there is some sort of a
24 restriction between the two?

25 A. I don't believe so.

1 Q. You wouldn't think this might be evidence of
2 that?

3 A. No.

4 Q. You testified --

5 A. Usually -- I was just going to say, that's a
6 characteristic of the sand face there at the wellbore.

7 Q. You testified that you had certain wells -- I
8 believe you testified you had certain wells that could do
9 better than the current allowable; is that right?

10 A. Yes.

11 Q. So how many of your wells are you actually
12 cutting back?

13 A. I believe we've got about -- I'd have to look at
14 the well tests for sure, but I believe we've got three that
15 will not produce at top allowable, so --

16 Q. And the rest would?

17 A. Primarily, yeah, the rest would.

18 Q. And so if the allowable is increased, would Read
19 and Stevens go ahead and produce at the higher rate?

20 A. I don't know. If there is some sort of a water
21 drive, if we were to increase the rate above the MER, we
22 would be losing ultimate reserves, so I don't know if we
23 would or not.

24 Q. These are on sliding-scale royalty leases, are
25 they not?

1 A. Right.

2 Q. That isn't a factor, is it, in the rate at which
3 you produce the well?

4 A. Not really, because if you go from a hundred
5 barrels a day to 300, Read and Stevens' bottom line is
6 probably impacted negatively by about six or eight percent.

7 Q. You said a couple of times that what we really
8 need is to determine a maximum efficient rate, an MER, for
9 the reservoir; is that correct?

10 A. Yeah -- Say that again?

11 Q. Haven't you testified that what really is needed
12 here --

13 A. Yeah.

14 Q. -- is the determination of an MER --

15 A. Well --

16 Q. -- for this reservoir?

17 A. -- I believe if there is a water drive, that an
18 MER -- Yeah, we should determine some type of rate of
19 withdrawal from the reservoir, and it should be based on
20 whether the dominant drive -- if we should take advantage
21 of the water influx or, if it's not fast enough, then maybe
22 we have to take advantage of solution gas drive.

23 Q. To determine what that would be, you would need
24 to run material balance calculations; isn't that correct?

25 A. Right. You would need to -- Number one, you

1 would need to have some accurate bottomhole pressure data.

2 Number 2, I believe you would want some accurate
3 PVT data.

4 You could get everything from text correlations.
5 It's not as accurate as actual measurements.

6 Q. You could get that bottomhole pressure data and
7 that PVT data if you needed it, could you not?

8 A. I believe so, yeah. The fact that Armstrong's
9 wells are flowing is -- Normally on a pumping well that's
10 kind of difficult to get. If we had some flowing wells it
11 would be a lot easier to get bottomhole pressure data.

12 Q. Now, during this past year no effort has been
13 made by Read and Stevens to determine what a maximum
14 efficient rate would be for the reservoir?

15 A. No, we've just been producing at the statewide
16 allowable.

17 Q. And if we needed to establish that, how long
18 would that take to obtain that kind of information?

19 A. I -- That's difficult to say, but you have to
20 start at this point forward with some bottomhole pressure
21 information.

22 Q. Could you do it in two years' time?

23 A. Yeah, I believe you could do it in two years.

24 I believe what it would be a function of is how
25 much ultimate -- or how much more recovery you have from

1 this point forward. Do you need a certain amount of
2 recovery? And I think I earlier stated -- Now, this is
3 initially, you would want to make five or ten percent of
4 your ultimate at least to do material balance. You may
5 have to do that again from this point forward and have your
6 PVT data and your bottomhole pressure data.

7 Q. Now, Armstrong has during the past year studied
8 the reservoir and determined and testified that continued
9 production at 107 barrels a day could cause reservoir
10 waste.

11 Do you have any evidence that would show that
12 continuing to produce at that rate will not cause waste?

13 A. Just reservoir textbooks. I mean, I don't have
14 any reservoir textbook that would indicate producing at any
15 rate, lower rate than a higher rate, will lose reserves.

16 Normally -- and you can read in *Frick* or *Craft*
17 and *Hawkins* or *Slider* -- conservation of energy in the
18 reservoir is the main factor for increasing ultimate
19 recovery. To open the wells up, you have a good chance of
20 losing your ultimate.

21 Q. To date, though, during this last year you
22 haven't done any independent studies to determine what the
23 best rate would be?

24 A. The MER, no, I have not.

25 MR. CARR: Thank you. That's all I have, thank

1 you.

2 CHAIRMAN LEMAY: Thank you.

3 Commissioner Bailey?

4 EXAMINATION

5 BY COMMISSIONER BAILEY:

6 Q. Mr. Carr was touching on some of the questions I
7 had. One of the factors on the MER was knowing the
8 ultimate production, but you can't get that factor until
9 you know the limits of the reservoir; is that correct?

10 A. Right. Well, using the -- What I was touching
11 there was, using the volumetric calculation for your oil in
12 place, to do the volumetric calculation, to figure out how
13 much oil you have in place in the reservoir, you have to
14 have the size of the reservoir.

15 Q. And --

16 A. We have not delineated the reservoir. Armstrong
17 has four top-allowable wells. There's no dry holes
18 surrounding them. We don't know if that sand is going to
19 pinch out on the next location or if it may pinch out in
20 the next section.

21 So the calculation of the 11 million barrels of
22 oil in place is just estimating the reservoir truncates
23 around the existing production.

24 Ultimate production -- Once you delineate the
25 reservoir, if it's three times as large, the ultimates may

1 be -- or excuse me, the oil in place may be 33 million
2 barrels instead of 11 million barrels. And that goes into
3 a material balance calculation.

4 Q. Which leads up to my question of what efforts is
5 Read and Stevens undertaking to delineate the reservoir
6 boundaries? What is their drilling program?

7 A. Well, we've drilled 14 wells so far. We have
8 another well staked in the north half of the section. That
9 -- Well, the last four wells we drilled have all been
10 stepouts, moving away from existing production.

11 That's what you have to do to delineate. As you
12 move to the edge of the reservoir, you finally drill a dry
13 hole or a marginal well, and that's how you delineate how
14 big your reservoir is.

15 And we've drilled -- The last four wells we
16 drilled were all step-out wells. The next well that we are
17 staking right now is in fact two locations away from our
18 existing production. That, in fact, could -- may be a dry
19 hole, I don't know. If it is, that will help us as far as
20 determining what our northernmost limits are on the
21 reservoir.

22 Q. And when did you expect to spud this well?

23 A. We have all the regulatory -- federal regulatory
24 processes going on right now. We're trying to get the well
25 approved. So we're probably looking at some time in

1 February, spudding the well.

2 Q. Is there any increase in production limits that
3 you would consider fair and reasonable at this point?

4 A. We had discussed that. I discussed it with
5 Charlie Read, the owner of our company, and he indicated to
6 me he would agree to a 150-barrel-a-day allowable increase.
7 I advised him we had no engineering data to support that as
8 being, you know, a good rate. It could be over the MER. I
9 don't know. The state allowable may be over the MER.

10 I suspect that we're not keeping -- that we're
11 withdrawing oil from the reservoir faster than the water is
12 encroaching now because of some of the increasing GORs.

13 But anyway, he's the boss, and so -- we have
14 considered that and talked to Armstrong about it, even
15 mentioned maybe 150 barrels a day.

16 But like I say, I don't have any engineering data
17 to support that.

18 COMMISSIONER BAILEY: Okay, those are all my
19 questions.

20 CHAIRMAN LEMAY: Thank you, Commissioner Bailey.
21 Commissioner Weiss?

22 EXAMINATION

23 BY COMMISSIONER WEISS:

24 Q. Yes, sir, Mr. Maxey. Did I hear you earlier to
25 say that you estimate the bubble-point pressure to be 800

1 to 900?

2 A. Yeah, you're just using the standing correlation.
3 All I about did was used a 300 GOR. I think Armstrong
4 used a 400. So that's the difference in the correlation.
5 It's a pretty big difference, though.

6 Q. How does Read and Stevens measure bottomhole
7 pressures?

8 A. We've tried to shoot fluid levels, and we hadn't
9 been successful at getting data that I could really hang my
10 hat on or want to use in calculations.

11 Q. So you don't have any?

12 A. So we don't really have any,

13 And Armstrong has -- That's the way they've
14 obtained some of their -- well, all of their information,
15 is through shooting fluid levels like we've tried to do.

16 And we do have the one -- Well, we have a couple
17 DSTs that indicate -- We've got a pretty good indication of
18 what the reservoir pressure is in the upper sands, the
19 initial pressure.

20 Q. Thank you. And during the test period, was there
21 any evidence of interference between your wells and
22 Armstrong wells?

23 A. We did not have any bombs in the hole to like do
24 an interference test. When a lot of that testing was
25 taking place -- well, all of the testing -- our Mark Number

1 4 was not drilled at that point in time. That's the
2 nearest offset. So we don't have any data to support yea
3 or nay.

4 I do have the GORs earlier that I talked about on
5 five wells that as each next well was drilled, the GOR
6 increased, indicating there had been some pressure
7 interference at those new locations.

8 Q. After -- As I understand it, you hadn't seen this
9 study done by --

10 Q. Right.

11 A. -- Armstrong consultants up until recently, quite
12 recently. But is there anything there that would suggest
13 to you that this field should be unitized?

14 A. Well, that's a thought. I was talking this over
15 with a friend of mine, used to be the reservoir engineering
16 manager, at Mesa, and he said, you know, you may have cause
17 to unitize for proper reservoir management. He said, you
18 may want to bring that up with the offset operators.

19 And then that was just a couple of days ago, and
20 I haven't talked to Armstrong.

21 But that's -- We've got a reservoir that we
22 share, a common reservoir, and we're talking about trying
23 to manage it properly. We've got several different drives
24 that may be coming into play, and it may in fact be a case
25 that unitization may need to be looked at, just -- not

1 secondary, but strictly right now for proper management of
2 the reservoir.

3 COMMISSIONER WEISS: Thank you. I have no other
4 questions.

5 CHAIRMAN LEMAY: Thank you, Commissioner Weiss.

6 EXAMINATION

7 BY CHAIRMAN LEMAY:

8 Q. Mr. Maxey, the one well -- These aren't
9 identified, so I have a hard time in referring to them, but
10 it's the one on your exhibit -- Oh, it's not your exhibit,
11 I'm sorry, but Exhibit Number 3, the net D sand isopach,
12 and it shows 4 over 32 -- 4 over 62, I guess.

13 That's the only well that's -- in reviewing in
14 this, it looks like you have a very low net with a high
15 gross.

16 A. I believe that's the Number 8.

17 Q. It's got "8" on here, that's true.

18 A. Mark --

19 MR. BRADSHAW: Mark Number 8.

20 CHAIRMAN LEMAY: Mark Number 8, is it? Yeah.

21 MR. BRADSHAW: Yeah.

22 Q. (By Chairman LeMay) Can you explain why
23 that well would have a high gross and a low net, when all
24 the others seem to have a proportional ratio to net and
25 gross?

1 A. No, I can't, unless it's some kind of geological
2 factor. But as far as an engineering standpoint, no.

3 Q. And you testified, as to the MER, that you have
4 no idea what an MER might be. You said Charlie's figure of
5 150 may be high. Could it also be low?

6 A. Well, it depends. If you have -- Like I say, if
7 there is water encroachment taking place, I've seen an
8 increase in the GORs, which means we have a simultaneous
9 drive taking place if there is a water drive.

10 So, yeah, you're too high.

11 Q. Could it also be too low?

12 A. Oh, I'm sorry. No, I don't believe it can --
13 What I'm saying is, we're already producing under
14 simultaneous drive at 107 barrels a day, based on the
15 increasing GORs I've seen.

16 So if you want to increase your allowable from
17 this point, you're going to function more and more on
18 solution gas drive as your driving mechanism and less and
19 less on the more efficient water drive as your displacement
20 mechanism.

21 So -- You follow me? That's where I'm saying --

22 Q. Well, I'm following you, but I'm confused. If
23 you're inferring -- I understand you said first to get an
24 MER you need a PVT analysis or more than we've got,
25 additional production, and some bottomhole pressures. Then

1 you're speculating as to 150 being too high.

2 My question is, if you don't have the data, is
3 the speculation strictly a guess? Or are you --

4 A. No.

5 Q. -- throwing this out, or do you have some
6 scientific reason for establishing an MER?

7 A. I think what I'm saying is, yes, we have the data
8 that tells you -- or is telling me, at 107 barrels a day
9 we're seeing solution gas drive, and -- with Armstrong
10 testifying there's water drive taking place also. So we
11 have simultaneous drive.

12 Any increase in rate, we will have -- the
13 displacement mechanism will be more of solution gas drive
14 in nature as the rate goes up.

15 Solution gas drive is a less efficient displacing
16 mechanism. So as you go up from the current existing
17 allowable right now, it's possible that you may be losing
18 ultimate reserves if you go to 108 barrels a day instead of
19 107. Because the data is here -- that's what I had gone
20 over earlier, was -- these increasing GORs are telling me
21 that we have solution gas drive taking place, there's some
22 gas coming out of solution right now, and that's your most
23 inefficient form of displacement.

24 Q. Well, I'm trying to get a feel for this. We're
25 talking about a hypothetical example. What would happen if

1 the GOR went up slightly as you produced more oil, and then
2 at some point in the -- I guess I'm confused.

3 Increasing GOR with increased production, to you,
4 indicates waste?

5 A. To me indicates solution gas drive. If you
6 have -- As you have increasing oil, if the GOR stays
7 constant, that means you've got the same amount of gas
8 coming out of solution at one point as you do at the next
9 point, if the GOR is flat.

10 As you move more and more gas coming out of
11 solution, you have more and more gas that's expanding,
12 pushing oil to the wellbore, and you start to have more gas
13 flow freely to the wellbore to add to what's coming out
14 of -- in relation to the oil.

15 Q. I have to express some confusion. What I'm
16 trying to do, and I guess it's the best way -- E-10, is
17 that the one? You could have increasing GOR as a function
18 of solution gas drive?

19 A. Right.

20 Q. If you increase the production and that is not
21 responsible for the increase in GOR, then are you dealing
22 with an MER that may be at a higher level?

23 A. I believe you're still dealing with solution gas.
24 You don't have -- You haven't reached any kind of critical
25 gas saturation that you're getting frequent gas flowing to

1 the wellbore yet.

2 All I'm saying is, when you've got an increasing
3 GOR, you have solution gas drive.

4 Q. Okay.

5 A. Okay? I think what you're saying, if you double
6 the oil rate with the GOR, it's still increasing but it
7 doesn't increase faster.

8 Q. No, I guess I'm saying if you're producing these
9 wells -- and if you'll refer to E-10 maybe you can help me
10 a little bit with this.

11 A. Okay.

12 Q. At the various production rates --

13 A. Uh-huh.

14 Q. -- are you seeing a higher GOR for the higher
15 rate? Or are you just seeing as a historical factor in
16 this field, you're increasing GOR?

17 A. No, as far as just what I've seen -- Like I said,
18 I haven't had a real good chance to go over this.

19 I didn't see an increase in GOR. I think
20 Armstrong established the fact that they didn't see an
21 increase in GOR with the increase in rates. So the rate
22 during their short time that they tested it, the GOR was
23 not really rate-sensitive. So -- I believe I see what
24 you're getting at.

25 I would agree that there was not an increase in

1 the GOR, increase in the acceleration of it, with an
2 increase in rate.

3 Q. So isn't that the true sense of whether a
4 reservoir is rate-sensitive or not? As you looking at the
5 GOR, you're looking at the GOR not in terms of the
6 production history from the field but in terms of the
7 various rates wells produce at?

8 A. If all the wells -- If all the GORs remained
9 constant on all the wells, that may be correct.

10 Q. So in summary, is your testimony that you have an
11 idea of a maximum MER, or is it that you -- We need more
12 information to get at an MER?

13 A. As far as my point, yes, we would need more
14 information.

15 As it stands now, I believe we're going to be --
16 we're going to incur some damage if the allowable is
17 increased. And I believe there's more information needed
18 to establish what an MER is.

19 But I also believe -- My impression or my
20 interpretation is, there is not a strong water drive, and
21 that we're going to be producing strictly by solution gas
22 or -- Well, primarily solution gas.

23 If we're producing primarily by solution gas and
24 Armstrong is allowed a three-to-one increase in allowable,
25 and our well -- immediately offset to them can only produce

1 at a maximum of 107 barrels now, they're in a competitive
2 situation.

3 I've established the fact that there was drainage
4 that was occurring 40 acres away when new wells were
5 drilled. If that holds true across the reservoir, we're in
6 a competitive situation. If they're allowed three times
7 increase in allowable under a solution gas scenario, we
8 stand to lose on that scenario.

9 If we have water drive, we're downdip, we stand
10 to lose on encroachment.

11 Q. I guess I would be mixing apples and oranges
12 here. Is there one issue on an MER: What's the maximum
13 efficient rate to produce at? Because if you unitize the
14 field, that would be a separate question in correlative
15 rights. Then aren't we talking about a drainage factor,
16 you would be drained versus you would not be drained
17 excessively at a higher rate? Aren't those two different
18 issues?

19 A. Well, the MER -- Number one, the MER on a field
20 and on the wells, you would need to -- the MER is more
21 dependent on the type of drive.

22 So first you need to establish, you need to come
23 to terms within the field, what kind of drive do you have?

24 Now, from there you establish what the MER will
25 be so you don't leave ultimates in the ground. Okay?

1 Q. Okay.

2 A. Now --

3 A. Isn't that separate from a correlative-rights
4 issue on drainage?

5 A. I don't believe so, because if you just
6 inadvertently establish a 300-barrel-a-day and just say
7 that's the MER, and you bypass oil downdip and we water
8 out, our correlative rights have been infringed upon.

9 Q. Okay. Well, I'm just thinking, one seems to be a
10 waste issue, the other seems to be an I'm-going-to-get-
11 your-oil-type thing.

12 A. Well, I believe -- If it's purely solution gas, I
13 believe it's more of a drainage-type thing. Okay?

14 Q. Which is correlative rights, then?

15 A. Yes, that would be correlative rights, because we
16 are in a competitive situation. We are disadvantaged,
17 because we don't have the permeability and the flow
18 capacity that their well has. Our correlative rights would
19 be impinged upon because they would recover more reserves.

20 Q. I'm just trying to get the essence of your
21 testimony. And --

22 A. Right, I understand.

23 CHAIRMAN LEMAY: Thank you very much.

24 Are there any additional questions?

25 Commissioner Weiss?

FURTHER EXAMINATION

BY COMMISSIONER WEISS:

Q. How do you measure GORs?

A. Well, the only data I have is off production data, so I'm --

Q. They're not measured at the well then?

A. It's measured by gas sales divided by oil production.

Q. Is there anything taken out for lease gas?

A. No, that's another point. Nothing has been -- There's no meters on lease use, and I did not use an estimate on lease use. So no, I didn't use anything for lease use, but there is lease use taking place.

Q. So these numbers aren't true?

A. Well, these numbers are -- Supposedly lease use is going to be pretty stable, pretty consistent.

CHAIRMAN LEMAY: Additional questions?

Thank you. You may be excused.

Anything else?

MR. CARR: Nothing further.

MR. BRUCE: I have no further witnesses, Mr. Chairman.

CHAIRMAN LEMAY: Can -- We have some questions here. I'm trying to establish the Read and Stevens position. It seems to be that you have no objection to

1 consolidation of the fields, but you do object to the
2 higher allowable for the --

3 MR. BRUCE: Yeah, I don't -- you know, if I can
4 -- Mr. Maxey might know more Charlie Read's thinking, but I
5 don't think they have a big objection to the combining of
6 the fields. I think our geologist's exhibits show that
7 they are continuous, the zones, whatever you call them, A,
8 B, C or 1 and 3, are continuous across the field.

9 So it's more of an objection to the 300-barrel-a-
10 day allowable.

11 CHAIRMAN LEMAY: Shall we take it at that and let
12 it go? Or do you want to sum up?

13 MR. CARR: Mr. Bruce has asked me to please spare
14 him a closing, and I've agreed because he has a plane to
15 catch in an hour and --

16 CHAIRMAN LEMAY: I'm sorry, I didn't realize.

17 Is there anything else in the case?

18 If not, we shall take the case under advisement.

19 Thank you very much.

20 (Thereupon, these proceedings were concluded at
21 3:55 p.m.)

22 * * *

23

24

25


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) SS.
COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter
and Notary Public, HEREBY CERTIFY that the foregoing
transcript of proceedings before the Oil Conservation
Commission was reported by me; that I transcribed my notes;
and that the foregoing is a true and accurate record of the
proceedings.

I FURTHER CERTIFY that I am not a relative or
employee of any of the parties or attorneys involved in
this matter and that I have no personal interest in the
final disposition of this matter.

WITNESS MY HAND AND SEAL February 6th, 1994.


STEVEN T. BRENNER
CCR No. 7

My commission expires: October 14, 1994

**STATE OF NEW MEXICO
ENERGY, MINERALS, AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION**

**IN THE MATTER OF THE HEARING CALLED
BY THE OIL CONSERVATION COMMISSION
FOR THE PURPOSE OF CONSIDERING:**

**APPLICATION OF ARMSTRONG ENERGY
CORPORATION FOR ASSIGNMENT OF A
SPECIAL DEPTH BRACKET ALLOWABLE,
EDDY COUNTY, NEW MEXICO.**

**DE NOVO
CASE NO. 10653
ORDER NO. R-9842-A**

**APPLICATION OF ARMSTRONG ENERGY
CORPORATION FOR POOL EXTENSION
AND POOL ABOLISHMENT, EDDY COUNTY,
NEW MEXICO.**

**CASE NO. 10773
ORDER NO. R-10072**

ORDER OF THE COMMISSION

BY THE COMMISSION:

This cause came on for hearing at 9 o'clock a.m. on January 13, 1994, at Santa Fe, New Mexico, before the Oil Conservation Commission of New Mexico, hereinafter referred to as the "Commission".

NOW, on this 10th day of March, 1994, the Commission, a quorum being present, having considered the testimony, the record and being fully advised in the premises,

FINDS THAT:

(1) Due public notice having been given as required by law, the Commission has jurisdiction of this cause and the subject matter thereof.

(2) At the time of the hearing these cases were consolidated for the purposes of testimony.

(3) The applicant, Armstrong Energy Corporation (Armstrong) seeks to abolish the Quail Ridge-Delaware Pool and to extend the boundaries of the Northeast Lea-Delaware Pool.

(4) By Order No. R-9842, dated February 8, 1993, the Oil Conservation Division (Division) denied Armstrong's application for an increased allowable because of insufficient evidence and recommended that the two pools, the Quail Ridge-Delaware and the Northeast Lea-Delaware, be treated as one common source of supply.

CASE NO. 10653 - De Novo
Order No. R-9842-A

CASE NO. 10773
Order No. R-10072
Page -2-

(5) The Quail Ridge-Delaware Pool and the Northeast Lea-Delaware Pool are currently governed by the Division's General Statewide Rules and Regulations with development on 40-acre spacing units each having a top unit depth bracket allowable of 107 barrels of oil per day and a limiting gas/oil ratio of 2,000 cubic feet of gas per barrel of oil which results in a casinghead gas allowable of 214 MCF per day.

(6) Since the time of the original hearing, there have been 9 new wells completed within the governing limits of these pools.

(7) At the time of the original hearing, Armstrong had the support of Read and Stevens, an offset operator and working interest owner in the Armstrong wells but at this hearing Read and Stevens provided testimony in opposition to any increase in allowable but states that 150 BOPD would be an acceptable compromise. Read and Stevens does not oppose the consolidation of Delaware pools.

(8) By letter dated May 28, 1993, the Division granted Armstrong's request for a temporary 30 day testing allowable of up to 300 BOPD for the Armstrong Mobil Lea State Well No. 2, located 1800 feet from the South line and 900 feet from the West line, Section 2, Township 20 South, Range 34 East, NMPM, Lea County, New Mexico for the purpose of acquiring reservoir information.

(9) Armstrong agreed to the Read and Stevens request to continue the de novo hearing to allow Read and Stevens time to drill and evaluate additional wells which would enable them to formulate a position on Armstrong's request for increased allowable. As part of this agreement, Read and Stevens agreed not to seek make up of over production accumulated by Armstrong during the temporary testing allowable phase.

(10) The current geologic and engineering evidence indicates that the Northeast Lea-Delaware and Quail Ridge-Delaware Pools produce oil or are capable of producing oil from two primary oil reservoirs, the "first" sand and the "third" sand separated by the "second" sand which contains water throughout both fields. A fourth sand produces from two field wells but is not a significant oil producer.

(11) Geologic and engineering evidence show the "first" sand to be the main pay and productive or potentially productive in all wells in both Delaware fields. This sand may have a strong water drive as evidenced by constant GOR's and fiat production curves.

CASE NO. 10653 - De Novo
Order No. R-9842-A

CASE NO. 10773
Order No. R-10072
Page -3-

(12) The information indicates that the third sand exhibits a strong water drive as evidenced by constant GORs, stable bottomhole pressures a definable oil-water contact and flat production curves and is a prolific oil producer in the Armstrong Mobil Lea State Wells No. 1, No. 2 and No. 3 in the SE/4 of Section 2. There is a difference of geologic interpretation as to whether the third sand is contiguous in deposition across a northwest-southeast trending nose separating the Armstrong wells in Section 2 from the Read and Stevens wells in Sections 3 and 10.

(13) The bubble point in the third sand reservoir is calculated to be 1200 psi with production occurring at a flowing pressure substantially above that pressure because of the reservoir's excellent ability to transmit fluids and repressure with water influx.

(14) Producing the Armstrong Mobil Lea State Wells at 300 BOPD would be producing them at only 30% of their calculated capacity and production testing suggests there should be no coning of water at these rates. Waste should not occur with higher producing rates.

(15) There is evidence that Armstrong's correlative rights may be impaired because they do not have enough allowable at 107 BOPD to produce their third sand oil and open up additional perforations in the first sand which is not producing and possibly being drained.

(16) There is additional evidence to suggest that drainage could occur in the third sand and that Read and Stevens' correlative rights could be impaired with higher allowables if the Armstrong wells, which are probably capable of draining in excess of 40 acres, were in communication in the oil leg of the third sand with the Read and Stevens wells in Sections 3 and 10. The fact that Read and Stevens owns working interest in the Armstrong wells helps to mitigate the reservoir quality advantage and associated higher productive capacity in the Armstrong wells.

(17) The available evidence suggests that without pressure drawdown in the reservoir and the development of a secondary gas cap to force updip edge oil into downdip producing wells, approximately 600,000 barrels of oil could be wasted. This additional attic oil could be recovered by increasing the allowable which would cause pressure reduction in the reservoir and a secondary gas cap to form, thus forcing the updip oil downdip to be captured by producing wells.

(18) Proper management and the establishment of a Maximum Efficient Rate (MER) for the field is critical to preventing waste. Additional reservoir data such as PVT data, accurate static BHP tests and production tests should be collected and evaluated which would help to establish an MER for this field, thus preventing waste.

CASE NO. 10653 - De Novo
Order No. R-9842-A

CASE NO. 10773
Order No. R-10072
Page -4-

(19) At least in the third sand production tests indicate that the reservoir is not rate sensitive and that higher allowables will not cause waste.

(20) Current evidence establishes one common source of supply for the Quail Ridge-Delaware and Northeast Lea-Delaware Pools requiring the abolishment of the Quail Ridge-Delaware Pool and the extension of the Northeast Lea-Delaware Pool to include acreage formerly assigned to the Quail Ridge-Delaware Pool.

(21) Because the available evidence favors Armstrong's geologic and engineering interpretation, the conclusions reached by Armstrong's witnesses, that waste will not occur and that correlative rights will be protected with increased allowables is a valid conclusion. Because more information is needed to firmly establish the drive mechanism in the first sand and an MER for the field, an increase in the field allowable to 300 BOPD should be temporary.

(22) Approval of the subject application should be for a period of approximately 12 months beginning March 1, 1994 to allow the operators in the field time to gather and evaluate additional information.

IT IS THEREFORE ORDERED THAT:

(1) The application of Armstrong Energy Corporation for special pool rules providing for an increase in allowable to 300 BOPD for the Northeast Lea-Delaware Pool is hereby approved on a temporary basis effective March 1, 1994.

(2) The Quail Ridge-Delaware Pool is hereby abolished and all proration units currently assigned to the Quail Ridge-Delaware Pool are hereby transferred to the Northeast Lea-Delaware Pool.

(3) This case shall be reopened at an examiner hearing in January, 1995 at which time the operators in the Northeast Lea-Delaware Pool may appear and present evidence and show cause why said 300 BOPD allowable should not revert to the standard 107 BOPD depth bracket allowable.

(4) The additional overproduction resulting from the testing allowable assigned to Armstrong in the May 28, 1993 Division letter to Armstrong is hereby canceled.

(5) The Division Director may, at any time it appears that reservoir damage is apparent or other evidence of waste is occurring, rescind the provision of the order and cause the top unit allowable for the Northeast Lea-Delaware Pool to be adjusted accordingly.

CASE NO. 10653 - De Novo
Order No. R-9842-A

CASE NO. 10773
Order No. R-10072
Page -5-


(6) Jurisdiction of this cause is hereby retained for the entry of such further orders as the Commission may deem necessary.

DONE at Santa Fe, New Mexico, on the day and year hereinabove designated.


STATE OF NEW MEXICO
OIL CONSERVATION COMMISSION



JAMI BAILEY, Member



WILLIAM W. WEISS, Member



WILLIAM J. LEMAY, Chairman

S E A L