

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION
CASES 10,780, 10,781, 10,782

EXAMINER HEARING


IN THE MATTER OF:

Application of Marathon Oil Company for an
unorthodox coal gas well location, San Juan
County, New Mexico

TRANSCRIPT OF PROCEEDINGS

BEFORE: MICHAEL E. STOGNER, EXAMINER

ORIGINAL



STATE LAND OFFICE BUILDING

SANTA FE, NEW MEXICO

July 29, 1993

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A P P E A R A N C E S

FOR THE DIVISION:

ROBERT G. STOVALL
Attorney at Law
Legal Counsel to the Division
State Land Office Building
Santa Fe, New Mexico 87504

FOR THE APPLICANT:

KELLAHIN & KELLAHIN
Attorneys at Law
By: W. THOMAS KELLAHIN
117 N. Guadalupe
P.O. Box 2265
Santa Fe, New Mexico 87504-2265

* * *

1	I N D E X	
2		Page Number
3	Appearances	2
4	CRAIG T. KENT	
5	Direct Examination by Mr. Kellahin	6
6	Examination by Examiner Stogner	19
7	Examination by Mr. Stovall	23
8	Certificate of Reporter	25
9	* * *	
10		
11	E X H I B I T S	
12	APPLICANT'S EXHIBITS:	
13	Exhibit 1	7
14	Exhibit 2	11
15	Exhibit 3	12
16	Exhibit 4	13
17	Exhibit 5	15
18	Exhibit 6	16
19	Exhibit 7	19
20	* * *	
21		
22		
23		
24		
25		

1 WHEREUPON, the following proceedings were had
2 at 1:00 p.m.:

3 EXAMINER STOGNER: Hearing will come to
4 order. I'll call now Case Numbers 10,780, 10,781 and
5 10,782.

6 MR. STOVALL: Each of these cases is the
7 Application of Marathon Oil Company for an unorthodox
8 coal gas well location, San Juan County, New Mexico.

9 EXAMINER STOGNER: Call for appearances.

10 MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin
11 of the Santa Fe law firm of Kellahin and Kellahin,
12 appearing on behalf of the Applicant, and I have one
13 witness to be sworn.

14 EXAMINER STOGNER: It appearing there's no
15 other appearances in any of these three cases which
16 have been consolidated for purposes of testimony at the
17 Applicant's request, would the witness please stand to
18 be sworn?

19 (Thereupon, the witness was sworn.)

20 MR. KELLAHIN: As Mr. Kent and I go through
21 the presentation, Mr. Examiner, there -- of the three
22 cases, Case 10,783 --

23 EXAMINER STOGNER: I'm sorry, what?

24 MR. KELLAHIN: There are three cases. The
25 first case I want to discuss with you in terms of

1 notice is Case 10,783. Marathon offsets that case, and
2 so there was no other notification provided.

3 EXAMINER STOGNER: Hold it. 10,783 is
4 nomenclature.

5 MR. KELLAHIN: I'm sorry, it was 10,780, is
6 the one in which Marathon offsets itself as to that
7 well.

8 MR. STOVALL: Mr. Kellahin, before we get
9 started --

10 MR. KELLAHIN: Yes.

11 MR. STOVALL: -- I was sort of half listening
12 and I heard you say the exhibits are all the same for
13 each case. So --

14 MR. KELLAHIN: Yes.

15 MR. STOVALL: -- what we have here is a stack
16 labeled 10,780, but they are all for all three cases?

17 MR. KELLAHIN: That's right.

18 MR. STOVALL: That's what you meant?

19 MR. KELLAHIN: And I meant to give you enough
20 copies so that that exhibit set will go in each case
21 file, so that you'll have --

22 MR. STOVALL: Got you. Okay, now I'm less
23 confused than moments ago.

24 MR. KELLAHIN: All right.

25 EXAMINER STOGNER: Thank you for your

1 consideration, Mr. Kellahin.

2 (Off the record)

3 MR. KELLAHIN: Case 10,780 is the well in the
4 west half of 9. It's the Bolack 9-3. Marathon offsets
5 itself on all sides and corners, so there was no
6 notification.

7 Case 10,781 in the east half of 17, the
8 Schwerdtfeger -- Is that how you say it?

9 MR. KENT: Schwerdtfeger.

10 MR. KELLAHIN: Schwerdtfeger 17-2, I've
11 submitted an affidavit of notification in that case.

12 And the last case is Case 10,782. It's for
13 the Bolack 9-4 well in the east half of 9, and there's
14 a separate notification affidavit for that case.

15 CRAIG T. KENT,

16 the witness herein, after having been first duly sworn
17 upon his oath, was examined and testified as follows:

18 DIRECT EXAMINATION

19 BY MR. KELLAHIN:

20 Q. Would you please state your name and
21 occupation?

22 A. My name is Craig Kent, and I'm a reservoir
23 engineer.

24 Q. Mr. Kent, on prior occasions have you
25 testified before the Division as a reservoir engineer?

1 A. Yes, I have.

2 Q. As part of your duties as a reservoir
3 engineer, have you made yourself knowledgeable about
4 the coal gas wells in this particular area of the Basin
5 Fruitland Coal Gas Pool?

6 A. Yes, I have.

7 Q. Does your company currently operate vertical
8 wells in this area that have penetrated and produced
9 coal gas from the Basin Coal Gas Pool?

10 A. Yes, we do.

11 Q. Based upon your studies, do you have
12 reservoir engineering conclusions with regards to how
13 now to develop the three spacing units that are in
14 question today?

15 A. Yes, I do.

16 MR. KELLAHIN: We tender Mr. Kent as an
17 expert reservoir engineer.

18 EXAMINER STOGNER: Mr. Kent is so qualified.

19 Q. (By Mr. Kellahin) Let me have you take
20 Exhibit Number 1, Mr. Kent. Identify for us the three
21 wells that are the subject of this Application and tell
22 us what it is that has caused you to reach the ultimate
23 conclusion to replace the original well in each of the
24 spacing units.

25 A. Okay. In general, this is a plat of a 12-

1 section area of the San Juan Basin that's located
2 approximately nine miles south of the town of
3 Bloomfield.

4 Shown in red near the center of the plat are
5 three dots. Those represent the three wells that are
6 the subject of today's hearings.

7 The one located in the northwest corner of
8 Section 9 is the Bolack well number 9-3.

9 Q. Stop there. On Section 9, give us the
10 orientation of your spacing unit.

11 A. That is a west-half dedication.

12 Q. Okay.

13 A. In the southeast corner of that same section
14 9 is a red dot for the Bolack Well Number 9-4, which is
15 an east-half dedication.

16 And then in the southeast corner of Section
17 17 is another red dot for the Schwerdtfeger Well Number
18 17-2, which is also an east-half dedication.

19 We have made studies of the original wells,
20 which were located at standard locations for the Basin
21 Fruitland Coal in both Section 9 and 17 and determined
22 that the best course of action at this point is to
23 drill three vertical replacement wells at our proposed
24 locations.

25 Q. Are the original wells and the replacement

1 wells each standard as to the footage setbacks for
2 their spacing units?

3 A. Yes, that's correct.

4 Q. In what way, then, are they unorthodox, then,
5 as to the pool rules?

6 A. The pool rules call for a 320-acre spacing
7 with wells to be drilled in the northeast and southwest
8 quarter sections.

9 Our replacement wells will be drilled in
10 either the northwest or southeast quarter sections,
11 making them off-pattern.

12 Q. Let's turn to the notice question with
13 regards to the east half of 17, the Schwerdtfeger 17-1.

14 Who are the offset operators to that spacing?

15 A. The offset operators on the north, northeast,
16 east and southeast are all Marathon. There are no
17 active Fruitland Coal wells in the west half of 17, nor
18 in Section 20.

19 To my knowledge, the ownership is Southland
20 Royalty in the west half of 17 and El Paso in Section
21 20.

22 Q. When you move up to the Bolack 9-3 in the
23 west half of 9, who offsets that spacing unit?

24 A. In all cases, Marathon offsets that spacing
25 unit.

1 Q. And the east half of 9 with the replacement
2 well, Bolack 9-4, who offsets that spacing unit?

3 A. To the north, northwest, west, southwest,
4 south and southeast are all Marathon.

5 Directly to the east there are two wells
6 operated by R&G Drilling in Section 10.

7 And then in Section 3 there are no active
8 Fruitland Coal wells, and there are several owners,
9 including Arco, Conoco and Amoco and R&G Drilling,
10 several others.

11 Q. Okay. So when you look at the notice list,
12 after you exclude R&G drilling for the Bolack 9-4 well,
13 all the other interest owners have interest in Section
14 3?

15 A. That's correct.

16 Q. Let's talk about the surface use. What kind
17 of surface are we on? Is this federal, fee or state?

18 A. These are all federal leases. But in
19 particular, this land lays on the Navajo Indian
20 Irrigation Project.

21 Q. That is the NAPI project?

22 A. That's correct.

23 Q. What is the status of the surface approvals
24 for each of the wells at their location?

25 A. All of the wells have been staked, and they

1 have had on-site inspections from both the BLM and
2 representatives of the irrigation project. We've
3 received verbal approval on the locations.

4 The APDs, if they haven't been filed already,
5 are in the process of being filed.

6 Q. Are you aware of any surface limitation that
7 will constitute a problem for you in drilling these
8 locations?

9 A. No, there's no limitation.

10 Q. Okay. Let's turn now to Exhibit Number 2.
11 Before we talk about the details, what is it that we're
12 looking at?

13 A. Exhibit Number 2 is, again, the same 12-
14 section area. What I've plotted on here is all the
15 active Fruitland Coal wells.

16 To the right of each well symbol -- or near
17 each well symbol, I should say -- are two numbers. On
18 the top is the daily average rate as of March of 1993.

19 Below that number is the cumulative
20 production through March of 1993.

21 And then located immediately below each well
22 symbol is the date of first production for the well.

23 Q. What use have you made of this information to
24 determine that you desire to replace the original of
25 each of the three wells?

1 A. Well, each of the original three wells are
2 poor producers, and what I wanted to look at was what
3 the offsetting wells are doing.

4 And interestingly enough, you can draw a
5 straight line from the northeast of Section 9 through
6 the northeast of 17, and intersect all three of those
7 wells, the original wells, and go either to the
8 northwest or southeast of that line and find wells that
9 are producing anywhere from 250 up to 700 MCF a day.

10 That caused us a little concern, showing
11 that, you know, something evidently was wrong with
12 these three wells to begin with, when the offsets are
13 far better.

14 Q. When you identified a problem with the
15 quality of these three existing wells, did you make an
16 investigation of the pressure information that's
17 available in this area?

18 A. Yes, I did.

19 Q. Let's turn to Exhibit Number 3 and have you
20 identify and describe what your conclusions are about
21 the pressure information.

22 A. Exhibit Number 3 is again the same 12-section
23 area.

24 Next to several of the well symbols is a
25 number representing the reservoir pressure in p.s.i.

1 Below the well symbol is the date that that pressure
2 data was obtained.

3 Q. Is there a pressure relationship here to
4 cause you as a reservoir engineer to explain poor
5 performance in relation to reservoir pressure?

6 A. No, not really. The three wells range from
7 -- The original three wells range anywhere from 194
8 pounds up to 470 pounds measured bottomhole pressure.

9 If you look at some of the offsets, we've got
10 pressures ranging from 180 up to 539, indicating that
11 there's really no correlation between low pressure and
12 poor performance, or high pressure and poor
13 performance, or high pressure and good performance.

14 So --

15 Q. Is this a pressure-depleted reservoir for
16 these wells?

17 A. No, pressure depletion is not the cause of
18 the poor performance.

19 Q. Okay. Did you, in your investigation to try
20 to find an explanation to the poor performing character
21 of these three wells, did you make an investigation of
22 how these wells were drilled, completed and stimulated?

23 A. Yes, I did.

24 Q. Let's turn to Exhibit Number 4. Before you
25 tell us your conclusion, who us what's tabulated on the

1 display.

2 A. Exhibit Number 4, entitled "Fruitland Coal
3 Completion Data", is a tabulation of basically the
4 completion procedure and design for all of the
5 Marathon-operated wells in this 12-section area.

6 Our standard procedure in this area was to
7 drill and case and cement casing through coal,
8 perforate the coal section, break down the perforations
9 using 15-percent hydrochloric acid solution, and then
10 fracture stimulate the wells.

11 Q. Is there any difference between the
12 productivity of the wells and how they were drilled and
13 completed?

14 A. No, there's not. For all intents and
15 purposes, we used almost an identical fracture
16 stimulation program on all the wells, and we still see
17 a great variability in the productivity.

18 Q. Is this an area where there's a difference
19 that is explained by the fact that certain wells were
20 open-hole completed versus cased-hole stimulated?

21 A. No, to my knowledge all of the Fruitland Coal
22 wells in this area are cased-hole and fractured.

23 Q. And were other operators in addition to
24 Marathon using the same procedure?

25 A. Yes, there were.

1 Q. So that didn't give you an answer?

2 A. No, that's correct.

3 Q. All right. Let's turn to a geologic
4 investigation. Did you and the geologists that studied
5 this project make a geologic investigation, trying to
6 find an explanation for the poor quality of these three
7 wells?

8 A. Yes, we did.

9 Q. Did you have an isopach prepared of the gross
10 Fruitland Coal thickness?

11 A. Yes, I did.

12 Q. Identify and describe for us, then, Exhibit
13 Number 5.

14 A. Exhibit Number 5 is a gross isopach map of
15 the Fruitland Coal in the same 12-section area we've
16 been looking at.

17 As you can see, the contour interval on here
18 is five feet. And this does not just pertain to any
19 one particular seam; this is the entire thickness of
20 all the coals that are present in the section.

21 Q. Identify for us the well code on that
22 display.

23 A. The active Fruitland Coal producers are shown
24 by gas well symbols.

25 The Fruitland Coal penetrations, which

1 include Pictured Cliffs, Gallup and Dakota producers as
2 Xs. And then our proposed drill sites are shown as
3 open red colored circles.

4 Q. It appears that you have a wealth of geologic
5 information to control a determination of coal
6 thickness in this area.

7 A. Yes, we do.

8 Q. Did coal thickness provide an explanation as
9 to the quality of the wells?

10 A. No, for the most part the wells that we
11 operate have thicknesses anywhere from 20 to 30 feet.
12 There's no real great variability in the thickness in
13 any of our producing wells, and that just really didn't
14 go to explain why the original wells were such poor
15 producers.

16 Q. Let's turn to the first geologic cross-
17 section. It's the A-A' cross-section, marked as
18 Exhibit 6.

19 What is the coal member that you're trying to
20 access with these wells? What's the producing
21 formation?

22 A. The producing formation is the Fruitland
23 Coal, and specifically two or three seams that are
24 located right at the base of the Fruitland.

25 Q. Does it appear to you that the explanation

1 and the poor character of these wells is explained by
2 where the wells are completed?

3 A. No, it doesn't.

4 Q. All the wells are accessing the greatest
5 opportunity for coal gas production with adequate
6 perforations?

7 A. That is correct.

8 Q. Is that true on the other two cross-sections
9 when we look at them?

10 A. Yes, it is.

11 Q. So that doesn't give you the answer?

12 A. Correct.

13 Q. You've studied the coal gas reservoir for
14 other issues, have you not, Mr. Kent?

15 A. Yes, yes, I have.

16 Q. And you're familiar with the general
17 literature on this topic?

18 A. Yes, I am.

19 Q. What is your best engineering judgment as a
20 reservoir engineer as to the explanation for the poor
21 quality of these three wells?

22 A. As I see it, one of two possibilities exist
23 here.

24 Either there is no cleat development in the
25 coal in a localized area which runs generally from the

1 northeast of Section 9 to the northeast of Section 17,
2 or there has been some localized secondary
3 mineralization of the cleat system, which has reduced
4 the permeability in that same general area.

5 Q. Is it your belief as a reservoir engineer
6 that there's sufficient gas in place in the reservoir,
7 in these spacing units, to make it profitable to
8 recover that gas?

9 A. Yes.

10 Q. What is your best opportunity for doing that,
11 recognizing the limited success of the original well?

12 A. I believe our best opportunity is to drill
13 vertical wells in the opposite quarter sections from
14 where the original wells were located to recover those
15 reserves.

16 Q. Have you received any objection from any of
17 the other interest owners in this area that received
18 notification?

19 A. No, I have not.

20 Q. In your opinion, will approval of these three
21 Applications be in best interests of conservation, the
22 prevention of waste, and the protection of correlative
23 rights?

24 A. Yes, it will.

25 MR. KELLAHIN: That concludes my examination

1 of Mr. Kent.

2 We move the introduction of his Exhibits 1
3 through 6, plus the notification certificate that's
4 marked as Exhibit 7 for Case 10,781 and 10,782.

5 EXAMINER STOGNER: All applicable exhibits
6 will be admitted into evidence at this time.

7 MR. KELLAHIN: That concludes my examination
8 of Mr. Kent.

9 EXAMINATION

10 BY EXAMINER STOGNER:

11 Q. Mr. Kent, all of these are cased-hole
12 completed; is that correct?

13 A. That's correct.

14 Q. Now, in your Exhibit Number -- whatever your
15 cross-section is.

16 A. Exhibit 6.

17 MR. STOVALL: Which cross-section? There are
18 three of them.

19 MR. KELLAHIN: The A-A' should be --

20 EXAMINER STOGNER: A-A'?

21 MR. STOVALL: The unmarked A-A' cross-
22 section.

23 Q. (By Examiner Stogner) In the exhibit, A-A',
24 the perforated interval shown here -- and these are all
25 Marathon wells except that one Frontier well -- the

1 perforations are in the -- what has been marked as
2 coal.

3 Do these accurately represent all the
4 perforations, or were there some in the -- And I take
5 it that that is a sand in between these coals?

6 A. That's a shale in between the coal. There is
7 one that is not on this exhibit -- it's on B-B' -- that
8 has some perforations that are not in the coal. It's
9 the rightmost well. The story behind -- In fact, that
10 was our initial well that we drilled in 1989 in this
11 area.

12 The original perforations were from 1900 to
13 1910. Our thoughts at that time were that we were
14 extremely worried about screenout on fracture
15 stimulations.

16 So our attempt was to perforate the shale in
17 between the coal, fracture-stimulate the shale with the
18 hopes that the frac would extend both out horizontally
19 and then break into the coal to provide a conduit for
20 gas to go from the coal into the fracture.

21 Earlier this year we went into that well,
22 perforated the coal itself, and restimulated that well.
23 We saw a production increase of roughly 100 MCF a day
24 after performing that treatment.

25 There was only two wells in this whole area

1 that we used that original technique on. The second
2 well, it failed completely.

3 Q. And no acidization or any kind of
4 stimulation?

5 A. We've gone into a couple of the wells and
6 acidized them.

7 Two of the wells that are the subject of the
8 hearing, the Bolack Number 9-1, Schwerdtfeger 17-1,
9 both were refracture-stimulated with no success, one
10 immediately after completion, that being the
11 Schwerdtfeger 17-1. The Bolack 9-1 was restimulated
12 this spring, and we saw no increase in production.

13 We had plans to do the third well, but we
14 couldn't justify it.

15 Q. Now, once these wells are completed is there
16 any water production associated with them?

17 A. There is some water production. Some of the
18 wells produce up to 70 to 80 barrels a day. For the
19 most part, after they've been producing for a couple of
20 years, that drops down to five to ten barrels a day.

21 Some of the wells that we operate are on a
22 pumping unit. We've got gas assist on a few, and some
23 of them produce a low enough amount of water that they
24 flow with no lift.

25 Q. And again on these three proration units or

1 spacing units, what is the plan for the original wells?

2 A. We're asking that we be allowed to leave the
3 original wells as is, to monitor them -- or to use them
4 as pressure-monitor wells. They will not be produced
5 after the completion of the original wells.

6 Q. What time interval were those three wells on
7 the existing proration units drilled and completed?

8 A. All three of those were drilled and completed
9 in the fall of 1990.

10 Q. That's also the same time that many of the
11 other wells were being completed; is that correct?

12 A. That's correct. The bulk of our drilling
13 program in this area ran basically from June through
14 October of 1990.

15 Q. Any possible connection with the use of
16 drilling fluids, or was it drilled the same way?

17 A. They used the exact same drilling fluid
18 system, cements were identical. There's nothing that
19 stands out on these three wells that causes them to be
20 different from a completion or drilling standpoint from
21 any of the other wells in this area.

22 Q. Is production still going into the same line?

23 A. Yeah. In fact, we've got -- We operate well-
24 head compression on all of our wells. We're drawing
25 well-head pressures down to 15 to 30 pounds.

1 Gathering-line pressures are somewhere on the order of
2 100 to 150 pounds. The Schwerdtfeger 17-1 was never
3 connected to sales. All the tests we have on that are
4 15- to 30-pound backpressure.

5 EXAMINER STOGNER: Any other questions?

6 MR. STOVALL: Yeah, I do have one on the
7 Schwerdtfeger.

8 EXAMINATION

9 BY MR. STOVALL:

10 Q. The notice -- I think you made a statement
11 that to the best of your knowledge those were the
12 interests in Section 20 and 21 -- or no, I'm sorry, 20
13 and the west half of 17?

14 A. That's correct.

15 Q. What is the best of your knowledge based on?

16 A. It's a takeoff we had done, land takeoff.

17 Q. Okay, recently?

18 A. Yes, done by Schutz Abstract.

19 Q. You mean in preparation for this case?

20 A. That's correct.

21 Q. Okay, and you're satisfied you've notified
22 everybody that has an interest in those undeveloped
23 units?

24 A. Yes.

25 MR. STOVALL: No further questions.

1 EXAMINER STOGNER: You may be excused.

2 Mr. Kellahin?

3 MR. KELLAHIN: Nothing else in these three
4 cases.

5 EXAMINER STOGNER: If nobody else has
6 anything further in these three cases, Case Numbers
7 10,780, 10,781 and 10,782 will all be taken under
8 advisement.

9 (Thereupon, these proceedings were concluded
10 at 1:26 p.m.)

11 * * *

12

13

14

15

16

17

18

19

20

21

22

23

24

25

