

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION  
CASE 10,789

EXAMINER HEARING

IN THE MATTER OF:

Application of Bright & Company for approval of a second well in a high angle/horizontal directional drilling pilot project, an unorthodox surface oil well location, and special operating rules therefor, Sandoval County, New Mexico

**ORIGINAL**

TRANSCRIPT OF PROCEEDINGS

BEFORE: DAVID R. CATANACH, EXAMINER

1788

STATE LAND OFFICE BUILDING  
SANTA FE, NEW MEXICO  
August 12, 1993

A P P E A R A N C E S

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

FOR THE DIVISION:

ROBERT G. STOVALL  
Attorney at Law  
Legal Counsel to the Division  
State Land Office Building  
Santa Fe, New Mexico 87504

FOR THE APPLICANT:

HINKLE, COX, EATON, COFFIELD & HENSLEY  
Attorneys at Law  
By: JAMES G. BRUCE  
218 Montezuma  
P.O. Box 2068  
Santa Fe, New Mexico 87504-2068

\* \* \*

## I N D E X

	Page Number
1	
2	
3	2
4	
5	4
6	14
7	23
8	
9	
10	
11	
12	5
13	6
14	7
15	8
16	8
17	9
18	13

\* \* \*

## E X H I B I T S

## APPLICANT'S EXHIBITS:

\* \* \*

1           WHEREUPON, the following proceedings were had  
2           at 9:35 a.m.:

3           EXAMINER CATANACH: Okay, at this time we'll  
4           call Case 10,789.

5           MR. STOVALL: Application of Bright & Company  
6           for approval of a second well in a high angle/horizon-  
7           tal directional drilling pilot project, an unorthodox  
8           surface oil well location, and special operating rules  
9           therefor, Sandoval County, New Mexico.

10          EXAMINER CATANACH: Are there appearances in  
11          this case?

12          MR. BRUCE: Mr. Examiner, Jim Bruce from the  
13          Hinkle law firm in Santa, representing the Applicant.

14          I have one witness to be sworn.

15          EXAMINER CATANACH: Any additional  
16          appearances?

17          Would you please swear in the witness?

18                         BRUCE GATES,  
19          the witness herein, after having been first duly sworn  
20          upon his oath, was examined and testified as follows:

21                                 DIRECT EXAMINATION

22          BY MR. BRUCE:

23                 Q.    Would you please state your name and city of  
24                 residence for the record?

25                 A.    My name is Bruce Gates. I live in San

1 Antonio, Texas.

2 Q. Who are you employed by and in what capacity?

3 A. Bright and Company as a geologist.

4 Q. And have you previously testified before the  
5 Division as a geologist?

6 A. Yes, I have.

7 Q. And were your credentials as an expert  
8 petroleum geologist accepted as a matter of record?

9 A. Yes, they were.

10 Q. Are you familiar with the matters pertaining  
11 to this Application of Bright and Company?

12 A. Yes.

13 Q. And does your area of responsibility at  
14 Bright and Company include northwest New Mexico?

15 A. Yes, it does.

16 MR. BRUCE: Mr. Examiner, I tender the  
17 witness as an expert geologist.

18 EXAMINER CATANACH: The witness is so  
19 qualified.

20 Q. (By Mr. Bruce) Briefly, Mr. Gates, what does  
21 Bright and Company seek in this Application?

22 A. We seek to drill a second horizontal well in  
23 the west half of Section 35, 21 North, 2 West.

24 Q. Would you please refer to Exhibit 1, identify  
25 it for the Examiner, and discuss its contents?

1           A.    Okay.  Exhibit 1 is a lease plat of the area  
2 of interest.  The shaded area is the -- is Bright and  
3 Company's Cuba Mesa Unit, which is 100-percent federal  
4 land.

5                    The 35 Number 1 well is shown in the west  
6 half of Section 35, together with the proposed 35  
7 Number 2 well.

8                    The offset leases are also indicated on the  
9 plat.

10           Q.    What is the status of the 35 Number 1 well?

11           A.    The 35 Number 1 well was approved by Order  
12 Number R-9676.

13                    It was completed in the Mancos B2 zone in the  
14 summer of 1992.  It initially produced 175 barrels of  
15 oil per day; it currently produces at 50 barrels of oil  
16 per day.  It has produced 27,937 barrels of oil as of  
17 August 8, 1993.

18           Q.    What is Exhibit 2?

19           A.    Exhibit 2 is a decline curve of the  
20 production, from the first date of production up to the  
21 present time.  And attached to it is the last month's  
22 daily production, water production, gas production, and  
23 also shows the cumulative as of 8-8.

24           Q.    The decline has been relatively flat over the  
25 past several months?

1           A.    Yeah, since the middle of November it's  
2 essentially been zero decline.

3           Q.    What is the horizontal extent of the 35  
4 Number 1 wellbore?

5           A.    The horizontal extent is 800 feet.

6           Q.    Was that what was planned originally?

7           A.    No, we had planned a horizontal displacement  
8 of approximately 3300 feet.

9                    However, due to oil flows encountered while  
10 drilling, we were forced to stop at the 800 feet, and  
11 we completed the well as an oil producer.

12           Q.    As a result, do you think you've tested the  
13 entire Mancos interval under the west half of Section  
14 35?

15           A.    No, I do not think we have tested the  
16 entire...

17           Q.    Would you refer to Exhibit 3 and briefly  
18 discuss the geology of the Mancos in this area?

19           A.    Exhibit 3 is a structure contour map based on  
20 subsurface control.

21                    The map shows monoclinal north dip into the  
22 basin.

23                    The anomalous feature on this map is an east-  
24 west trending flexure that is depicted by the abrupt  
25 dip change. This abrupt dip change trends to our field

1 -- or through the field -- and also trends to our  
2 acreage and is documented by four seismic lines that  
3 run through our acreage or nearby.

4 From looking at vertical oil production in  
5 the field, the best production is associated with that  
6 flexure.

7 And that's -- the flexure is going to be the  
8 target of our 35-2 well.

9 Q. Would you move on to Exhibits 4 and 5 and  
10 discuss what they show and your proposed plans for the  
11 35 Number 2 well?

12 A. Okay, Exhibit 4 is a structural cross-section  
13 showing the relationship of our 35-1 well with respect  
14 to the Mancos stratigraphy and the structural  
15 relationship with respect to the flexure.

16 I've marked the flexure with arrows showing  
17 the area of maximum flexure.

18 As you can see, the 35-1 well is drilled in  
19 the B2. It went out about 800 feet and it was clearly  
20 short of the flexure, and we did not meet our ultimate  
21 objectives.

22 The 35-2 well is shown downdip of this well.  
23 We want to drill into the B1 zone and test -- go ahead  
24 and drill through that flexure and drill out, and  
25 hopefully they'll drill out to 3500 feet or so.

1 Q. Now, on the Number 2 well, you show casing  
2 down to where it becomes horizontal.

3 A. Yes.

4 Q. That's different from the 35 Number 1?

5 A. That's right. Well, it's -- can we introduce  
6 -- Can I explain this exhibit to you?

7 Q. Sure.

8 A. Exhibit 5 is a log based from the pilot hole  
9 in our 35-1 well. It shows how I subdivide the Mancos  
10 interval into the A, B1, B2 and C.

11 Based on some information that we gained  
12 while drilling, I feel like each one of these zones --  
13 specifically the B1, B2 and the C -- will act as  
14 independent reservoirs, and there will not be  
15 fracture -- or oil communication between these  
16 different zones.

17 You can see that we're targeting the B1.

18 In the event that I'm wrong and there is  
19 communication, we're planning to set casing through --  
20 or into the B1 target, which will isolate our well from  
21 the area that the 35-1 well is currently producing  
22 from.

23 Q. And referring to Exhibit 6, would you please  
24 discuss the drilling procedure for your proposed Number  
25 2 well?

1           A.    Okay, we've already gained a lot of  
2 information from our pilot hole in the original well,  
3 and due to the close proximity of this well to that  
4 well, we don't need to do any additional logging and  
5 things.

6                    So we're going to drill down to approximately  
7 3500 feet and just run an induction log for correlation  
8 so we can tie back into the original well.

9                    At that 3500 feet we'll kick off and build an  
10 angle at about eight degrees per hundred to a measured  
11 depth of approximately 4600 feet and a vertical section  
12 of 660 feet.

13                   At that point we should be into the B1  
14 target, and we will set 7-5/8-inch casing.

15                   We're going to change our plan a little bit  
16 from the original well in that we're going to set a  
17 parasite string at 2500 feet, and we'll use a  
18 KCl/polymer mud, we will aerate through the parasite  
19 string to reduce our hydrostatic head at bottomhole to  
20 about 5.5-pound mud equivalent, which should allow this  
21 well to flow while drilling.

22           Q.    And is this general procedure for the  
23 drilling of the well similar to procedures used for  
24 drilling the other half dozen or so wells in that area?

25           A.    Yes, except for the parasite string. We

1 think the parasite string will alleviate our oil-flow  
2 problems that occurred in the original well.

3 Q. What is the surface location of your proposed  
4 Number 2 well?

5 A. It is 1010 feet from the south line, 820 feet  
6 from the west line, which is unorthodox because it's  
7 close to a quarter quarter section line.

8 However, the horizontal wellbore will be at  
9 least 660 feet from the outer boundary of the west half  
10 of Section 35, which conforms to Order Number R-9676.

11 Q. And why do you request the allowable while  
12 drilling, which is -- What was it? Sixty days times  
13 320 barrels a day, I believe.

14 A. Okay, the well will be drilled in an  
15 underbalanced state unless it's an easier and better  
16 practice to produce while drilling.

17 We therefore request a 19,200-barrel  
18 allowable while drilling, which is the same as that  
19 approved for the wells in the -- offsetting in the San  
20 Ysidro and Ceja Pelon Units.

21 Q. And would you discuss your request for an  
22 extra 320-barrel-per-day allowable for the Number 2  
23 well after it's completed?

24 A. Okay. At this point we're still in the  
25 experimental stages of trying to understand this

1 formation and to exploit the oil that exists in it.

2 As I stated before, I feel like these are  
3 going to be separate reservoirs and that they should  
4 have different allowables.

5 I cannot prove that to you at this time.  
6 Hopefully, with this next well I can come back and  
7 prove that.

8 And if we are successful, we'd like to  
9 benefit from the maximum production that we can  
10 accomplish, or the allowable that you'll give us,  
11 assuming that the well will produce at that rate.

12 Q. Your statement about being different  
13 reservoirs, has this been reinforced by experience in  
14 some of the offsetting Gary-Williams wells?

15 A. Yeah, in talking with the -- Josh, Gary-  
16 Williams, they've drilled two wells in that A zone,  
17 both of which -- both wells never produced anything  
18 from those zones.

19 They later -- In their last well they  
20 sidetracked that well and went into the B2 and made an  
21 oil well. In doing so, they went through the B2 zone  
22 several times, up and down.

23 When they were in the zone they were getting  
24 new shows, gas kicks, that kind of thing. As soon as  
25 they would go out of zone, they would lose all

1 indications of show.

2 I also saw that phenomenon occur in our well.  
3 We landed into the top of the B1 zone, I got them to go  
4 down as soon as we went into the zone, we had oil  
5 production.

6 We unfortunately went down through the  
7 bottom, and out of the bottom of the zone, but by no  
8 more than a foot. we lost all shows.

9 We got them to correct, come back up. As  
10 soon as we got back into the B2 formation we had a big  
11 gas kick, and that's when we had the tremendous oil  
12 flow that prohibited us from continuing drilling.

13 So from that I feel like the B1 will be  
14 separated from the B2. But I think with this  
15 additional drilling we'll have more evidence to prove  
16 that at a later date.

17 Q. Were all offset lessees notified of this  
18 hearing?

19 A. Yes, they were.

20 Q. And is Exhibit 7 your affidavit of notice  
21 with the notice letters?

22 A. Yes, it is.

23 Q. Were Exhibits 1 through 7 prepared by you or  
24 under your direction?

25 A. Yes, they were.

1 Q. And in your opinion, is the granting of this  
2 Application in the interests of conservation and the  
3 prevention of waste?

4 A. Yes, it is.

5 MR. BRUCE: Mr. Examiner, I would move the  
6 admission of Exhibits 1 through 7.

7 EXAMINER CATANACH: Exhibits 1 through 7 will  
8 be admitted as evidence.

9 EXAMINATION

10 BY EXAMINER CATANACH:

11 Q. Mr. Gates, let me see if I have this right.  
12 The Number 1 well is in the B2 zone?

13 A. The B2 zone.

14 Q. The Number 1 well is projected to be in the  
15 B1?

16 A. The 35-2 well is -- we want --

17 Q. The 35-2?

18 A. Yeah, we intend to drill that in the B1 zone.

19 Let me say, regardless of whether there's  
20 communication or not, we strongly believe that the 35-2  
21 well will be draining different reserves. As you can  
22 see, the borehole will extend downdip from the existing  
23 35-1 well, and we're going to be isolated from that  
24 reservoir regardless of communication or not with the  
25 casing. It's going to be 7-5/8-inch casing.

1           This is a gravity-drained reservoir. So the  
2 oil that exists downdip of the 35-1 would not likely  
3 migrate up into the borehole on the 35-1 well.

4           So regardless of whether I'm right on the  
5 communication or not, the two wells will be draining  
6 different reserves.

7           Q. Did you have shows in the Number 1 well, in  
8 the B1 zone?

9           A. Yes, we did.

10          Q. You did?

11          A. Yes, we did. Now, what we did in -- You  
12 know, we went through it at a fairly high angle. But  
13 every time we drilled through the B1 zone in the pilot  
14 hole, we had very minimal show. We were overbalanced  
15 because we were going much -- just -- I mean, the  
16 first...

17                 We had to sidetrack this well twice because  
18 of -- Well, we couldn't build angle.

19                 Went through the second time, the B1 showed  
20 oil, and the third time it showed oil but we -- and we  
21 landed in the B2 zone, and that's where the production  
22 comes from.

23          Q. If you don't -- in the Number 2 well, if you  
24 don't get any shows in the B1, are you going to take it  
25 down to the B2?

1 A. We'll have to, I guess, make that decision.

2 Q. It's possible?

3 A. It is possible, that's correct.

4 I feel, from what we've seen, that the B1  
5 will be every much as good a reservoir.

6 It was originally our original target.

7 Unfortunately, because of Eastman's inability to build  
8 angle, we had to go to a second objective, which is the  
9 B2. Fortunately, we had the B2 objective to go to, or  
10 we would have been in a lot worse trouble.

11 Q. Have those mechanical problems been worked  
12 out?

13 A. Yes. Well, for one, we're going to kick off  
14 at a higher depth.

15 So instead of needing a 12-degree-per-hundred  
16 to make our target, we're only going to -- We're  
17 working on an 8-degree-per-hundred. So we'll be way  
18 under their ability to build angle.

19 And we -- from their -- We know they can  
20 build about a ten-degree out here, so we'll be all  
21 right.

22 Q. Is there vertical separation between the B1  
23 and B2 zones? Is there some kind of barrier in there?

24 A. Well, there's a shale barrier, and there's  
25 other logging that we've done that shows that with --

1 for instance, an FMS log which shows that the interval  
2 is highly laminated.

3 We've run some digitized sonic logs that give  
4 us some rough properties that show that that shale  
5 interval is much more ductile than the surrounding B1  
6 and B2 intervals. So...

7 And it gets more complex than that. I think  
8 within the B1 and the B2, it's laminated, and -- it's  
9 just you can't -- You've got to know your target  
10 because you can't go to a one-foot target, I don't  
11 think, and think you're going to be able to stay in it.

12 We've narrowed our target down to  
13 approximately seven feet.

14 And we're pretty successful in the first  
15 well. Staying in it, we didn't get very far. So we're  
16 going to test ourselves a little better on this next  
17 one.

18 Q. The second well would be -- What's the  
19 lateral distance that you're going to drill?

20 A. Approximately 3500 feet, actually 3600, yeah.

21 Q. Is the west half currently dedicated to the  
22 Number 1 well?

23 A. Yes, it is.

24 Q. Okay. So you're going to have two wells on  
25 the proration unit?

1 A. Yes.

2 Q. What's the allowable for that proration unit?

3 A. 320 barrels per day.

4 Q. So you're just asking for double the  
5 allowable for a standard proration unit?

6 A. Essentially, really -- the well -- The first  
7 well is currently producing 50 to 60 barrels a day, so  
8 we'll really be looking at a 380-barrel-a-day  
9 allowable.

10 Or we would take more if you would be willing  
11 to...

12 Q. Well, actually, you would be -- What you're  
13 asking for is 640 barrels a day allowable?

14 A. I guess technically the 35-1 does have a 320-  
15 barrel-a-day allowable, right. It's just not making  
16 that allowable.

17 Q. Well, I just want to make sure that I  
18 understand what you're asking for. You're asking for  
19 essentially 640 barrels a day --

20 A. Right, yes, sir.

21 Q. -- or the proration unit?

22 A. Yes, sir.

23 Q. Does Bright plan on developing any of the  
24 other sections in the unit?

25 A. Yes, we do. It just -- because of -- We do

1 not feel like we've tested the entire west half of that  
2 section. And from the promising oil shows we've got,  
3 we feel that drilling our second well at this location  
4 will be a lower-risk location, versus moving over, say,  
5 to the west side of the unit at this point in time,  
6 because we still don't understand everything about the  
7 formation. We're still learning.

8 We felt like this would be the best way to  
9 learn and make a well.

10 Q. The Well Number 1 cannot be recompleted to  
11 test that other zone, can it?

12 A. Not to test the B1 zone, I don't think. I  
13 think -- What I'd like to see in the future is, if that  
14 well does decline down to nothing, whenever that does  
15 happen, that we could pull that liner and come back and  
16 drill into the C zone at a later date, or drill out all  
17 the way through the B2 zone, one or the other.

18 Q. So you've got additional potential in the C  
19 zone?

20 A. I believe so. In fact, I think the C zone is  
21 probably the best zone in the Mancos in this area. It  
22 is so thin -- it's only about four feet -- I think  
23 there's a lot of risk in us trying to stay in that zone  
24 at this point in time.

25 Once we have the B1 zone drilled and we know

1 the structural dips all the way out to 3600 feet, it  
2 will be much easier for us to come back and drill  
3 through the C zone at a later date.

4 Q. Okay. The lease offsetting you to the west,  
5 the Union Pacific Resources, Samuel Gary --

6 A. Yes, sir.

7 Q. -- to your knowledge, those are the owners of  
8 that lease in Section 34?

9 A. Yeah. Sam Gary is the operator of those  
10 leases, and there's -- There's actually more interest  
11 owners in that acreage as shown here, and they're  
12 basically all listed in the letters that we've sent  
13 out.

14 Q. Is there any production in that section?

15 A. There was -- There was some old production.  
16 A vertical Mancos well produced 26,000 barrels of oil  
17 in the southwest corner of Section 34.

18 MR. BRUCE: Mr. Examiner, to the west of  
19 Bright's unit is the Ceja Pelon Unit, which is operated  
20 by the Gary Williams Company.

21 EXAMINER CATANACH: I'm sorry, Mr. Bruce, the  
22 -- What's the name of it?

23 MR. BRUCE: Ceja -- C-e-j-a -- Pelon Unit,  
24 which is operated by the Gary-Williams Company.

25 And to the southwest of Bright is the San

1 Ysidro unit, which is operated by Energy Development  
2 Corporation.

3 EXAMINER CATANACH: Mr. Bruce, who were the  
4 interest owners -- or who were the offset operators or  
5 interest owners who were notified of this Application?

6 MR. BRUCE: That's Exhibit 7. We notified --  
7 I forget -- approximately 15 people.

8 They did notify the Gary-Williams Company and  
9 Energy Development Corporation, who are those  
10 operators.

11 Those units were approved by the Division,  
12 and their operatorship is a matter of record here.

13 But Bright and Company did go ahead and  
14 notify all offsetting lessees, rather than just the  
15 operators.

16 EXAMINER CATANACH: Okay, is that just in  
17 Section 34, is what --

18 MR. BRUCE: Actually, they notified everybody  
19 in the sections around their federal unit.

20 EXAMINER CATANACH: I see.

21 MR. BRUCE: If you look at the land plat,  
22 there's Celeste Grynberg, and she was notified,  
23 although she is part of the northeast.

24 EXAMINER CATANACH: Okay. I don't have  
25 anything else of the witness. He may be excused.

1 Anything else, Mr. Bruce?

2 MR. BRUCE: No, sir.

3 EXAMINER CATANACH: There being nothing else,  
4 Case 10,789 will be taken under advisement.

5 (Thereupon, these proceedings were concluded  
6 at 9:57 a.m.)

7 \* \* \*

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

I do hereby certify that the foregoing is  
a complete record of the proceedings  
the Examiner hearing of Case 10789,  
heard by me on August 12, 1993.  
David R. Catanach, Examiner  
Oil Conservation Division

1 CERTIFICATE OF REPORTER

2


3 STATE OF NEW MEXICO )  
 4 COUNTY OF SANTA FE ) ss.

5

6 I, Steven T. Brenner, Certified Court  
 7 Reporter and Notary Public, HEREBY CERTIFY that the  
 8 foregoing transcript of proceedings before the Oil  
 9 Conservation Division was reported by me; that I  
 10 transcribed my notes; and that the foregoing is a true  
 11 and accurate record of the proceedings.

12 I FURTHER CERTIFY that I am not a relative or  
 13 employee of any of the parties or attorneys involved in  
 14 this matter and that I have no personal interest in the  
 15 final disposition of this matter.

16 WITNESS MY HAND AND SEAL September 2, 1993.

17   
 18 \_\_\_\_\_  
 19 STEVEN T. BRENNER  
 CCR No. 7

20 My commission expires: October 14, 1994

21

22

23

24

25