

NEW MEXICO OIL CONSERVATION COMMISSION

EXAMINER HEARING

SANTA FE, NEW MEXICOHearing Date SEPTEMBER 23, 1993 Time: 8:15 A.M.

NAME	REPRESENTING	LOCATION
David White	Santa Fe Energy Inc	Midland
W. Kellerman	Kellerman & Kellerman	Santa Fe
William A. Lee	Temple, Lee, Teger & Jensen	Santa Fe
David E. Nelson	Conoco	Midland
Jerry Hoover	Conoco	Midland
Curtis D. Smith	Santa Fe Energy	Midland
Maurice Trimmer	Byram	SF
Tommy Roberts	Tansey Law Firm	Farmington
Alan P. Emendorf	Giant E&P	Farmington
Earl L. Powell	Padilla & Snyder	SF
Kevin A. McEl	Robert L. Boyles	Farmington
John F. Mc	Robert L. Boyles	Farmington
James Bruce	Humble Law Firm	Santa Fe
David A. Brown	Barbara Fasken	Midland
Tommy E. Taylor	"	"
Bill Duncan	Exxon	"
KEITH LOGAN	DAVID ARRINGTON OEG	"

NEW MEXICO OIL CONSERVATION COMMISSION

EXAMINER HEARINGSANTA FE, NEW MEXICOHearing Date SEPTEMBER 23, 1993 Time: 8:15 A.M.

NAME	REPRESENTING	LOCATION
Mark McClelland L.O. Van Ryan Susan Haycock	CONOCO INC. T. H. Mc Elvain CONOCO INC	MIDLAND SANTA FE CONOCO

NEW MEXICO OIL CONSERVATION DIVISION

STATE LAND OFFICE BUILDING

STATE OF NEW MEXICO

CASE NO. 10826

IN THE MATTER OF:

The Application of Barbara T. Fasken
for Directional Drilling, an Unorthodox
Bottomhole Gas Well Location, and
Simultaneous Dedication, Eddy County,
New Mexico.

BEFORE:

MICHAEL E. STOGNER


Hearing Examiner

State Land Office Building

Thursday, September 23, 1993

REPORTED BY:

CARLA DIANE RODRIGUEZ
Certified Court Reporter
for the State of New Mexico



ORIGINAL

A P P E A R A N C E S

FOR THE NEW MEXICO OIL CONSERVATION DIVISION:

ROBERT G. STOVALL, ESQ.

General Counsel
State Land Office Building
Post Office Box 2088
Santa Fe, New Mexico 87504-2088

FOR THE APPLICANT:

PADILLA & SNYDER
Post Office Box 2523
Santa Fe, New Mexico 87504
BY: **ERNEST L. PADILLA, ESQ.**

I N D E X

Page Number

Appearances

2

WITNESSES FOR THE APPLICANT:

1.

TOMMY E. TAYLOR

Examination by Mr. Padilla

4

Examination by Mr. Stogner

12, 24

2.

DAVID H. BROWN

Examination by Mr. Padilla

14

Examination by Mr. Stogner

22

Certificate of Reporter

26

E X H I B I T S

Page Marked

Exhibit No. 1

6

Exhibit No. 2

8

Exhibit No. 3

10

Exhibit No. 4

15

Exhibit No. 5

15

1 EXAMINER STOGNER: At this time, I will
2 call Case No. 10826.

3 MR. STOVALL: The application of
4 Barbara T. Fasken for directional drilling, an
5 unorthodox bottomhole gas well location, and
6 simultaneous dedication, Eddy County, New Mexico.

7 EXAMINER STOGNER: Call for
8 appearances.

9 MR. PADILLA: Mr. Examiner, I'm Ernest
10 L. Padilla of Santa Fe, for the Applicant in this
11 case. I have two witnesses to be sworn.

12 EXAMINER STOGNER: Are there any other
13 appearances?

14 Will the witnesses please stand to be
15 sworn at this time.

16 TOMMY E. TAYLOR

17 Having been first duly sworn upon his oath, was
18 examined and testified as follows:

19 EXAMINATION

20 BY MR. PADILLA:

21 Q. Mr. Taylor, for the record, would you
22 please state your name, please.

23 A. Tommy E. Taylor.

24 Q. Mr. Taylor, do you work for the
25 Applicant?

1 A. Yes, I do.

2 Q. In what capacity?

3 A. I'm a drilling and production engineer.

4 Q. Mr. Taylor, can you briefly explain
5 what the purpose of this hearing is?

6 A. Barbara Fasken seeks permission to
7 drill her Inexco Federal 17 No. 2 directionally,
8 to an unorthodox location, in the Catclaw Draw
9 Morrow pool.

10 Q. Mr. Taylor, have you coordinated the
11 application aspects of this application?

12 A. Yes.

13 Q. Mr. Taylor, have you previously
14 testified before the New Mexico Oil Conservation
15 Division and had your credentials accepted as a
16 matter of record?

17 A. No, I have not.

18 Q. Mr. Taylor, would you give the Examiner
19 your educational background?

20 A. I received a bachelor of science degree
21 in petroleum engineering from Texas Tech
22 University in 1985.

23 Q. Mr. Taylor, since 1985, what has been
24 your experience in the oil and gas industry as a
25 petroleum engineer?

1 A. Since that time, I've worked for Mrs.
2 Fasken as a drilling and production engineer for
3 eight and a half years.

4 Q. Are you familiar with the engineering
5 aspects of the directional drilling portion of
6 this application and of the allowable aspects of
7 the application?

8 A. Yes.

9 MR. PADILLA: Mr. Examiner, we tender
10 Mr. Taylor at this time as an expert in petroleum
11 engineering.

12 EXAMINER STOGNER: Mr. Taylor is so
13 qualified.

14 Q. Mr. Taylor, let's turn now to what we
15 have marked as Exhibit No. 1, and have you tell
16 the Examiner what that is.

17 A. Okay. Exhibit No. 1 is a vicinity map
18 of the general area. In the lower right-hand
19 portion of the map is the city of Carlsbad. And
20 northwest of Carlsbad, approximately three miles,
21 is our Section 17 which we're proposing to drill
22 the Inexco Federal 17 #2.

23 The proration unit, the entire section,
24 is highlighted in yellow. The red dot is the
25 proposed surface location for the well.

1 I want to point out that State Highway
2 285 cuts across diagonally through the middle
3 portion of the section. The northern half of the
4 section is a housing development called the McNew
5 Subdivision.

6 Q. Is the housing development the reason
7 you have chosen to directionally drill?

8 A. Yes, it is.

9 Q. Can you explain to the Examiner how
10 you're going to--the general nature of the
11 directional drilling? In other words, what's the
12 angle, approximately?

13 A. Okay. We're going to drill at surface
14 location 2300 foot from the south line and 1800
15 foot from the east line, straight down, to an
16 approximate depth of 5000 foot.

17 At that time we're going to kickoff at
18 a degree and a half per hundred and build angle
19 at 25.2 degrees, and attempt to hold that angle
20 to a bottomhole location of 800 foot from the
21 north line and 1400 foot from the east line in
22 the Morrow formation.

23 Q. Mr. Taylor, you hope to encounter the
24 Catclaw, clean in the Catclaw Morrow pool,
25 correct?

1 A. Correct.

2 Q. Do you know what the spacing or well
3 location requirements for the Catclaw Draw pool
4 are?

5 A. An orthodox location is 1650 feet from
6 the boundaries.

7 Q. Either boundary, correct?

8 A. Either bouncary.

9 Q. Mr. Taylor, let's go on to what we have
10 marked as Exhibit No. 2, and have you explain
11 that.

12 A. Exhibit 2 is a land map that shows a
13 little bit more about the surrounding area in a
14 little more detail. Section 17 is, again,
15 highlighted in yellow.

16 The orange drilling rig mast is at our
17 approximate surface location. The red circle is
18 our proposed unorthodox bottomhole location in
19 the Catclaw Draw Morrow, and the dashed red line
20 is the approximate angle, the path of the
21 wellbore to the bottomhole location.

22 Q. Mr. Taylor, can you briefly tell the
23 Examiner what acreage is going to be impacted by
24 the unorthodox bottomhole location? I realize
25 your geological engineer is going to go into more

1 detail on this, but just generally tell him whose
2 going to get crowded here.

3 A. Okay. North of Section 17 is Section
4 8. The closest well to our bottomhole location
5 would be the Kaiser-Francis AM Federal No. 1. It
6 was originally drilled in 1972 to the Morrow, and
7 completed as an Avalon Morrow well. In 1990, it
8 was depleted and the well was plugged back, and
9 it's producing in the Delaware at this time.

10 The next closest well to our bottomhole
11 location is east of us in Section 16, and that
12 well is the Devon State B2 No. 2, and it is
13 currently completed in the Avalon Morrow field
14 and producing approximately 300 Mcf per day.

15 Q. Do you know when these wells were
16 drilled, approximately?

17 A. The Devon well in Section 16 was, I
18 believe, completed in 1976. The Kaiser-Francis
19 well, as I said, was completed in 1972.

20 Q. Mr. Taylor, do the boundaries of the
21 Catclaw Draw and the Avalon Morrow join in these
22 sections?

23 A. Yes, they do.

24 Q. So, in Section 8, you have the Avalon
25 Morrow--

1 A. That's correct.

2 Q. --controlling?

3 A. That's correct. Right.

4 Q. And how about in Section 16?

5 A. It's also the Avalon.

6 Q. Do you know about Section 9?

7 A. Yes, I believe it's the Avalon, also.

8 Q. Do you have anything further concerning
9 Exhibit No. 2?

10 A. No.

11 Q. Let's go on to Exhibit No. 3 and have
12 you identify that for the Examiner, please.

13 A. Exhibit 3 is an AFE cost estimate that
14 I prepared for drilling this well directionally.
15 It shows that the very bottom total cost for a
16 completed flowing Morrow well is approximately
17 \$931,000, and a dry hole cost of approximately
18 \$700,000.

19 Q. Mr. Taylor, can you explain why you're
20 introducing this AFE at this hearing?

21 A. Yes. We wanted to show that the cost
22 of drilling this well directionally would be
23 significantly more.

24 Q. How much more?

25 A. On this AFE, we've estimated

1 approximately \$176,000 additional cost to the
2 completed and the dry hole cost.

3 Q. Does this have the effect of increasing
4 the risk, and does it also have some
5 consideration in whether to ask for an unorthodox
6 location?

7 A. Yes, it does. We believe that, of
8 course, a directional well is a little bit more
9 risky and the cost is considerably more than
10 drilling a straight hole and, therefore, that was
11 why we chose the optimum bottomhole location for
12 this well.

13 Q. Mr. Taylor, I notice that in Section 17
14 there's another gas well. Can you tell the
15 Examiner about what kind of current production
16 that well has?

17 A. Yes. That is Mrs. Fasken's Inexco
18 Federal 17 No. 1. It is currently completed in
19 the Catclaw Draw Morrow pool, and is producing
20 approximately 150 Mcf per day.

21 Q. Would you combine the production from
22 both wells to determine the allowable for the
23 proration unit?

24 A. Yes.

25 Q. And that would be, in effect, a

1 simultaneous dedication of the unit to both
2 wells, is that correct?

3 A. Yes.

4 Q. Mr. Taylor, do you have anything
5 further to add to your testimony?

6 A. No.

7 MR. PADILLA: Mr. Examiner, we tender
8 Exhibits 1, 2 and 3, and we pass the witness.

9 EXAMINER STOGNER: Exhibits 1, 2 and 3
10 will be admitted into evidence at this time.

11 EXAMINATION

12 BY EXAMINER STOGNER:

13 Q. Mr. Taylor, do you know what the status
14 of the APD with the BLM is on this well at this
15 time?

16 A. We have chosen to wait on filing that
17 on the outcome of this hearing.

18 Q. Have you contacted the BLM in any
19 manner, as far as surface disturbance, or going
20 out and taking a look at the surface to see if
21 that was initially adequate with the BLM?

22 A. Yes, sir. We have staked the proposed
23 surface location, have met and negotiated with
24 the landowner, and the BLM has inspected the
25 location, and the site has been surveyed

1 archeologically.

2 Q. Some points of clarification. You've
3 testified, and obviously you're somewhat
4 knowledgeable about the pool rules of Catclaw
5 Draw. Is that a prorated gas pool?

6 A. Yes.

7 Q. 640-acre spacing?

8 A. That's correct.

9 Q. What will be the true vertical depth
10 down to the bottomhole?

11 A. 11,000 foot to the--it will be 10,600
12 foot to the top of the Morrow formation, and the
13 total depth of the well will be 11,000 foot.

14 Q. Is that true vertical depth?

15 A. Yes. Measured depth of the well will
16 be 11,515.

17 Q. And kickoff point will be underneath
18 the intermediate string, is that correct?

19 A. That's correct. The intermediate
20 string will be set at 2500 foot, and we'll
21 kickoff below the Delaware at 5000 foot.

22 EXAMINER STOGNER: I have no other
23 questions of Mr. Taylor at this time.

24 MR. PADILLA: We'll call Mr. Brown at
25 this time.

DAVID H. BROWN

Having been first duly sworn upon his oath, was examined and testified as follows:

EXAMINATION

BY MR. PADILLA:

Q. Mr. Brown, for the record, please state your full name.

A. My name is David Holbrook Brown.

Q. Mr. Brown, have you previously testified before the New Mexico Oil Conservation Division and had your credentials accepted as a matter of record?

A. No, sir, I haven't.

Q. Can you tell the Examiner what your educational background is in geology?

A. I received a bachelor of science degree in 1984 from Colorado School of Mines, and I received a master's degree in geology from the University of Texas, Permian Basin.

Q. When did you receive that master's?

A. 1992.

Q. What has been your experience in the oil and gas industry?

A. I've worked for Barbara Fasken for the last eight and a half years in the Permian Basin,

1 both west Texas and New Mexico.

2 Q. Mr. Brown, have you made a study of the
3 geology in the Catclaw Morrow pool--

4 A. Yes, sir, I have.

5 Q. --in preparation for this hearing?

6 A. Yes, sir.

7 Q. Have you prepared certain exhibits for
8 introduction at this hearing?

9 A. Yes, sir.

10 MR. PADILLA: Mr. Examiner, we tender
11 Mr. Brown as a geologist.

12 EXAMINER STOGNER: Mr. Brown is so
13 qualified.

14 Q. Mr. Brown, first of all let's get to
15 Exhibit No. 4 and have you explain what that is.

16 A. Yes, sir. Exhibit No. 4 is a
17 cross-section, from south-to-north, starting from
18 the Inexco 17 No. 1, going through our proposed
19 location.

20 Q. Let's pull out Exhibit No. 5 as well,
21 at the same time, so that you can show what the
22 line of cross-section is.

23 A. On the top map of Exhibit No. 5 the
24 cross-section is outlined in red.

25 Q. Briefly describe what Exhibit 5

1 contains.

2 A. Exhibit 5 contains three maps. The
3 upper map is the structure map, and the middle
4 and lower maps are isopach maps on individual
5 morrow sands.

6 Q. On your structure map is where the line
7 of cross-section is located, correct?

8 A. That's correct.

9 Q. And it goes from south to north?

10 A. That's correct.

11 Q. Go ahead and go back to the
12 cross-section and explain what that cross-section
13 shows.

14 A. Okay. The cross-section shows the
15 sands and how I interpret them to be continuous
16 or discontinuous across the area, tying the
17 Inexco well with our location and the nearest
18 offset, the Kaiser-Francis AM Federal No. 1.

19 The most significant part I would like
20 to draw your attention to is the D and E sand.
21 These are the most prolific sands in the Catclaw
22 and Avalon Morrow Field. They are responsible
23 for the greatest amount of productivity in
24 Sections 8, 9 and 16.

25 It is our hope, as is illustrated in

1 the cross-section, Exhibit 4, that we can, at the
2 proposed location, contact the E sand,
3 approximately 30 feet high to the Kaiser-Francis
4 AM Federal #1, as well as get an increased
5 thickness in the D sand, hopefully getting a
6 higher productivity.

7 Q. Are the D and E sands your primary
8 objectives?

9 A. Yes, sir, they are. There are other
10 sands there that do produce in the area, most
11 notably the C sand and the F sand. Those are
12 minor producing sands, but we hope to encounter
13 those, also.

14 Q. Can you tell the Examiner what the
15 cumulative production on the two wells shown on
16 the cross-section would have been?

17 A. Yes. If I can refer to Exhibit 5, the
18 numbers on the top of the well symbols, directly
19 above the well symbols, are estimated ultimate
20 recoveries of each of the wells.

21 Q. Now, which map are you looking at?

22 A. The top. All of the maps, but we can
23 refer to the top map for now, the structure map.

24 The Inexco 17 will have produced about
25 1.5 Bcf, a little over 1.5 Bcf of gas, and the

1 Kaiser-Francis AM Federal No. 1 has produced 3
2 Bcf of gas, and is now plugged back to the
3 Delaware.

4 Q. In terms of drainage, essentially, the
5 well to the north--what's the name of that?

6 A. The AM Federal.

7 Q. --the AM Federal, that has, in effect,
8 already produced all of the reserves it's going
9 to produce essentially, correct?

10 A. Yes. There is not much of a reentry
11 potential. They have plugged back. That well
12 has produced a significant amount of gas and has
13 probably taken a significant amount of gas from
14 the extreme northern portion of Section 17, also.

15 Q. And your location, in your opinion, is
16 the optimum place to bottom the well at?

17 A. Yes, sir.

18 Q. Can you explain to the Examiner why
19 that is so?

20 A. If we can refer, again, to Exhibit 5,
21 the top map, this is a structure map on the base
22 of the Middle Morrow shale.

23 Most significantly what it shows is
24 anticline plunging to the northeast, large
25 structural feature for the area.

1 I would like to draw your attention to
2 the ultimate production of the wells on the
3 anticline and just on the flank of it. The best
4 wells in the entire field are intimately
5 associated with that anticline; namely, the AM
6 Federal which we spoke about before, at 3 Bcf,
7 the well in Section 9, the BQ No. 1, which is the
8 northern Morrow well has produced over 6 Bcf,
9 which is on the anticline, and the other well to
10 the south, still on the anticline, is almost 2.5
11 Bcf.

12 When you get off that anticline and
13 into poorer sands, you start producing less gas,
14 below 2 Bcf. I believe the anticline is
15 responsible for increased productivity, probably
16 through increased porosity and permeability of
17 the sands that are draped over that anticline.

18 The bottomhole location of our Inexco
19 Federal No. 2 is designed to contact the apex
20 of the anticline at the highest point in that
21 quarter section.

22 Q. In terms of the E sand isopach, which
23 is the bottom map, is there any competitive
24 advantage you're going to have with respect to
25 whether or not you're going to drain to the east?

1 A. Yes. The E sand at the bottom of this
2 montage is an isopach with five-foot contours of
3 clean sand. The AM Federal had 20 feet of sand.
4 We hope to also encounter approximately 20 feet
5 of sand.

6 The offset to the east did not have any
7 E sand at all, and so did not significantly drain
8 E sand gas from that area. It's not likely that
9 anyone will try to drill for just five feet of
10 sand on the far west side of Section 16, so we
11 hope that this well will effectively
12 drain--recover all the remaining gas in that
13 quarter section.

14 Q. Mr. Brown, considering that the two
15 pools are right beside each other, the way
16 Section 17 is located and the way that the pools
17 are situated, is there any competitive advantage
18 that you see that will occur as a result of the
19 unorthodox bottomhole location?

20 A. I think the competitive advantage for
21 us would be that we can get closer to the access
22 of the anticline. The Avalon Morrow field, being
23 on a proration unit of 320 acres, those wells are
24 allowed to get 660 from the west line or from any
25 of the lines there, and that has presented a

1 competitive advantage to the other wells in that
2 area.

3 Several of the wells you can see in
4 Section 18 have been spaced very close to the
5 lease lines there, chasing what they felt was
6 adequate geology to make strong wells. And more
7 closer to home in Section 8, the AM Federal was
8 able to get 660 from the lease line. Even the
9 well in the north part of Section 16 is somewhat
10 unorthodox. They're crowding the west line at a
11 location of about 1850 from the west.

12 Being in the Avalon Morrow pool has
13 proven to be somewhat of a competitive advantage
14 versus the people in the Catclaw, because of the
15 legal locations.

16 Q. Would a penalty be justified in this
17 case, in your opinion?

18 A. I don't believe so. Barbara Fasken is
19 seeking no penalty, for two main reasons. One is
20 the cost that is going into this well that Mr.
21 Taylor alluded to. Barbara Fasken, for safety
22 reasons, has chosen not to drill within this
23 subdivision and to, essentially, force herself to
24 drill a directional hole.

25 We spoke about the increased cost of

1 this, to stand a better chance than decrease the
2 risk of not getting payout on this well and the
3 added cost, it will be necessary to bottom the
4 well in the optimum geologic positions.

5 Q. Mr. Brown, do you have anything further
6 concerning Exhibits 4 and 5?

7 A. No, sir.

8 Q. Mr. Brown, in your opinion, would
9 approval of this application be in the best
10 interests of conservation of oil and gas and the
11 prevention of waste?

12 A. Yes, sir.

13 MR. PADILLA: Mr. Examiner, we tender
14 Exhibits 4 and 5, and we pass the witness.

15 EXAMINER STOGNER: Exhibit 4 and 5 will
16 be admitted into evidence at this time.

17 EXAMINATION

18 BY MR. STOGNER:

19 Q. You said your primary zone of interest
20 was the D and E sands?

21 A. Yes, sir.

22 Q. What about the F and G sands? Will
23 those also be tested?

24 A. The F sand appears to be watering out.
25 The Inexco 17 No. 1, produced from the F sand, it

1 has since been plugged back. It is producing
2 only from the C and D sands now. So we believe
3 that because we'll be slightly lower than the No.
4 1 well, it is likely the F sand will be wet.

5 The G sand, throughout the entire area,
6 appears to be wet. There is no production in the
7 G sand.

8 Q. In preparing your map--and I'm looking
9 at the well in Section 16 in the northern half;
10 well, both of them, for that matter, but let's
11 refer over to Section 16--those two gas well
12 symbols that you show, are those actual Morrow
13 gas wells?

14 A. Yes, sir, those are Morrow gas wells
15 and they both produce solely from the D and E
16 sands.

17 Q. Now, those are in the Avalon Morrow
18 pool?

19 A. Yes, sir.

20 Q. Or the Catclaw Draw?

21 A. Those are in the Avalon Morrow.

22 Q. How about the gas well symbol--there's
23 two in Section 9, also. What about those?

24 A. I'm sorry. I thought we were referring
25 to Section 9.

1 Q. I was talking about 16, now I'm talking
2 about 9. Were you talking about 9?

3 A. I'm sorry, I was talking about Section
4 9. The wells in 16 are in Avalon. They're in
5 the Avalon field. If I could go back to the well
6 to the north in Section 16, it's producing from
7 the D sand and the A, B and C.

8 As you can see from the E sand isopach,
9 it does not have any of that sand.

10 And the well at the south half of 16 is
11 producing from the B, C and D sand. Both of
12 those wells' primary reserves are coming from the
13 D sand.

14 EXAMINER STOGNER: I have no other
15 questions of this witness at this time. Going
16 back to your first witness, and he can answer
17 from there, what was the name of the housing
18 addition to the north of Highway 285?

19 MR. TAYLOR: The McNew Subdivision.

20 EXAMINER STOGNER: How do you spell
21 that?

22 MR. TAYLOR: M-c-N-e-w.

23 EXAMINER STOGNER: McNew Subdivision.

24 MR. PADILLA: Mr. Examiner, I also have
25 to submit to you the notices that we submitted to

1 the offset operators.

2 EXAMINER STOGNER: One other question
3 of Mr. Taylor. How far is your surface location
4 off the highway, approximately?

5 MR. TAYLOR: It's 500 feet.

6 EXAMINER STCGNER: All right. Thank
7 you, sir. What have you just handed me, Mr.
8 Padilla?

9 MR. PADILLA: I've handed you the
10 notice that we sent the offset operators,
11 together with the return receipts for all of
12 those operators, certified return receipts,
13 mailing receipts.

14 EXAMINER STCGNER: Does anybody else
15 have anything further in this case? If not, Case
16 10826 will be taken under advisement. Thank you,
17 Mr. Padilla.

18 MR. PADILLA: Thank you.

19 (And the proceedings concluded.)

20

21


22

23

24

25

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 10826,
heard by me on 2/2/82, 1983.


Michael J. Stogner, Examiner
Oil Conservation Division


1 CERTIFICATE OF REPORTER

2
3 STATE OF NEW MEXICO)
4 COUNTY OF SANTA FE) ss.
5

6 I, Carla Diane Rodriguez, Certified
7 Court Reporter and Notary Public, HEREBY CERTIFY
8 that the foregoing transcript of proceedings
9 before the Oil Conservation Division was reported
10 by me; that I caused my notes to be transcribed
11 under my personal supervision; and that the
12 foregoing is a true and accurate record of the
13 proceedings.

14 I FURTHER CERTIFY that I am not a
15 relative or employee of any of the parties or
16 attorneys involved in this matter and that I have
17 no personal interest in the final disposition of
18 this matter.

19 WITNESS MY HAND AND SEAL September 30,
20 1993.
21

22
23 
24 CARLA DIANE RODRIGUEZ, RPR
25 CCR No. 4