

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING)
CALLED BY THE OIL CONSERVATION)
DIVISION FOR THE PURPOSE OF)
CONSIDERING:) CASE NO. 10,858
APPLICATION OF MITCHELL ENERGY)
CORPORATION)

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS
EXAMINER HEARING

BEFORE: JIM MORROW, Hearing Examiner

MAY 19 1994

April 28, 1994

Santa Fe, New Mexico

This matter came on for hearing before the Oil Conservation Division on April 28, 1994, at Morgan Hall, State Land Office Building, 310 Old Santa Fe Trail, Santa Fe, New Mexico, before Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

I N D E X

1		
2		
3	April 28, 1994	
4	Examiner Hearing	
5	CASE NO. 10,858	
6		PAGE
7	EXHIBITS	3
8	APPEARANCES	4
9	APPLICANT'S WITNESSES:	
10	<u>MARK STEPHENSON</u>	
11	Direct Examination by Mr. Kellahin	10
12	Examination by Examiner Morrow	35
13	<u>DON OLIVE</u>	
14	Direct Examination by Mr. Kellahin	38
15	Examination by Examiner Morrow	49
16	<u>BILL THOROUGHMAN</u>	
17	Direct Examination by Mr. Kellahin	52
18	Examination by Examiner Morrow	82
19	<u>PAT NOYES</u>	
20	Direct Examination by Mr. Kellahin	86
21	Examination by Examiner Morrow	96
22	<u>GARY L. HUTCHINSON</u>	
23	Direct Examination by Mr. Kellahin	99
24	Examination by Examiner Morrow	135
25	<u>CARL RICHARD</u>	
26	Direct Examination by Mr. Kellahin	144
27	Examination by Examiner Morrow	155
28	<u>DON OLIVE (Recalled)</u>	
29	Further Testimony	159
30	Further Examination by Mr. Morrow	161
31	REPORTER'S CERTIFICATE	164

* * *

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

E X H I B I T S

Identified Admitted

Exhibit 1	12	35
Exhibit 2	16	35
Exhibit 3	18	35
Exhibit 4	18	35
Exhibit 5	26	35
Exhibit 6	27	35
Exhibit 7	42	49
Exhibit 8	61	81
Exhibit 9	66	81
Exhibit 10	74	81
Exhibit 11	78	81
Exhibit 12	89	96
Exhibit 13	101	135
Exhibit 14	145	155
Exhibit 15	149	155
Exhibit 16	154	155

* * *

A P P E A R A N C E S

FOR THE DIVISION:

RAND L. CARROLL
Attorney at Law
Legal Counsel to the Division
State Land Office Building
Santa Fe, New Mexico 87504

FOR THE APPLICANT:

KELLAHIN & KELLAHIN
117 N. Guadalupe
P.O. Box 2265
Santa Fe, New Mexico 87504-2265
By: W. THOMAS KELLAHIN

* * *

1 WHEREUPON, the following proceedings were had at
2 1:03 p.m.:

3 EXAMINER MORROW: We'll call the hearing back to
4 order and call Case 10,858, which is the Application of
5 Mitchell Energy Corporation for a waiver of the salt-
6 protection string requirements of Order No. R-111-P for
7 certain wells, Lea County, New Mexico.

8 Call for appearances at this time.

9 MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin of
10 the Santa Fe law firm of Kellahin and Kellahin, appearing
11 on behalf of the Applicant, and I have six witnesses to be
12 sworn.

13 EXAMINER MORROW: All right, will all of you
14 please stand and be sworn?

15 (Thereupon, the witnesses were sworn.)

16 MR. KELLAHIN: Mr. Examiner, we have distributed
17 the exhibit book. It's the white binder in front of you,
18 and it contains in order all of the exhibits that each of
19 the witnesses will discuss this afternoon.

20 We have larger copies of some of those displays
21 before you.

22 The first one you're looking at is the BLM Potash
23 Map. This is the 1994 version. And what that simply means
24 is the interpretation of the Bureau of Land Management as
25 of 1994, as the distribution of the potash resources in

1 southeastern New Mexico and their interpretation of that
2 data.

3 There are several earlier versions of this map.
4 The one in existence and the one that most of us are most
5 familiar with is the 1984 map. The 1984 Potash Map is not
6 substantially different as to the external boundary that
7 you see on the 1994 Map.

8 The area in question that we're directing your
9 attention to this afternoon is found in Section 4, Township
10 20 South, 33 East.

11 I'll put this sticker on the BLM map, and it
12 shows a section that is almost all within what is
13 identified on the Potash Map as a barren area. It's the
14 pinkish shade of coloring on this display. And being in a
15 barren area, it has substantial significance to us and to
16 the experts that are going to explain those concepts to
17 you.

18 The BLM Potash Map is an entirely different
19 creature than the R-111 series of orders.

20 We are in R-111-P at this point, which was
21 adopted by this Commission in April of 1988.

22 The first R-111 orders began at the request of
23 the Oil Conservation -- the Commissioner of Public Lands
24 when he petitioned the Oil Conservation Division to call
25 some hearings, and those occurred back in January, 1951.

1 The reason was, the Land Commissioner was about
2 to issue some oil and gas leases in this portion of
3 southeastern New Mexico that the State owned, and the
4 potash industry was concerned that the leasing of those
5 lands for oil and gas purposes was going to adversely
6 affect their potash resources.

7 The Commissioner of Public Lands held a hearing,
8 and as a result of an industry study by the potash people
9 and the oil and gas industry, the R-111 order was adopted.

10 That original order has periodically been
11 extended and expanded to pick up additional acreage.
12 Originally it was a very small area, and as oil and gas
13 development expanded over the potash area, acreage was
14 added into the R-111. And so almost always when you see a
15 letter after R-111, it's because of a hearing to expand
16 geographically the area that's controlled by those rules.

17 It will be of significance to us to have you know
18 that prior to April of 1988, the barren area in Section 4
19 was not subject to R-111. None of the subsequent
20 expansions of R-111 included that barren area in the
21 northeast corner of the enclave until April of 1988.

22 The reason for the expansion and the subsequent
23 changes of some of the rules are going to be part of my
24 conversation with Mark Stephenson. Mr. Stephenson is our
25 first witness. He's an expert in his company with regards

1 to the permitting and approval of Mitchell's wells in New
2 Mexico and Texas, and particularly with regards to the
3 potash area. He's been involved in those meetings and
4 understands the rules, and I'm going to use him to help us
5 all understand exactly what Mitchell's project is and what
6 they're seeking to accomplish.

7 The exception we're asking is contained within
8 the concepts and provisions of R-111-P, and we're not the
9 first to ask. We are simply requesting approval to delete
10 the potash-protection string in this barren area where
11 other operators have already deleted that string.

12 Mr. Stephenson has a list of a substantial number
13 of wells that have been put in this category, where they
14 pose no risk to potash or miner safety and therefore do not
15 need the potash-protection string.

16 We've had a choice here. Sometimes you will see
17 an engineer that comes before you and he will talk about
18 all the different aspects of his profession. We've chosen
19 instead to bring the engineer that has the specific
20 expertise with each of those disciplines.

21 We're going to show you a reservoir engineer
22 who's done the reserve calculations and the economic
23 analysis of the project.

24 We're going to bring you a completion, operation
25 and production engineer whose specialty is to talk to you

1 about how he completes and produces these wells, so that
2 you'll be assured that they're done in a safe and efficient
3 fashion.

4 We've also brought the drilling expert of
5 Mitchell Energy, an engineer who does nothing else but
6 design well programs and assure that they're executed with
7 mechanical integrity. He's done perhaps 500 of them. He's
8 come here to show you what he's planned for Section 4.

9 In addition, we brought forward the geologic
10 manager from the Midland office of Mitchell to talk to you
11 about his exploitation concept, his geologic conclusions
12 with regards to the opportunity to recovery shallow oil
13 production out of the Yates interval in what's identified
14 as the West Teas Yates-Seven Rivers Pool.

15 We're looking at shallow oil, 3000, 3500 feet,
16 little if any gas production, low-volume production, low
17 cum oil. It's a development he wants to extend into his
18 section, and he wants to show you how he came up with his
19 concept.

20 In addition, we have brought to you as a
21 consultant a potash engineer who is an expert in potash
22 resources. He testified extensively before the Commission
23 in the Yates potash hearings. We've brought back Mr.
24 Hutchinson to testify today with regards to validating the
25 BLM's inference of this being a barren area, so that after

1 he concludes his testimony you will be assured that we're
2 in fact in an area that's barren of commercial potash. And
3 he can talk to you about the concerns the potash industry
4 has displayed in other areas of the enclave that are not an
5 issue for us this afternoon.

6 And so that's where we're going.

7 And if you'll permit me, I'll call Mr. Stephenson
8 at this time.

9 MARK STEPHENSON,

10 the witness herein, after having been first duly sworn upon
11 his oath, was examined and testified as follows:

12 DIRECT EXAMINATION

13 BY MR. KELLAHIN:

14 Q. For the record, sir, would you please state your
15 name and occupation?

16 A. My name is Mark Stephenson. I'm the manager of
17 production, regulatory affairs, for Mitchell Energy
18 Corporation.

19 Q. Mr. Stephenson, on past occasions have you
20 testified before this Division as an expert and qualified
21 in your capacity as a knowledgeable person with regards to
22 regulatory affairs in New Mexico and with the permitting
23 and compliance of rules and regulations for your company in
24 operations not only in New Mexico but in west Texas?

25 A. Yes, sir, I have.

1 Q. In addition, sir, have you been involved in study
2 groups, discussion groups and industry efforts with regards
3 to the issues involved in what we've described as the
4 R-111-P?

5 A. Yes, sir, for approximately the last two and a
6 half years I've served on the Oil and Gas Potash
7 Subcommittee of the New Mexico Oil and Gas Association, the
8 Independent Petroleum Association of New Mexico.

9 Q. As part of your representation of your company,
10 are you also familiar with the rules and regulations that
11 the Bureau of Land Management has established for drilling
12 wells on federal leases within the potash/oil area?

13 A. Yes, sir.

14 Q. In addition, have you made a study of and are you
15 familiar with the aspects of Section 4 insofar as they deal
16 with Commissioner of Public Lands, State of New Mexico,
17 properties?

18 A. Yes, I am. Yes, I have.

19 Q. Have you made yourself aware of who, to the best
20 of your knowledge, information and belief, are the potash
21 lessees that are entitled to notification of this case?

22 A. Yes, sir.

23 MR. KELLAHIN: We tender Mr. Stephenson as an
24 expert witness.

25 EXAMINER MORROW: We accept Mr. Stephenson.

1 Q. (By Mr. Kellahin) Let me have you, sir, turn to
2 what is the first display that we have in the exhibit book.
3 It's a foldout, if you will.

4 Before you describe to Examiner Morrow the
5 Mitchell plan, tell us the source of the information that
6 was used by you to generate what we've identified as this
7 base map.

8 A. Okay. I asked Mr. Olive, who's our district
9 geologist from Midland, to work with our drafting
10 department and put together a base map which would serve as
11 a frame of reference to give some background as to the area
12 in question, particularly to show the location of the
13 proposed wells from the nearest potash mines and to show
14 the other oil and gas development in the area.

15 Q. Have you independently satisfied yourself that
16 the information shown on this display is true and accurate?

17 A. Yes, sir, I have.

18 Q. Describe for us how you personally became
19 involved in the project.

20 A. Okay, in my capacity as manager of production and
21 regulatory affairs at Mitchell, it's my department's
22 responsibility to obtain the drilling permits from the
23 appropriate regulatory agencies.

24 At the time the decision was made to drill these
25 wells, we submitted drilling permit applications with the

1 OCD.

2 When the drilling permit applications were
3 submitted to the OCD office in Hobbs, they advised us that
4 in order for us to obtain an exception to the salt-
5 protection string provisions of R-111-P, it would be
6 necessary to come to Santa Fe and have a hearing.

7 Q. All right. Let's look at the map for a moment.
8 There's an area on the north side of the display that's got
9 a combination of green and yellow and blue, contained
10 within a section that looks like Section 4?

11 A. Yes, sir.

12 Q. What is that?

13 A. Okay, that is the leasehold in question here, and
14 the color coded in there shows different statuses of
15 ownership for the acreage in there.

16 Q. What's the orange dots?

17 A. The orange dots are the location of the proposed
18 wells.

19 Q. All right. When the project comes to you,
20 someone has made a decision in Section 4 that they propose
21 these nine wells in Section 4?

22 A. Yes, sir.

23 Q. What kind of wells are we dealing with?

24 A. We're dealing with shallow oil wells, a total
25 depth of approximately 3600 feet, and they're targeted for

1 the Yates formation.

2 Q. Based upon your information and knowledge of
3 regulatory affairs, what in your opinion is the pool as
4 designated by the Oil Conservation Division to which these
5 wells will be dedicated?

6 A. It would be the West Teas Yates-Seven Rivers
7 Pool.

8 Q. When we deal with that pool, what is the spacing
9 for wells?

10 A. Forty-acre spacing.

11 Q. And what kind of gas/oil ratios are you dealing
12 with?

13 A. 2000 to 1.

14 Q. What kind of producing rates?

15 A. 80 barrels a day allowable.

16 Q. All right. Your company has asked you to help
17 them permit and obtain the necessary approvals for these
18 wells, right?

19 A. Yes, sir.

20 Q. Some of the acreage is federal, part of it's fee,
21 some of it's state. When we look at Section 4, how do we
22 tell the difference?

23 A. Okay, in section 4 we've got a legend here at the
24 bottom of the plat that's going to help us work through
25 that.

1 The fee acreage is shown in the south half of the
2 southeast quarter of section 4, and I've indicated on the
3 map that -- I've handwritten in there, Fee Acreage, with a
4 little arrow.

5 We do have a slight drafting error. In the
6 legend where it shows a horizontal set of lines in there,
7 which would be for fee acreage, actually, within Section 4
8 it's got diagonal lines. But that acreage in the south
9 half of the southeast quarter is fee acreage.

10 The acreage that's shown by diagonal lines
11 which -- part of it would be in the northeast quarter of
12 the southwest quarter, and the remainder of it would be in
13 the northeast quarter of Section 4, is shown by diagonal
14 lines, that's federal acreage.

15 And the remainder is state acreage.

16 Q. On the federal acreage, you submit your
17 applications for permits to drill to what agency?

18 A. To the Bureau of Land Management Office in
19 Carlsbad, New Mexico.

20 Q. And has that been done?

21 A. Yes, sir, it has.

22 Q. And what is the status of approval of your APDs
23 for those wells in Section 4 on federal acreage?

24 A. The BLM is currently holding those APDs, pending
25 the outcome of this hearing.

1 Q. All right. Other than the outcome of this
2 hearing, to the best of your knowledge are all of those
3 applications in full compliance with the regulatory
4 requirements of the BLM?

5 A. Yes, sir, I believe so.

6 Q. As to the state tracts, what have you done about
7 your APDs?

8 A. Those APDs are also in the OCD district office,
9 and again, they're waiting on the outcome of this hearing.

10 Q. Except for the decision by the Division
11 concerning the deletion of the potash-protection string, to
12 the best of your knowledge, information and belief are
13 those APDs full and complete and ready to be approved?

14 A. I think so, yes, sir.

15 Q. All right, sir. Before we talk about the rest of
16 the information on the display, let's talk about the
17 regulatory framework of R-111-P, as you understand it, and
18 what the mechanism is for your management of these APDs.

19 A. All right, sir.

20 Q. If the Examiner will turn behind -- Well, let's
21 do another one first. I've got a better idea.

22 If you'll turn behind Exhibit Number 2 and look
23 at the reference map, what is contained behind Reference
24 Tab Number 2?

25 A. Reference Tab Number 2 contains a listing of

1 wells in three Yates-Seven Rivers pools in this area. They
2 would be the Yates-Seven Rivers pools between the proposed
3 wells and the nearest potash mines. And what we've done
4 is, we've compiled a tabulation of the well casing
5 summaries.

6 Q. Why have you done that?

7 A. By review of the OCD records, and we've attached
8 a copy of the completion reports from the OCD or BLM
9 offices as part of this exhibit.

10 Q. What does it show?

11 A. What this exhibit shows is that the vast majority
12 of wells that have been drilled to the Yates-Seven Rivers
13 formation in this area have been drilled without a salt-
14 protection string. Some summary information indicates that
15 only 10 of 53 wells in the Yates-Seven Rivers Pool in this
16 area actually have had a salt-protection string set.

17 Q. Is there any way to relate the data behind
18 Exhibit 2 to the base map, Exhibit 1?

19 A. Yes, sir, we've indicated the wells that have no
20 salt-protection string set by a black circle around the
21 wells.

22 There are three cases where we have a circle
23 around a well, and that circle was put there in error, and
24 those wells actually did have a salt-protection string. So
25 what I've done is, beside each well I've written the

1 acronym "SPS" for salt-protection string.

2 One of those wells would be the southernmost well
3 in Section 9, Section 9 being just south of Section 4.
4 There's also two wells in Section 16, which is just south
5 of Section 9, which I've written "SPS" by those wells, had
6 salt-protection strings. And the Yates Teas -- or the West
7 Teas Yates-Seven Rivers Pool, out of 20 wells in that pool
8 only seven of those wells had a salt-protection string set.

9 Q. Mr. Stephenson, do you find in your research
10 there is any instance in which an operator has petitioned
11 anybody for deletion of the potash-protection string for a
12 shallow Yates-Seven Rivers well and been denied?

13 A. No, sir.

14 Q. Let's turn now to Exhibit Tab Number 3. If
15 you'll look behind that tab, what's contained in the
16 Exhibit book at that point?

17 A. It's a copy of OCD Order R-111-P.

18 Q. Are you familiar with R-111-P?

19 A. Yes, sir, I am.

20 Q. I'm going to talk to you about the area that was
21 affected between R-111-O and the Commission's adoption of
22 R-111-P in April of 1988. And to do that, Mr. Stephenson,
23 if you'll turn behind Exhibit Tab Number 4 and look at the
24 first colored display --

25 A. Yes, sir.

1 Q. -- do you have that?

2 A. I do.

3 Q. That colored display is a reduced copy of what,
4 sir?

5 A. It's a reduced copy of the 1984 BLM Potash Map.

6 Q. For purposes of my question, I'd like you to look
7 at that map. There's a code or a legend on the lower
8 right-hand corner. The last of those legends refers to a
9 dark black line. Do you see that?

10 A. Yes, I do.

11 Q. What's that legend mean?

12 A. That indicates the outline of the R-111 area.

13 Q. Is that black line reproduced on the display of
14 the Bureau of Land Management 1984 map?

15 A. Yes, sir, it is.

16 Q. All right. Find for us Section 4 on that map and
17 tell us where it lies in relation to the R-111 orders prior
18 to the entry of R-111-P.

19 A. Okay. Again, Section 4 is in the northeast
20 portion of the potash enclave. I've written a "4" in what
21 is shown to be that red barren area in the northeast
22 portion of the enclave. That's section 4 in question and
23 that's located east and north of the R-111 outline. So
24 it's outside the R-111 area.

25 Q. Is it a correct interpretation of the R-111

1 process that prior to R-111-P your company could have
2 drilled these wells in Section 4 without regard to any of
3 the casing or cementing requirements of the R-111 orders?

4 A. Yes, sir, that's my understanding.

5 Q. All right. What happened in R-111-P then?

6 A. R-111-P expanded the designated potash area, and
7 my understanding, the intent of the expansion was to make
8 the R-111 area consistent or coterminus with the BLM-
9 designated potash area --

10 Q. All right.

11 A. -- so you'd have one consistent outline.

12 Q. As best was possible or practicable then,
13 R-111-P, at that point, the outer boundary of R-111-P was
14 generally contiguous with what the BLM was using for the
15 outer boundary of the potash area?

16 A. Yes, sir, that's correct.

17 Q. All right. In exchange for extending or
18 expanding R-111, was there anything drafted into R-111-P
19 that provided the operators of oil and gas wells from any
20 kind of relief from the stringent requirements of the
21 casing and cementing program, if they were closer to active
22 mining operations in the enclave?

23 A. Yes, sir, there's specific provisions in the
24 Order that allow operators to apply for a waiver of the
25 salt-protection string.

1 Q. Show us where they are.

2 A. Okay. Let's turn back to Tab Number 3, and if
3 you'll please turn to page 4 of the Order --

4 Q. All right, sir.

5 A. -- under paragraph (22) on page 4, that paragraph
6 reads that "Expansion of the R-111 area to coincide with
7 the KPLA will bring under the purview of this order areas
8 where potash is either absent or non-commercial and such
9 areas should be granted..." and I emphasize the word
10 "should" "...be granted less stringent casing, cementing
11 and plugging requirements, at the discretion of the OCD
12 district supervisor."

13 Q. Is that the only place where that concept is
14 introduced into the Order?

15 A. No, sir, it's not.

16 Q. Where else do we look?

17 A. If we'll turn to page 5 and look under C (4).

18 Q. All right, sir, what does that say?

19 A. That paragraph reads, "The Division's District
20 Supervisor may waive the requirements of Sections D and
21 F..." and those sections relate to the casing and cementing
22 programs "...which are more rigorous than the general rules
23 upon satisfactory showing that a location is outside the
24 Life of Mine Reserves (LMR) and surrounding buffer zone as
25 defined hereinbelow and that no commercial potash resources

1 will be unduly diminished."

2 Q. With that provision integrated into the Order,
3 what did you do to determine whether or not your Section 4
4 and these shallow oil wells had the opportunity to be
5 granted a waiver or an exception from the potash-protection
6 string under R-111-P?

7 A. Okay, we contacted representatives of the Bureau
8 of Land Management and the State Land Office, and we also
9 contacted representatives of the potash lessees in the
10 area.

11 Q. All right. Does R-111-P provide a process or a
12 mechanism by which you make those contacts and set up a
13 protocol or a procedure for providing notice to those
14 people and an opportunity for objection?

15 A. Yes, sir, it does.

16 Q. Describe for us what the procedure is.

17 A. Okay. At the time you file your application for
18 a permit to drill with the OCD, you're required to give
19 notice of that application to all potash lessees within one
20 mile of the proposed wells.

21 Q. How do you make that determination?

22 A. Well, you go to the records and check for
23 ownership of the potash leases.

24 Q. All right. And did you have that done or cause
25 that to be done?

1 A. Yes, sir, we did.

2 Q. And have you satisfied yourself that that was
3 done accurately?

4 A. Yes, sir, we have.

5 Q. And you subsequently had maps that showed
6 precisely who the potash lessees are in the area?

7 A. Yes, we do.

8 Q. All right. Did you notify pursuant to R-111-P
9 the potash lessees within a mile?

10 A. Yes, sir, we did.

11 Q. And under R-111-P, after notification they're
12 entitled to object, provided they do so within 20 days?

13 A. That's right.

14 Q. And did you receive any objection from any potash
15 lessee within the time required under the rule?

16 A. We did receive one letter from Mississippi
17 Chemical Corporation that initially indicated they had an
18 objection, but upon subsequent conversation with them they
19 withdrew that objection.

20 Q. All right, sir.

21 A. And we do have a cop of that letter that will be
22 part of the record.

23 Q. Define for us what the concept is of an LMR, a
24 life of the mine. What does that mean?

25 A. Okay, the basic concept behind the life of mine

1 reserve designation, as I understand it, is, the potash
2 lessees will designate what they consider to be their
3 minable potash reserves -- their crown jewels, if you will
4 -- and they'll file maps with the OCD -- not the OCD, but
5 with the State Land Office.

6 Q. As well as the BLM?

7 A. And the BLM, setting out those life-of-mine
8 reserve areas which would be protected by the BLM and the
9 OCD and the State Land Office.

10 Q. Does the filing of that technical data and the
11 designation of an LMR set up any kind of confidentiality or
12 proprietary arrangement between the potash operators and
13 the Land Office and the BLM?

14 A. Yes, sir, it does.

15 Q. How, then, are you as an oil and gas operator to
16 know if your proposed wells are in an LMR or within a
17 buffer area?

18 A. All we can do is to make contact with
19 representatives of the agencies and/or potash lessees and
20 rely on them to tell us whether or not we're within that
21 LMR or buffer zone.

22 When you contact the agencies, because of the
23 confidentiality provisions, they're not at liberty to
24 describe the area covered by an LMR or buffer zone, but
25 they can tell you whether or not a proposed well location

1 would fall either within the LMR or its buffer zone.

2 Q. And did you make those contacts with the BLM and
3 with the State Land Office?

4 A. Yes, sir.

5 Q. And what response did you receive?

6 A. That our locations are not within the buffer zone
7 or LMR of any potash lessee.

8 Q. All right. There's two different buffer zones in
9 R-111-P?

10 A. Yes, sir.

11 Q. Describe for us what each means.

12 A. Okay. There's two different buffer zones, and
13 they're tied to the depth of the wells. There's a quarter-
14 mile buffer zone that's been established for what is
15 described as shallow wells, and those wells would be wells
16 that are drilled above the base of the Delaware formation
17 or 5000 feet, whichever is less. Anything below that depth
18 would be considered a deep well, and you'd be subject to a
19 half-mile buffer zone.

20 Q. In either instance, your proposal is more than a
21 mile away from an LMR, is it?

22 A. More than a half mile from a buffer zone of an
23 LMR, yes.

24 Q. A half mile, all right.

25 Let's go back to Exhibit 1. When we look at

1 Section 4, based upon the information that you have
2 studied, how far do we have to travel before we get to a
3 potash mine that's either active or inactive?

4 A. The closest mine would be five miles to the
5 southwest. That would be the New Mexico Potash Mine.

6 Q. There's another portion of the display that
7 references a Mississippi Chemical mine that's inactive?

8 A. Yes, sir, that would be 5.3 miles west of Section
9 4. That mine is currently inactive.

10 Q. Okay. Let's turn to the information behind
11 Exhibit Tab Number 4 now.

12 A. All right, sir.

13 Q. You've talked about the first display, that's the
14 1984 map with the R-111-0 line on it. What's the next
15 display?

16 A. The next display is the 1993 BLM Potash Map,
17 which is the same map we have up here, the large-scale map
18 we have up here on the easel.

19 Q. All right, sir. Let's look at the information
20 behind Exhibit Tab Number 5. Identify and describe what
21 you've shown.

22 A. Okay, that is a plat showing the ownership of the
23 potash minerals. It's a nine-section plat around Section
24 4, and it shows the ownership of the potash minerals.

25 Within Section 4 in the south half of the

1 southeast quarter we have unleased potashed minerals. In
2 the northeast quarter of the section we have some unleased
3 federal minerals. And also in the northeast quarter of the
4 southwest quarter we have some unleased minerals. The
5 remainder of the section is under lease to Mississippi
6 Potash, also known as Mississippi Chemical Company.

7 Q. Behind the initial display, do you have
8 confirming information obtained from Federal Abstract
9 Company verifying the ownership of the various leases?

10 A. Yes, sir, we did -- On April the 20th, the
11 Federal Abstract did a record check to verify that as of
12 that date this ownership was correct.

13 Q. All right. Turn now to Exhibit Tab Number 6, and
14 let's look at the first item of information behind Exhibit
15 Number 6.

16 A. All right, sir.

17 Q. What's there?

18 A. That is a letter dated October 22, 1993. It's a
19 letter I sent, it's a transmittal letter I sent with a copy
20 of the applications for permit to drill to all the potash
21 lessees.

22 We also sent notice to the mineral owners in the
23 south half of the southeast quarter of Section 4, which
24 actually probably goes beyond the requirements of R-111-P,
25 as far as notice is concerned, but out of an abundance of

1 caution we gave notice to those mineral owners.

2 We also sent a copy to all the appropriate
3 regulatory agencies, including the State Land Office, the
4 -- both the district office and Santa Fe office of the OCD,
5 and the Carlsbad office and Roswell office of the Bureau of
6 Land Management.

7 Q. Did you mail these -- cause these notices to be
8 mailed by certified mail, return receipt?

9 A. Yes, sir, we did.

10 Q. And this will comply with the notice requirements
11 of R-111-P?

12 A. Yes, sir.

13 Q. All right. Behind that you have copies of the
14 green cards showing receipts of some of the notices?

15 A. Yes, sir.

16 Q. All right. And after that, there is a letter of
17 February 21st of 1994?

18 A. That's correct.

19 Q. Why is that included in the exhibit book?

20 A. The reason that we've included that letter is, if
21 we can look back at Tab 5 for just a second, to the west of
22 Section 4 and Section 5, the section below that, south of
23 that, Section 8, Section 32, we show both IMC Fertilizer,
24 Inc, and Noranda Exploration Corporation as a potash
25 lessee.

1 And the reason being is that for some time the
2 current potash lessee, Noranda Exploration, Inc., has been
3 undergoing some negotiations with IMC to assign their
4 leasehold to IMC. And based on a conversation I had with
5 Mr. Frank Condon with Noranda Exploration concerning our
6 proposed wells, Mr. Condon advised me of the status of
7 their negotiations and referred me to Mr. Dan Morehouse
8 with IMC. He said that they were now referring all
9 inquiries relating to oil and gas activity in their potash
10 area to IMC, based on their continuing efforts to assign
11 that acreage to IMC.

12 So --

13 Q. All right. You could have stopped right there
14 under R-111-P. You had no obligation under the rule to
15 contact IMC, did you?

16 A. No, sir, we didn't.

17 Q. But you went ahead and did that, didn't you?

18 A. Yes, sir.

19 Q. All right. And what response?

20 A. We received a letter back from IMC, and it's --
21 If you'll turn in your exhibit book -- You'll have to pass
22 a couple letters from the Mississippi Potash Company, but
23 if you'll turn back in there, there's a letter dated April
24 22nd, 1994 from IMC. And the first paragraph of that
25 letter from Mr. Dan Morehouse with IMC, the next to the

1 last sentence of the first paragraph indicates that "IMCF
2 is in the process of acquiring potash leases in this area.
3 The LMR of the existing orebody extends from the west to a
4 line approximately one-half mile west of Section 4."

5 It also goes on to state, in the first sentence
6 of the next paragraph, that Section 4 is within an area
7 that allows for the consideration of removing the salt-
8 protection string of casing, and it says, IMC has no
9 expertise on casing integrity but will rely on the NMOC's
10 expertise and their mandate to ensure the safety of others
11 from the hazards of oil and gas operations in area.

12 And I'd just like to point out, in my
13 conversations with Mr. Morehouse, it was actually Mr.
14 Morehouse that pointed out to me that Section 4 was outside
15 the old R-111 area. And based on that fact, he did not
16 believe that IMC would have any objection to this
17 Application.

18 Q. Okay. Let's turn now to the permitting process
19 with the State of New Mexico and the Bureau of Land
20 Management.

21 When we look at the exhibit book after the IMC
22 letter, there's a number of letters in here --

23 A. Yes, sir.

24 Q. -- over the signature of Mr. Sexton that indicate
25 various notations. What do those mean?

1 A. Okay, those letters are letters that were sent to
2 the State Land Office here in Santa Fe by the OCD office in
3 Hobbs. And the purpose of the letters -- If you'll look
4 down at the bottom of the letters, the purpose of the
5 letters was to indicate whether or not the proposed well
6 location is within either an LMR or the buffer zone of the
7 LMR.

8 And in each one of these letters it indicates
9 that none of the locations are within either the LMR or
10 buffer zone.

11 And I should like to point out that there's seven
12 wells within Section 4 that are either on state or federal
13 acreage, so they would be subject to the approval of the
14 OCD. We have letters from the State Land Office, OCD,
15 indicating that we're not within the half-mile buffer zone
16 or LMR in six out of those seven cases.

17 The one location that we were not able to get a
18 letter on, apparently because they were not able to find
19 it, would be the well located in Unit Letter O, Section 4,
20 which is actually further away from the LMR than either
21 Well Number 9 or Well Number 10 would be, so I think it's a
22 very safe assumption to make that that well location also
23 would not be within a half mile of either the buffer zone
24 or LMR.

25 Q. During the course of processing your applications

1 with the OCD, a policy or practice change was made such
2 that instead of having the district supervisor of the OCD
3 grant a waiver of the potash-protection string, that
4 situation was deferred to Santa Fe?

5 A. Yes, sir, that's correct.

6 Q. And the deference of that decision to Santa Fe
7 has caused us to seek a hearing before the Examiner so we
8 could present the technical data in that format?

9 A. That's right.

10 Q. All right. After the permit letters from the OCD
11 showing that in each instance you're beyond the buffer and
12 beyond the LMR, there's a certificate of mailing and
13 compliance with the notice procedures for the OCD hearings.
14 Do you find that in your exhibit book?

15 A. Yes, sir, I do.

16 Q. Have you had a chance to look at that and satisfy
17 yourself that all the right people got all the right
18 notices for this hearing?

19 A. Yes, sir, I have.

20 Q. As a result of notifications for this hearing,
21 are you aware of any objection that has been filed by any
22 party of interest to the approval by this Examiner of this
23 Application?

24 A. No objection that has not been withdrawn.

25 MR. KELLAHIN: All right, sir. That concludes my

1 examination of Mr. Stephenson.

2 We move the introduction of his Exhibits 1
3 through 7 -- I'm sorry, 1 through 6.

4 THE WITNESS: Mr. Kellahin, if I may, there's one
5 more --

6 MR. KELLAHIN: Did we miss one?

7 THE WITNESS: Yeah, there's one more point I'd
8 like to make before we move on.

9 Mr. Examiner, if I could get you to turn back to
10 Tab Number 2, which is the well casing summary --

11 EXAMINER MORROW: Is that the top page or all
12 that mess behind it?

13 THE WITNESS: Just the top page is all I want to
14 refer you to.

15 There are four wells listed at the top of the
16 exhibit that were drilled by Stevens and Tull, and each of
17 those four wells was drilled subsequent to the adoption of
18 Order R-111-P, the expanded area. The most recent of those
19 wells was spudded on April 1st of 1994, this month.

20 All those wells are located on federal acreage,
21 so they're subject to BLM approval. None of those wells
22 have had a salt-protection string set in those.

23 So here we have a situation where very recently
24 another operator in the section due south of us who has two
25 wells that are 330 feet off our lease line has drilled

1 wells one -- very recently without the salt-protection
2 string.

3 EXAMINER MORROW: Now, are those on Exhibit 1?

4 THE WITNESS: One of those wells would be located
5 990 feet from the east line and 330 feet from the north
6 line of the section. That's the most recent well that was
7 spudded April 1st.

8 There's also another well that's located 330 feet
9 from the north line and 2310 from the west line, and that
10 well was drilled in May of last year.

11 EXAMINER MORROW: You're in the West Teas Pool?

12 THE WITNESS: Yes, sir, there in Section 9.

13 EXAMINER MORROW: Well, all those have a black
14 circle around them, most of them.

15 THE WITNESS: Yes, sir.

16 EXAMINER MORROW: What does that mean?

17 THE WITNESS: The black circle indicating that
18 they were drilled without a salt-protection string.

19 EXAMINER MORROW: Okay, without. Okay. Salt-
20 protection string would be about 2500 feet or so?

21 THE WITNESS: Yes, sir, that's correct.

22 EXAMINER MORROW: And all of that is on the BLM?

23 THE WITNESS: All of that is federal acreage,
24 yes, sir.

25 EXAMINER MORROW: Some of them, at least, have

1 been drilled this year?

2 THE WITNESS: That's right.

3 EXAMINER MORROW: Was there anything else? I got
4 started asking questions before I should have, probably.

5 THE WITNESS: No, sir, that was it. That's the
6 only point I wanted to make.

7 MR. KELLAHIN: I would like to move the
8 introduction of Mr. Stephenson's Exhibits 1 through 6.

9 EXAMINER MORROW: One through 6 will be admitted
10 into the record.

11 THE WITNESS: Thank you.

12 EXAMINER MORROW: Now, let's see, I had some
13 questions.

14 EXAMINATION

15 BY EXAMINER MORROW:

16 Q. You had -- You've already gotten some APDs
17 approved in Section 4 by BLM; is that correct?

18 A. No, sir. Those APDs we filed with the BLM are
19 pending the outcome of this hearing. We have drilled one
20 well in Section 4, which is in unit letter O, and it's got
21 a number "5" by it.

22 Q. Yeah.

23 A. That well was originally a deep well, and it did
24 have a salt-protection string in it, so we were able to
25 drill that well. It has recently been recompleted to the

1 Yates formation.

2 Q. Now, several of these wells on Exhibit Number 2,
3 the first page, were older wells, it looks like, that were
4 drilled maybe before there were any requirements. Is
5 that -- Some of them in 1941 and 1940 and...

6 When did R-111-P come into existence? Do you
7 know? Or R-111, rather?

8 A. The original R-111 order?

9 Q. Yes, sir.

10 A. I'll have to defer to Mr. Kellahin on that.

11 MR. KELLAHIN: November 9th of --

12 EXAMINER MORROW: We found a July of 1955,
13 that's --

14 MR. KELLAHIN: Yeah, it's 1955, yes, sir.

15 EXAMINER MORROW: -- Rand did. Okay.

16 MR. KELLAHIN: And then R-111-A was October of
17 1955, so we did two of them real quick.

18 Q. (By Examiner Morrow) So let's see. How far --
19 Do you know how far these would be from the buffer zone? I
20 guess --

21 A. My understanding --

22 Q. -- actually it's about half a mile?

23 A. Yes, sir, Section 4, the west line of Section 4,
24 would be approximately one-half mile from the buffer zone
25 or one mile from the LMR proper.

1 Q. Okay. Well, now, this is a barren area in
2 Section 4, I believe. Is it -- This new map even indicates
3 that.

4 A. Yes, sir, there's been essentially no change as
5 far as the status of the barren area from the 1984 Potash
6 Map to the 1993 Potash Map.

7 Q. Did any of them indicate to you why they wanted
8 the leases on that or...

9 A. Many of those leases are very old.

10 EXAMINER MORROW: Old leases. Do you have any
11 questions?

12 MR. CARROLL: Shakes head.

13 EXAMINER MORROW: Thank you.

14 MR. KELLAHIN: Mr. Examiner, at this time we'll
15 call Mr. Don Olive. Mr. Olive is the geologic manager from
16 Midland that I described earlier.

17 EXAMINER MORROW: I did have one more question.

18 Q. (By Examiner Morrow) Mr. Stephenson, when did
19 you learn that that policy had changed in regard to
20 district approval of these exceptions, or district
21 consideration of these exceptions?

22 A. I believe it was in September of 1993, Mr.
23 Morrow.

24 Q. September of 1993. And you were advised verbally
25 by Mr. Sexton; is that correct?

1 A. Yes, sir, we did receive a letter from Mr. Sexton
2 also. We'd be happy to give you a copy of that if you
3 require it.

4 EXAMINER MORROW: Okay.

5 DON OLIVE,

6 the witness herein, after having been first duly sworn upon
7 his oath, was examined and testified as follows:

8 DIRECT EXAMINATION

9 BY MR. KELLAHIN:

10 Q. Mr. Olive, for the record, would you please state
11 your name and occupation?

12 A. My name is Don Olive. I'm district development
13 geologist for Mitchell Energy Corporation.

14 Q. Mr. Olive, you're going to have to speak up.
15 This microphone doesn't amplify your voice; it just helps
16 the court reporter with his --

17 A. Okay. Don Olive --

18 Q. -- preservation of your words and wisdom, and so
19 you'll have to jump the volume.

20 A. Don Olive, district development geologist for
21 Mitchell Energy.

22 Q. Summarize for us your education, sir.

23 A. I graduated from Texas Tech University in 1979
24 with a BS in geology.

25 Q. Give us a summary of your employment experience

1 as a petroleum geologist.

2 A. I worked for two and a half years for Manzano Oil
3 Company, and I have worked 12 1/2 years for Mitchell Energy
4 Corporation, for a total of 15 years in the oil and gas
5 industry.

6 Q. What is it that you do now?

7 A. I am supervisor of all development, geological
8 development work in the Midland office.

9 Q. Does that work include the project we've
10 identified that Mitchell proposes in Section 4?

11 A. Yes, sir.

12 Q. How did you become personally involved in that
13 project?

14 A. We had drilled several wells in the area. We
15 originally drilled in Section 4 the Scharbauer 4 State
16 Number 1, and geological work was done on all formations
17 from -- all potential producing formations from the Morrow
18 all the way up through the Yates.

19 We felt like in the Yates we had excellent
20 possibilities to extend commercial production from the Teas
21 West Yates-Seven Rivers field to the -- should be able to
22 extend commercial production to the north into Section 4.

23 Q. That work was either done by you personally or in
24 your supervision of the other geologists that work for you
25 within that division of your company?

1 A. Yes, sir.

2 Q. And based upon that work, have you been able to
3 reach certain geologic conclusions about the feasibility of
4 this project?

5 A. Yes, sir, we have quite a bit of well control.
6 We have a producing well, now, from the pool. It appears
7 to be commercial. And we feel like, based on all of this,
8 that we think we have an excellent opportunity here to
9 drill multiple wells in Section 4.

10 MR. KELLAHIN: We tender at this time Mr. Olive
11 as an expert petroleum geologist.

12 EXAMINER MORROW: Yes, sir, we accept Mr. Olive's
13 qualifications.

14 Q. (By Mr. Kellahin) At the time you're studying
15 this project, is there existing production out of the West
16 Teas Pool?

17 A. Yes, sir.

18 Q. And that production lies to the south in Section
19 16?

20 A. Yes, sir.

21 Q. Is Section 4 totally within your control or
22 Mitchell's control as an operator?

23 A. Yes, sir.

24 Q. When we're looking at the West Teas Pool,
25 describe for us geologically the creature we're looking at.

1 What is it?

2 A. We have production from the Seven Rivers
3 formation, up high on the structure to the south.

4 We additionally see production from the Yates --
5 actually throughout the Yates, from the lower Yates, middle
6 Yates, upper -- to the very upper part of the Yates.

7 The Seven Rivers production appears to be
8 structurally controlled.

9 The Yates production -- lower Yates is
10 structurally controlled for the most part, I think. And
11 the upper Yates, the interval that we're dealing with here,
12 is stratigraphically controlled.

13 Q. All right. So when you're looking for your
14 geologic opportunity in Section 4, despite the fact that
15 the West Teas Pool includes not only the Yates and the
16 lower portion, being the Seven Rivers, you have determined
17 geologically that your only opportunity is going to be in
18 the Yates portion of the pool?

19 A. Yes, sir. When we drilled the Scharbauer Number
20 4, we did not encounter any shows in the Seven Rivers. We
21 had a show in one of the lower Yates sands which produces
22 structurally higher up. We production-tested this, and it
23 swabbed water.

24 Q. What's the depth of this formation -- or these
25 zones in the Yates?

1 A. Approximately 3200 feet.

2 Q. When we begin to look at the details that support
3 your conclusion, are we going to look at the Yates as a
4 single zone or unit?

5 A. No, sir, we have broken this into three separate
6 producing intervals, separated by permeability barriers,
7 all three of which are productive in the area, but various
8 ones -- at some places two produce, some places all three.
9 But they appear to be separate reservoirs.

10 Q. Is this wildcat oil exploration?

11 A. No, sir, this is development.

12 Q. The existing pool is immediately to the south,
13 and you're seeking to extend it into Section 4?

14 A. Yes, sir.

15 MR. KELLAHIN: All right, sir.

16 Mr. Examiner, we've taken Mr. Olive's montage,
17 which is Exhibit Number 7, and we're going to talk about
18 its individual parts. You have in your exhibit book
19 another copy of that same display. Some of the details, I
20 think, are too hard to see with the distance involved, but
21 you do have another copy.

22 EXAMINER MORROW: Okay.

23 Q. (By Mr. Kellahin) Let's talk about the range of
24 expectation. As a geologist, are you working with
25 reservoir engineers in your company to determine what is

1 the expectation of the ultimate recovery that you might
2 achieve from this Yates portion of the pool?

3 A. Yes, sir, we work very closely together.

4 Q. Give us a number that we can use for now until we
5 talk to the reservoir engineer, so that we can understand
6 the magnitude of potential recovery that you're trying to
7 achieve in Section 4.

8 A. Based on my experience in this area, as well as
9 other Yates areas, I like to see at least 50,000 barrels
10 cumulative per well to be considered economic.

11 Q. In terms of oil potential in the Yates, we're
12 looking at 50,000 barrels of oil, total cumulative
13 production per well?

14 A. Yes, sir.

15 Q. That's the framework in which you've made your
16 study?

17 A. Yes, sir.

18 Q. All right. Let me have you go to the montage
19 now, and let's talk about the cross-section.

20 If you'll stand to the side of it there, so that
21 the Examiner can see where you're pointing to, and if
22 you'll wait just a second we'll let the court reporter
23 change his paper. Are you okay, Steve?

24 Let's start with the cross-section. And before
25 we look at that display, take us to the structure map on

1 the montage and show us the line of cross-section, starting
2 with the north and going south.

3 A. This is a cross-section on the top of the Yates
4 formation, which is this heavy black line that you see
5 right here, and this cross-section runs from south to
6 north. From this well right here -- it's probably hard for
7 you to see -- it runs right across through the middle of
8 the field, down the nose of the structure all the way up to
9 our Scharbauer Number 4.

10 Q. All right. Let's go to the cross-section now and
11 find one of the logs on the cross-section that we can use
12 as an example. Which one do you want to pick?

13 A. The one in the middle.

14 Q. And what's the well name, so we know what we're
15 looking at?

16 A. The Stevens and Tull Federal "9" Number 2. This
17 is located in proration unit B of Section 9.

18 Q. All right. Start at the top of the log for that
19 well and go down and tell us what the color codes mean.

20 A. The purple that you see on top is interpreted to
21 be the Tansil formation. This should be for the most part
22 anhydrite.

23 Q. Why does that have any significance?

24 A. Because anhydrite is a very dense formation, very
25 tight formation. It acts in a -- Well, let's say very low

1 permeability. This is interpreted to be the seal for the
2 entire producing interval. This should be the very
3 uppermost limit of any production in the area.

4 Q. At the base of that color code, you've drawn a
5 horizontal line in black and labeled it. What's the label?

6 A. This is the top of the Yates formation.

7 Q. All right. In that wellbore now, starting at the
8 top of the Yates, take us down to the next horizontal line
9 and tell us what that area defines.

10 A. We have broken this, as I said earlier, the upper
11 Yates, into three producing intervals. We have the upper
12 zone, the smaller black line you see just below the top of
13 the Yates is the top of the middle zone, and then the next
14 one is the top of the lower zone.

15 In this particular wellbore we have all three
16 sands represented, and the middle and the lower produce,
17 are perforated.

18 Q. That's your target?

19 A. Yes, sir.

20 Q. Those three zones of the Yates?

21 A. Yes, sir.

22 Q. As a geologist, how do you evaluate the log to
23 determine where in that log lies your best opportunity for
24 production?

25 A. We rely heavily when we drill these wells on the

1 mud log, but probably our most important tool in
2 determining quality reservoir is the porosity. We look for
3 at least 16-percent density porosity or better. This has
4 been determined, again, through our experience in the area.
5 Anything much less than at least 16 percent tends to be too
6 tight. We're looking at a few millidarcies or less in
7 permeability.

8 As you get to 16 percent and above, the
9 permeability goes up orders of magnitude. And this has
10 been demonstrated throughout the cross-section. Everything
11 colored, everything in red you see is 16 percent or better.
12 And in some of these wells where you see very little red,
13 we have very poor production, such as here is 10,000
14 barrels, and the well is two and a half years old.

15 Q. When you look at what the operators have done
16 with these wells in the upper Yates, particularly for those
17 displayed on the cross-section, have they perforated where
18 you would have perforated these wells in order to achieve
19 the maximum production out of the Yates?

20 A. Yes, sir, they have. As you can see, wherever
21 there is what we interpret to be quality reservoir, we see
22 perforations across from every one of those zones.

23 Q. We're not dealing with a reservoir for purposes
24 of your analysis that has any behind-the-pipe potential
25 that is not contributing yet to the productivity that the

1 reservoir engineer needs to deal with?

2 A. I believe every bit of it has been established,
3 production has been established.

4 Q. We're looking at only the Yates portion of the
5 pool. Now, on the display show what happens when we get
6 production contribution from the Seven Rivers. Where do we
7 have to go on the display to find wells that will do that?

8 A. The wells that produce from the Seven Rivers are,
9 for the most part, in Section 16. In fact, I believe all
10 Seven Rivers comes from the high point on the structure
11 here in 16. This well right here is located on a very high
12 point of the structure. This would be Unit F of Section
13 16.

14 Q. Sixteen, for the most part, has got the Seven
15 Rivers?

16 A. Yes, sir.

17 Q. And we move towards Section 4, get to Section 9,
18 and the wells in Section 9, then, you've examined to see if
19 they're contributing production out of the Seven Rivers?

20 A. Yes, sir.

21 Q. And what did you find?

22 A. We find no Seven Rivers. This production comes
23 from the lowermost Yates, right at the base of the Yates.

24 This line right down here is the top of the Seven
25 Rivers formation, and there are some basal sands right on

1 top of the Seven Rivers that produce.

2 Q. Did you assist the reservoir engineer so that he
3 could make reservoir calculations of ultimate recoveries,
4 so that he's dealing with only the Seven Rivers portion of
5 production?

6 A. Yes, sir.

7 Q. You've discussed with him, then, those wells that
8 may be producing oil from another portion of the pool
9 that's not available to you in Section 4?

10 A. Yes, sir.

11 Q. So when we talk to him, we're going to be able to
12 confine his discussion to what you would expect to achieve
13 in Section 4 from the upper Yates?

14 A. His calculations are based on production that we
15 have seen from the interval being presented here.

16 Q. All right. Give us a quick summary of the
17 correlation or the continuity of those zones in the Yates
18 as you see them depicted on the cross-section.

19 A. Well, as you can see, the yellow here are the
20 individual sands, and they correlate all the way across the
21 Teas West structure.

22 Q. Let's go through the isopachs now. You've
23 isopach'd each of the individual members of the Yates.

24 A. Yes, sir, this -- On your left is the aspect of
25 the upper zone, the middle zone, and on the right is the

1 Yates lower zone.

2 The contours are based on 16 percent or better
3 density porosity. So what is represented here should be
4 pay-quality reservoir only.

5 And what we're seeing is, on the top of the
6 structure there is very, very thin, or almost nonexistent
7 upper Yates sand. As we move downdip and down the
8 structure, we are encountering more and more sand.

9 And the depositional model here, we feel, is a
10 beach ridge deposit. They're linear, narrow trending
11 northeast-southwest, near-shore, very fine-grain sand. And
12 as we go north again, we're dealing with more and more
13 sand.

14 So we feel like this is a structural trap --
15 excuse me, a stratigraphic trap. There are some structural
16 implications, but for the most part reservoir quality is
17 increasing as we go towards Section 4.

18 MR. KELLAHIN: That concludes my examination, Mr.
19 Morrow, of Mr. Olive.

20 We move the introduction of his Exhibit Number 7.

21 EXAMINER MORROW: Exhibit 7 will be admitted into
22 the record.

23 EXAMINATION

24 BY EXAMINER MORROW:

25 Q. You said what approximate depth the upper Yates

1 would be encountered at or TD'd at. What depth was that?

2 I didn't get that down.

3 A. I can tell you exactly. In our Scharbauer Number
4 4 it was at 3150. Base of the total interval would be
5 about 3280.

6 Q. On the cross-section you've indicated initial
7 potential and cumulative production for the wells that are
8 depicted here, and on at least one you've got -- on your
9 well you have some subsequent tests. Are those 1994 tests?

10 A. Yes, sir, this well was recompleted early this
11 year, actually January, and these are actually bi-monthly
12 tests indicating the progress. Actually, the well has
13 improved somewhat from this last test.

14 Q. Oh, it has?

15 A. So it's a very, very low decline. It's not as
16 high a decline rate as we're seeing from some of the wells
17 to the south.

18 Q. How are these other wells holding up? Are those
19 initial potentials?

20 A. The --

21 Q. More -- Well, go ahead.

22 A. I'm sorry. Well, on the average, I think we're
23 seeing a 60- to 70-percent decline rate, initial decline
24 rate. And we haven't experienced that; this is what we're
25 kind of excited about. And I think it's due to higher

1 quality reservoir. We have more high-quality sand in our
2 wellbore than most of the rest of these wells. The wells
3 closest to us are all very recent since 1990.

4 Q. But even on those you've seen that high decline
5 rate?

6 A. Yes, sir.

7 EXAMINER MORROW: Okay, sir. Thank you.

8 We'll probably have to have that map as we
9 consider what --

10 MR. KELLAHIN: Sir?

11 EXAMINER MORROW: We'll probably have to keep
12 that map.

13 MR. KELLAHIN: I think it's a reference point.
14 We have a couple other witnesses who will talk about it.

15 EXAMINER MORROW: Well, I mean keep it for good.

16 MR. KELLAHIN: Mr. Stogner has one upstairs.

17 EXAMINER MORROW: Oh, does he?

18 MR. KELLAHIN: I gave it to him last week --

19 EXAMINER MORROW: Good.

20 MR. KELLAHIN: -- so he has one. You're welcome
21 to have this one.

22 EXAMINER MORROW: Oh, no. Might want one for
23 Artesia, though.

24 MR. KELLAHIN: It will take just a minute. We're
25 going to have the drilling engineer talk about the drilling

1 program. If we could have five minutes, we'll get set up.

2 EXAMINER MORROW: All right.

3 (Thereupon, a recess was taken at 2:11 p.m.)

4 (The following proceedings had at 2:20 p.m.)

5 EXAMINER MORROW: We're ready when you are, Tom.

6 MR. KELLAHIN: Thank you, Mr. Examiner. We'll

7 call at this time, Mr. Bill Thoroughman. He spells his

8 last name T-h-o-r-o-u-g-h-m-a-n.

9 EXAMINER MORROW: Thoroughman; is that right?

10 THE WITNESS: Yes, sir.

11 BILL THOROUGHMAN,

12 the witness herein, after having been first duly sworn upon

13 his oath, was examined and testified as follows:

14 DIRECT EXAMINATION

15 BY MR. KELLAHIN:

16 Q. Would you please state your name and occupation?

17 A. Yes, sir. My name is Bill Thoroughman. I'm a
18 staff drilling engineer for Mitchell Energy Corporation.

19 Q. Mr. Thoroughman, where do you reside, sir?

20 A. The Woodlands, Texas.

21 MR. KELLAHIN: I have Mr. Thoroughman's résumé
22 here, Mr. Examiner, and it's very small print and it's some
23 four pages long, and I'm going to share it with you. Then
24 we'll just hit the high spots.

25 EXAMINER MORROW: Okay.

1 Q. (By Mr. Kellahin) Summarize for us your
2 education, sir.

3 A. Graduated high school in St. Charles, Missouri,
4 my hometown, in 1966. From that point I went to the
5 University of Missouri, Rolla campus, graduated with a BS
6 in mechanical engineering in 1971.

7 Q. Describe for us, sir, your first employment
8 experience.

9 A. My first employment was with Consolidation Coal
10 Company, Pittsburgh, Pennsylvania. I was --

11 Q. Did that have to do with any of the aspects of
12 oil and gas drilling as you now perform it for your
13 company?

14 A. No, sir, it did not.

15 Q. As a mechanical engineer, what did you do with
16 coal mines?

17 A. I was assigned to Lee Engineering Division. We
18 were a wholly-owned subsidiary. We were consultants for
19 our parent company.

20 My job specifically was to trouble-shoot
21 underground heavy equipment, continuous miners, coal-
22 hauling devices and such and so forth.

23 The Jeffrey equipment that I would investigate
24 was all used underground. This culminated with various
25 engineering reports that were supplied to Jeffrey

1 Manufacturing Company and management at the coal company,
2 and culminated with a quarterly report that was both given
3 to my management and the Consolidation Coal Company, and
4 also to Jeffrey Manufacturing.

5 Q. What part of the country were you working in?

6 A. Pittsburgh was my home office, McMurray to south
7 Pittsburgh, and I covered the states of West Virginia,
8 Kentucky, Illinois, Ohio and very little of Virginia.

9 Q. Let's talk about your experiences with drilling
10 in oil and gas production.

11 A. Okay, I left the coal mines in 1973 and took
12 employment with A.W. Thompson, Incorporated, in Midland and
13 Odessa, Texas.

14 Q. Now, what did they do?

15 A. They were drilling contractors, very deep
16 drilling contractors. Our rigs -- The majority of our rigs
17 were capable of going to 30,000 foot.

18 Q. Working for a drilling contractor, what was it
19 that you did?

20 A. My training period involved six weeks as a
21 roustabout, seven months as a roughneck where I worked all
22 positions at the drilling rig except for derrickman. From
23 there, I was an electrician's helper for a number of weeks,
24 going into two months, I believe. I went -- attended a
25 trade school.

1 Finally, a year later, after doing all these
2 background-type of employment jobs, I was anointed an
3 engineer foreman.

4 Q. All right. When you're promoted to an engineer
5 forum [sic], is there any kind of association that you can
6 belong to where you get a certificate or a plaque saying
7 that I'm now a drilling engineer?

8 A. No, there is not.

9 Q. All right. You go to schools, seminars?

10 A. That's correct.

11 Q. Learn on the job?

12 A. Yes.

13 Q. How long did you stay in that particular company?

14 A. I stayed with A.W. Thompson through their
15 purchase by Santa Fe International Corporation out of
16 Orange, California. I stayed an additional six months with
17 Santa Fe, and I took employment with MND Drilling
18 Corporation, which was a wholly-owned subsidiary at the
19 time.

20 Q. What did you do for that company?

21 A. Staff drilling engineer.

22 Q. Same thing?

23 A. Yes, sir.

24 Q. All right. What's your next employment?

25 A. I transferred from their northern division in

1 Bridgeport where we drilled a number of Shell wells, to
2 their southern division, which was active in the Gulf
3 Coast, the higher-pressured wells, transferred down as
4 their engineering manager and subsequently, with some name
5 changes we did, became division engineer for them.

6 Q. That entire experience within your profession has
7 been as a drilling engineer with regards to a drilling
8 contractor?

9 A. That is correct.

10 Q. When did you make the change to the other side of
11 that deal?

12 A. I left employment with MND, took a position with
13 a friend's company in Hobbs, New Mexico, as manager of a
14 small chemical company. We attempted to get through the
15 tough times in the oil field.

16 At a point in time he decided he would rather go
17 ahead and declare bankruptcy, and the company folded at
18 that point in time.

19 Q. How long have you been working for Mitchell
20 Energy?

21 A. In this present position, I started with them
22 again in October 17th of 1983, so that would be 11 1/2
23 years, I believe.

24 Q. You're now in the position where you review and
25 supervise, analyze, study for your company arrangements

1 with drilling contractors?

2 A. That is correct.

3 Q. In addition, you look at well programs, revise
4 well programs, create your own well programs for the
5 drilling of wells?

6 A. That is correct.

7 Q. What is your geographic area of responsibility
8 for your company?

9 A. Currently it includes Alabama, Mississippi, Gulf
10 Coast, west Texas, eastern -- southeastern New Mexico.

11 Q. Surface down, what kind of creatures do you deal
12 with?

13 A. From the geopressured wells of the Gulf Coast,
14 being Wilcox wells typically, to offshore wells -- we've
15 done a few of those -- to the Morrow in southeast New
16 Mexico, which would occur somewhere around 13,000 foot,
17 thereabouts, and to the shallow wells we're talking about
18 today, the Yates wells.

19 Q. Give us an estimate of the number of well designs
20 or well programs that you have been involved with during
21 the course of your professional experience as a drilling
22 engineer?

23 A. I would say close to 500.

24 Q. With regards to the projects involved in your
25 company --

1 A. Uh-huh.

2 Q. -- these wells and other wells in the Permian
3 Basin, to what extent are you involved?

4 A. The well plans are my plans. I -- We have an
5 office in Midland, we have a man who runs the day-to-day
6 operations. He's the drilling manager. I am his drilling
7 engineer.

8 Q. So there is not a drilling plan that's generated
9 by your company within your geographic area that doesn't
10 come across your desk?

11 A. For the southeastern New Mexico area and west
12 Texas, I do all the well plans. They are my plans.

13 Q. Have you been personally involved in the well
14 plans for the wells in Section 4?

15 A. Yes, I have.

16 MR. KELLAHIN: We tender Mr. Thoroughman as an
17 expert drilling engineer.

18 EXAMINER MORROW: We accept Mr. Thoroughman's
19 qualifications.

20 THE WITNESS: Thank you.

21 Q. (By Mr. Kellahin) Let's talk about your personal
22 involvement. How did this project come to your attention?

23 A. It came to my attention from Mr. Stephenson, our
24 manager of regulatory affairs.

25 We had made application to drill a well we called

1 the Anasazi State -- I'm sorry, Anasazi "4" State Number 1,
2 anticipating it getting approval, which we subsequently
3 did.

4 Soon after that, the approval was withdrawn, and
5 we were notified that all wells in Section 4 would require
6 the potash string be incorporated in the plan, which was
7 not originally the case.

8 Q. At that point did you look at, review and study
9 the well plans for each of the wells?

10 A. Yes.

11 Q. All right. Did you come to any conclusions as a
12 drilling engineer about the necessity of the salt-
13 protection string for any of these wells?

14 A. As a drilling engineer, it would not be required.

15 Q. Did Mr. Stephenson advise you that your choices
16 were to either put the salt-protection string in the wells
17 and in the plan or to seek an exception from the Oil
18 Conservation Division?

19 A. That is correct.

20 Q. Based upon your study and experience, what did
21 you determine was the appropriate way to drill these wells?

22 A. The appropriate way to drill these wells was
23 within the guidelines of R-111-P. There are a number of
24 options available.

25 It was my direction to Mark to let me look at

1 this, let's investigate the problem and see where the
2 Division was going or the Commission was going, wanting us
3 to install a salt-protection string, and see if we could
4 come up with a better way to protect the salt in this case.

5 Q. And have you found, in your opinion, a preferable
6 way to drilling and completing these wells so that we can
7 eliminate the salt-protection string?

8 A. Yes, I have.

9 Q. Let's talk about the options or choices that
10 exist for you as the drilling engineer when we look at
11 R-111-P.

12 A. Uh-huh.

13 Q. I think it will help us for a point of reference
14 if you'll look at R-111-P.

15 There are some portions of R-111-P, Mr.
16 Thoroughman -- If we look at page 7 of the order, it deals
17 with the salt-protection string protocol. And then that is
18 repeated again on page 9 of the order.

19 Are you familiar with R-111-P?

20 A. Yes, sir, I am.

21 Q. And in fact, you have studied in detail the
22 provisions of those casing and cementing requirements, have
23 you not?

24 A. That is correct.

25 Q. All right. Let's look at R-111-P, and tell us

1 what your options are.

2 A. My options are to go ahead and run the salt-
3 protection string. My -- I would have to set this at a
4 depth of 100 foot to -- I believe it's 600 foot, maybe 500,
5 but anyway below the salt as we define the salt.

6 Q. If we look behind Exhibit Tab Number 8 --

7 A. Yes.

8 Q. -- the first display or illustration is how to
9 set up the well program if you were to put the salt-
10 protection string in the well?

11 A. That is correct.

12 MR. KELLAHIN: Mr. Examiner, we have a larger
13 copy of that illustration before you on the display board.

14 Q. (By Mr. Kellahin) Mr. Thoroughman, lead us
15 through the process.

16 A. Okay. What we would do is drill the well with a
17 17-1/2-inch hole to a depth of 1350, which would be
18 approximately 10 to 20 feet into the Rustler formation as
19 defined by R-111-P.

20 At that point in time we would run a 13 3/8
21 casing. We would cement this back to surface. My company
22 guidelines, which I ascribe to, are that we would use 100
23 percent excess to make sure that we did get a good cement
24 job and cement returns to surface.

25 At that point in time we would continue drilling

1 the well. We would drill a 12-1/4-inch hole to a depth
2 equivalent to 100 to 600 foot below the salt protection
3 string. Normally we use the guideline of about 150 foot.
4 Or below the salt, I'm sorry.

5 And at that point in time we would run an 8 5/8
6 salt-protection string to a total depth. We would cement
7 the string by the conventional method of circulating around
8 the shoe, bringing the cement back to surface, and once
9 again use 100-percent excess to make sure that we did get
10 returns to the surface.

11 At that point in time, after testing and
12 performing other functions that we need to do, we would
13 continue to drill the well, 7-7/8-inch hole, normally. We
14 would drill this to TD.

15 And at that point in time we would run a 4-1/2-
16 inch production string, we set this casing on TD, or at TD,
17 we would circulate cement back until we had a top of cement
18 500 foot above the salt section inside the salt-protection
19 string.

20 Q. That's one of the choices under R-111-P?

21 A. Yes, sir, that is.

22 Q. Does the operator have any other choices within
23 his sole discretion on how to set up this well?

24 A. Yes, he does.

25 Q. Let me flip the display here, and let's talk

1 about the alternative option, and it's also in the exhibit
2 book behind Exhibit Tab Number 8, and it's the next
3 display.

4 A. I don't think we have that one up there, Tom.

5 Q. No, we don't. We'll have to use the little book.

6 A. Let's go off the book. We put these together as
7 an exhibit yesterday.

8 Q. Let's start, it says Figure A-1 at the bottom?

9 A. Yes, sir.

10 Q. Before we look at the illustrations, let's look
11 at the rule. If we go back to page 7 of R-111-P --

12 A. Yes, sir.

13 Q. -- and if you'll look at subparagraph 3 (b),
14 Roman numeral (i) --

15 A. That is correct.

16 Q. -- tell us what we're looking at. What's the
17 rule?

18 A. "For wells drilled to the shallow zone, the
19 string may be cemented..." we're discussing the salt-
20 protection string now "...the string may be cemented with a
21 nominal volume of cement for testing purposes only. If the
22 exploratory test well is completed as a productive well,
23 the string shall be re-cemented with sufficient cement to
24 fill the annular space back of the pipe from the top of the
25 first cement into to the surface or to the bottom of the

1 cellar, or may be cut..." speaking of the salt-protection
2 string "...and pulled if the production string is cemented
3 to the surface as provided in sub-section D...below."

4 Q. All right, let's go back to the book now. Look
5 at Figure A-1 and lead us through the procedure by which
6 you would have the choice of cutting and pulling the
7 production string and then cementing the wellbore back to
8 the surface.

9 A. Okay. What we would do in this instance -- and I
10 believe it is our option, according to the guidelines of
11 R-111-P -- we could drill the same surface hole, set the
12 same surface string, cement it the same way as we discussed
13 earlier, drill a 12-1/4-inch hole to a depth of 100 to 600
14 foot below the base of the salt. My company and I like to
15 go 150 foot below the salt.

16 At that point in time we could run our salt-
17 protection string, being 8 5/8, we could circulate the
18 cement around the bottom, and I would suggest and would
19 recommend that we cement it and bring it 500 foot above the
20 base of the salt, just as we would do with the production
21 string in the previous diagram. This should isolate the
22 salt from anything we would encounter.

23 If we turn now to Figure A-2, the drilling would
24 continue, then, as before. We drill a 7 7/8 hole to TD.
25 This schematic shows what happens once we reach TD. We

1 have our Yates formation open.

2 We go into the salt-protection string, and at
3 some point just above where the cement top was placed, we
4 would use mechanical or other types of cutters to cut the
5 casing and remove the 8 5/8 from the wellbore, leaving a
6 stub of 8 5/8 casing sticking up above the cement.

7 At this point in time, the wellbore would have
8 saturated brine water in both the 12-1/4-inch hole that's
9 been re-opened and also the 7-7/8-inch hole to the Yates.

10 If we could go on now to Figure A-3 [*sic*], the
11 next schematic, at this point n time, as I interpret the
12 rule or the order, we could at this point run 4-1/2-inch
13 casing all the way to TD. We could cement by conventional
14 methods around the shoe and bring cement back to surface
15 and be in full compliance with R-111-P.

16 Q. We've talked about option 1 and 2 under the
17 R-111-P. Those are your choices.

18 Now, there's a third option, subject to the
19 approval of the Examiner, that you can simply delete the
20 potash-protection string, provided you're outside the LMR,
21 the buffer area, and within an area barren of potash?

22 A. That is correct.

23 Q. All right. Have you determined what in your
24 opinion is the best way to do this?

25 A. Yes, I have.

1 Q. Tell us what you propose to do, and then we will
2 describe it to the Examiner.

3 A. Okay, what I think we can do, and fulfill a lot
4 of -- everyone's concerns in this instance, is, we could
5 drill a smaller hole to the Rustler formation, set this
6 8 5/8 casing at 1350, bring cement back to surface.

7 At that point in time we would enter the wellbore
8 and drill a 7-7/8-inch hole all the way to TD, run a 4-1/2-
9 inch casing. It has to be four, the difference being now
10 that we want to -- would like to put a combination tool,
11 which includes an external casing packer and a DV tool in
12 the system.

13 Q. So we're all with you, let's look at the first
14 illustration behind Exhibit Tab Number 9. That, I think,
15 is a nice illustration of what you're just describing to
16 us. And let me have you continue --

17 A. Okay.

18 Q. -- at that point.

19 A. This depicts -- This schematic depicts how the
20 casing would look with the first-stage cement in place.
21 Once we have our 4-1/2-inch run, we would circulate cement
22 around the shoe, back up to a point where the ports of the
23 DV tool are covered with cement. The DV tool will be
24 placed this 100 to 600 feet below the salt. We would place
25 it somewhere around 150 foot below the salt to be in

1 compliance.

2 If you follow with me then, we have brought our
3 cement around to the next -- I'm sorry, the next --

4 Q. You wanted to describe the external casing
5 packer?

6 A. Yes, the next three pages depict one
7 manufacturing company's external casing packer. It happens
8 to be a Davis-Lynch, and if you follow with me, if you go
9 to the -- which would be the third page, it's their page
10 number 24, it shows some shear pin, lock rings, drillable
11 closing seats.

12 Of interest to us would be the drillable split-
13 type opening seat. That is held in place by a shear pin.
14 Once we had our first-stage cement in place, we would drop
15 an opening bomb. It's a free-fall bomb. If you look at
16 the next illustration on that same page, it shows the bomb
17 in place.

18 By increasing the pressure some -- for 4-1/2-inch
19 casing it has to be 1200 p.s.i. -- we would shear the first
20 set of pins, allowing the opening seat to slide down,
21 opening up a port to the inflatable packer. This packer
22 for this particular company has an outer area of sealing
23 material. It's backed up by steel bands and then has an
24 inner bladder, if you will.

25 The 1200 p.s.i. pressure would enter in the form

1 of our displacement fluid, inflating the packer, sealing
2 the annulus. Now, remember we still have the cement around
3 it, but it would seal the annulus in and of itself.

4 Once 1500 p.s.i. pressure was reached, the second
5 set of shear pins, shown in that second picture, would
6 shear, the opening seat would slide down, sealing off the
7 entry port into the packer, opening the ports to the --
8 cementing ports to the DV tool portion of the combination
9 tool, and allow our displacement fluid to enter the
10 annulus.

11 At that point in time we would continue
12 circulating through these ports and clear the annulus of
13 any excess cement left in place by a stage-number-one
14 cement.

15 Q. What do you accomplish with the use of a DV tool?

16 A. DV tool is there to divert our flow at our
17 discretion and when we want it to divert. This allows us
18 to, in effect, have another casing shoe at the point we're
19 talking about. These are one-inch ports, and there are six
20 of them.

21 Q. Is the use of a DV tool required under R-111-P?

22 A. No, sir, it is not.

23 Q. You have proposed the use of an external casing
24 packer?

25 A. Yes, I do.

1 Q. And is that a requirement or a condition of
2 R-111-P?

3 A. No, it is not.

4 Q. What's accomplished by using that?

5 A. I think what is accomplished is, we've developed
6 a mechanical seal. We talk quite often about the cement
7 seals we put behind pipe. At least as far as we've gotten
8 with the schematics now, we have a cement seal across the
9 Yates. We have performed a mechanical packer, if you will,
10 inflated packer seal above the cement, and effectively have
11 two seals now isolating any formations above that packer
12 from the Yates production.

13 Q. You've got your well drilled, you've got the
14 first stage cement in place. What happens next?

15 A. Now it's time to -- we've -- inflate our packer,
16 if you go to my Figure 2 --

17 Q. Okay.

18 A. -- which would be, I think, the fifth page or
19 something.

20 Q. All right, let's turn. You have a wellbore
21 schematic and it says Figure 2. It's captioned "Displacing
22 Second Stage Cement"?

23 A. That is correct.

24 Q. All right. What do we do?

25 A. All right. Now we have placed our cement into

1 the wellbore. I'm showing the DV ports by schematic open,
2 I'm showing a following plug, which we already talked
3 about.

4 MR. KELLAHIN: Hang on just a minute, make sure
5 we all get the same page.

6 We should have numbered these, Mr. Examiner. I'm
7 sorry. The pages aren't numbered. We're still behind
8 Exhibit Tab Number 9. It's the first illustration beyond
9 the --

10 EXAMINER MORROW: Two or three, one of those?

11 MR. KELLAHIN: Yeah. Here's what it looks like.

12 EXAMINER MORROW: Yeah, got it.

13 Q. (By Mr. Kellahin) All right, sir. Go ahead.

14 A. All right. What I'm trying to depict there is as
15 we have the cement moving through the DV-tool portion of
16 the combination tool ports, how the system is working. Once
17 again, we have excess cement calculated in, in an attempt
18 to bring this back to the surface, which shouldn't be a
19 problem.

20 I show and depicted here a following plug. That
21 is placed just behind the cement slurry and serves as a
22 buffer between my displacement fluid.

23 I also show the round ball with the little
24 pattern in it. That was the plug that we dropped to open
25 and inflate the packer.

1 If we go on now to the next page, which is Figure
2 3, this closing plug we just discussed following the cement
3 slurry has reached what was referred to earlier in the
4 specific companies -- the drillable closing seat is what
5 Davis-Lynch calls it. For us it's a sliding sleeve, and
6 we're going to slide this sleeve with this Chevron packing
7 across the DV tool ports. This locks into position, and
8 it's ready now to -- the integrity of the entire system is
9 there. We will hold a minimum amount of pressure on it,
10 and we're ready to release the rig.

11 Q. Having completed that procedure, then you're
12 ready to await the completion of the well?

13 A. That is correct.

14 Q. Do you have an opinion as to why your proposed
15 well program is better than the options contained within
16 R-111-P

17 A. Yes, I do.

18 Q. What is that opinion?

19 A. If you look at the schematic that is on the board
20 down there, I see two cement columns that will effectively
21 isolate any annulus outside of the casing from the salt.
22 They are the -- They are this cement slurry that's around
23 the 4-1/2-inch pipe, coming up 500 foot above the salt.

24 Q. You're going to have to turn and speak slower for
25 the court reporter.

1 A. Okay. It's this cement slurry that's around
2 4-1/2-inch pipe, coming up to 400 foot above the salt, the
3 lower section of salt, and then the original cement will go
4 up, back to surface, around the salt-protection string.
5 This seal across the Yates or hydrocarbon-bearing zone, and
6 this seal here.

7 Q. Okay.

8 A. This would be how the wellbore would look after
9 drill-out.

10 Q. Under your plan?

11 A. That's correct.

12 Q. All right.

13 A. Now that we have Yates down here, we have cement
14 up to the external casing packer. That seals the Yates
15 off. Now we apply the mechanical seal here at this point,
16 and now we have the cement above that, all the way across
17 the salt, one, two three.

18 Q. Is your wellbore integrity, under your plan, the
19 equivalent of the wellbore integrity if you had to use the
20 salt-protection string?

21 A. Yes.

22 Q. During the drilling of the well --

23 A. Yes, sir.

24 Q. -- identify for us what you see, as the drilling
25 engineer, to be risks whereby gas might migrate into the

1 salt section and what if anything you do to manage or avoid
2 that risk.

3 A. These formations are considered to have, at best,
4 a freshwater gradient of 8.33 pounds per gallon. By just
5 the nature and also by definition of R-111-P, we will drill
6 these sections with saturated brine water, which has a mud
7 weight, as we call it, of 10 pounds per gallon.

8 So we're, in essence, 1.7 pounds per gallon
9 overbalanced at all times. That should not allow any
10 incursion of any hydrocarbon, water, anything else from any
11 formation.

12 Q. What is the opportunity or the expectation for
13 losing control of the well?

14 A. None. We've drilled 50 wells in this area that
15 have gone through the Yates -- some of them deep, some of
16 them were actually Yates wells -- and we have never had a
17 well-control problem.

18 Q. Do you have an opinion, recommendations with
19 regards to the quantity or the quality of the cement that's
20 going to be used in any of the processes?

21 A. Yes, it's state of the art, it's -- What I
22 presented to you in this well plan or in a subsequently
23 introduced well plan is Halliburton's version. It's called
24 Premium Plus. It's a class-C high -- cement. It's
25 designed by Grine to achieve 50 p.s.i. in just -- like an

1 hour, half an hour, 45 minutes. Very quickly. It does
2 establish some compressive strength.

3 Q. Do you have an opinion or recommendations with
4 regards to the quantity or quality of the casing or tubing
5 materials placed in the well?

6 A. Yes, they're J55 -- or, I'm sorry, K55 materials.
7 That's 55,000 tensile strength steel.

8 Q. You've designed a well program specifically
9 addressing the issues of concern in R-111-P?

10 A. That is correct.

11 Q. Have you reduced that well program or that well
12 plan to a detailed written summary of what that plan is?

13 A. Yes, sir, it's my Exhibit Number 10, or our
14 exhibit.

15 Q. All right. Let's turn to Exhibit Number 10, and
16 without going through it in detail, tell us what is
17 contained within the well plan.

18 A. This is a plan that was prepared for everyone
19 that was concerned in the drilling of the well,
20 specifically, the well-site supervisor up through his
21 supervisor and any other persons concerned.

22 It takes you through a number of steps. If I may
23 just lead you down through it, just a cover sheet with
24 approvals on it, some data, where the well is and the table
25 of contents, and on the third page we have a drilling

1 prognosis. This is a schematic we prepared to give
2 everyone involved just a quick look at various items we're
3 going to be doing.

4 If you'll notice on here, we discuss the external
5 casing packer, DV tool, combination tool, alerting our
6 people this is what we're going to do.

7 If you go to the next page, we start a detailed
8 program step by step to lead our supervisors through their
9 execution of the drilling of this well.

10 A number of items listed going on down through
11 the cementing and testing of the surface casing, number
12 10 -- Point 10, number 1, discusses the testing and how
13 long we should hold the pressure on there, according to
14 R-111-P.

15 If you would go to the next page, section number
16 14 or step number 14 begins the discussion of how we would
17 like to run this 4-1/2-inch casing and install the
18 combination tool. It's rather detailed. It goes through a
19 step-by-step setup for our supervisors so they know what we
20 want them to do, how they should do it, just as I've
21 discussed with you, sir.

22 On through the -- One item that's different than
23 I discussed with you is, we require -- and I think it's
24 addressed in here -- that the company that supplies us with
25 this combination tool have a representative on location so

1 that if there's any confusion he's available to discuss
2 with our people and make sure the plugs go in the proper
3 place and the tool is activated properly.

4 On through the completion on the next page where
5 we discuss meeting our contractual obligations with the rig
6 and release the rig, and then we'll net the pits.

7 And I've supplied the next few steps, since this
8 is something out of the ordinary for a field supervisor, I
9 have the schematics that we discussed here on how to run
10 the tool, where to put the first-stage cement.

11 Moving on, in my "Section 4" at the bottom of the
12 page, "Page 1 of 1", shows a mud program for drilling this
13 well. The typical spud mud is required to 1350 where we
14 set the surface casing, and at that point in time we'll
15 continue with the saturated brine water. If we were to
16 need viscosity for logs, we would add prehydrated gel to
17 this system, nothing more than that.

18 Then on "Section 5 - Page 1 of 2" is casing
19 design. It has all the performance parameters that we
20 consider.

21 Page 2 of that section has the 4-1/2-inch casing,
22 its design parameters, along with the comments again to our
23 field supervisors, alerting them that do we want to -- this
24 is how we want to put our DV tool, external casing packer,
25 what sequence it goes in the casing string, telling them

1 where we want to put centralizers.

2 On to Section 6, which details the cementing
3 program we want to use, it tells our supervisors the slurry
4 that we anticipate using, its performance parameters,
5 weight and so forth.

6 Page 2 starts with a detailed explanation of how
7 we want to cement the 4-1/2-inch production string, first
8 stage, second stage, the procedure, what they're to do
9 while they're doing the cementing. That continues on to
10 page 3. These steps, B, C, D and E, are similar to what we
11 read in the first drilling program section we went through.

12 Then I include for those people that need it and
13 would like to know it, the geological prognosis that
14 originated this well plan, two pages of that normally. A
15 schematic diagram of our plan for a blowout preventer and
16 how we anticipate that being used.

17 Various other of things that are attached are
18 permits, different things that these people need in the
19 field, a vendor's list which was not appropriate to bring
20 here today.

21 Q. How does your proposed well plan compare to the
22 well plans that were executed by operators to the south of
23 you in Section 9 who are granted permission to delete the
24 salt-protection string?

25 A. The only difference that I'm aware of would be

1 that I propose that we put the external casing packer at
2 the same point where we would normally have a salt-
3 protection string.

4 Q. Let's turn now to costs.

5 A. Okay.

6 Q. If you'll turn behind Exhibit Tab Number 11 --

7 A. Yes, sir.

8 Q. -- there are two different AFEs within that tab
9 section?

10 A. That is correct.

11 Q. Okay? I think we cleverly stapled these together
12 so we can't compare them side by side.

13 A. No, sir, we did not.

14 Q. No? Only mine was done that way.

15 A. The first two refer to a well that would meet
16 R-111-P's guidelines and include a potash string. You'll
17 see that mentioned at the bottom of the page under
18 "Tangibles". It's line item number 41.

19 We estimate that the dryhole cost for this well,
20 including a potash string, would be \$185,000

21 Q. Who prepared the AFE?

22 A. I did.

23 Q. What's the other AFE?

24 A. If we go to -- Do we want to cover the production
25 cost estimate next, I believe?

1 Q. All right.

2 A. The second page in there is a cost estimate for
3 what transpires as we get ready to complete the well. We
4 call it a completion cost estimate. Its total is \$156,000,
5 and it considers that under their guidelines they would --
6 their cost estimate involves the 4-1/2-inch casing, "they"
7 being our production group. It includes the money that
8 would be necessary to pay for an external casing packer, DV
9 tool, combination tool. That comes up with a total price
10 for the completed well of \$341,000.

11 Now, if we go to page 3 in that section, that is
12 a cost estimate, AFE if you will, that I have prepared for
13 the dryhole cost of drilling this well without the potash
14 string.

15 Let me back up just a second, if I may, sir. I
16 made a mistake.

17 The production side, the original AFE that went
18 into the \$341,000 total, the \$156,000 does not include the
19 external casing packer. Consequently, the \$185,000 and
20 \$156,000, yielding a net of \$341,000, would be for a system
21 that meets R-111-P with the potash string in place, no
22 external casing packer.

23 Now page 3 --

24 Q. I'm sorry, I didn't hear you. With the external
25 casing packer?

1 A. Without the external casing packer.

2 Q. All right. You're doing the salt-protection
3 string --

4 A. That is correct.

5 Q. -- R-111-P, without the external casing string
6 protector. And what is that total cost?

7 A. \$341,000.

8 Q. All right.

9 A. Now, page 3 starts our consideration of doing it
10 the way I propose, which would be without the salt-
11 protection string and with an external casing packer.

12 The AFE I prepared for this, you'll notice on
13 line item number 41, does not include any mention of a
14 salt-protection string. It comes to a total dryhole cost
15 of \$117,500.

16 The completion estimate follows, annotated at the
17 top without the potash string, and its total comes to
18 \$173,000, and that does include the money for an external
19 casing packer, DV tool, combination tool.

20 That comes to a total cost for the completed
21 well, without the salt-protection string but incorporating
22 the combination tool, of \$290,500.

23 Q. Do you have an opinion, Mr. Thoroughman, as
24 whether these AFEs and your calculations of the various
25 costs are current, accurate and reliable?

1 A. Yes, sir, as best we can, we verified all of
2 these at the time that they were prepared. The date is at
3 the bottom of the AFEs.

4 Q. Summarize for us, Mr. Thoroughman, your
5 recommendations to the Examiner.

6 A. It's my recommendation that he allow us to drill
7 this well in the barren area, as so defined previously,
8 without the salt-protection string, and allow us to
9 incorporate still yet a third seal which would protect the
10 salt zones from any hydrocarbon encountered in the Yates
11 formations or any formations below the salt section.

12 Q. Do you have an opinion as to whether if he grants
13 approval to do that procedure under that well plan, we
14 would be protecting any potash resources in the area and
15 also protecting miner safety for the potash mining
16 operations that are undertaken in the enclave?

17 A. Yes, I believe it would, at least as well as
18 R-111-P would allow us to.

19 MR. KELLAHIN: That concludes my examination, Mr.
20 Examiner, of Mr. Thoroughman.

21 We move the introduction of his Exhibits 8
22 through -- 12, I believe it is.

23 EXAMINER MORROW: Eight through 11.

24 MR. KELLAHIN: Yes, 8 through 11.

25 EXAMINER MORROW: Eight through 11 are admitted

1 into the record.

2 EXAMINATION

3 BY EXAMINER MORROW:

4 Q. Mr. Thoroughman, in that interval where you're
5 going to set your -- where you propose to set the packer,
6 between the base of the salt and the top of the Yates, I
7 assume it would be in that interval between 2810 and 3170?

8 A. Yes, sir.

9 Q. What formation is that that you'd be setting that
10 packer in?

11 A. I'd have to defer to one of our geologists. I do
12 not have that information now. The packer setting depth
13 was based upon R-111-P in that it requires us to set
14 between 100 and 600 foot below the salt.

15 Q. Do you know if you would have a pretty good hole
16 in there or if it would be washed out or what the situation
17 would be there? Would you run a caliper, or how would
18 determine that your --

19 A. Yes, sir, we could --

20 Q. -- packer would reach the walls of the hole?

21 A. That is correct, we would run a caliper and we
22 would try and select the best section of hole to set this
23 packer in.

24 Q. And I assume that would be something that
25 wouldn't wash out like salt would or --

1 A. No, it will not.

2 Q. Maybe somebody could tell us.

3 Do you know if in the wells you've drilled in the
4 area or that others have drilled in the area, if they've
5 encountered any lost circulation, either in the salt or in
6 the Yates formations?

7 A. No, sir, I'm not aware of any lost-circulation
8 problems in the salt section. There are some zones that
9 are below the Yates where there is a problem. In our
10 drilling of these wells we have not encountered any
11 problems at TD of a Yates well.

12 Q. So the packer and the DV tool would be more for
13 the seal, I guess, then, than they would for any expected
14 lost-circulation problems --

15 A. That is correct, sir.

16 Q. -- when you're cementing?

17 A. Yes, sir.

18 Q. Have you used this DV-tool-and-packer arrangement
19 before?

20 A. Yes, sir, I have. We've used it --

21 Q. Have you used it in the area, anywhere?

22 A. West Texas, in the University area. We have a
23 situation there where we would not like to put cement
24 across our producing zone. That was our introduction to
25 this combination tool. And we started running it in our

1 casing string, production string, where with displacement
2 fluid or fluid, we go ahead and set the external casing
3 packer, open up the DV tool and circulate all of our cement
4 above our producing zone and end up with a barefoot
5 completion.

6 Q. So I guess you'd get some benefit here from that
7 too, wouldn't you?

8 A. I would think with the Yates formation and having
9 to fracture it, that might be a problem for us.

10 Q. In your dryhole costs, two AFEs, do you include
11 plugging costs in those, or is that just the cost to drill
12 the well prior to either plugging or completing?

13 A. It's prior to plugging or completing. We have
14 chosen not to include our plugging costs in there.

15 Q. Okay. I wanted to ask you what your
16 interpretation of one of the plugging requirements is in
17 R-111-P. It's on page 10, Section F. If you would read
18 that number (1), especially the last two or three lines
19 there, or the whole -- read the whole -- Just read it to
20 yourself, but the entire paragraph. Tell me what you think
21 that's saying to us.

22 A. That says that we should set a cement plug
23 through the entire section of salt. By earlier definition,
24 that's basically from the base of the Rustler formation
25 down to the base of the salt.

1 Q. Okay. And it goes further to include fresh
2 water, I believe. In these water-bearing -- right.

3 A. It talks about --

4 Q. Yes, sir.

5 A. -- water, yes, sir, it does. And I believe we
6 have that covered with our surface casing.

7 Q. Well, that's the reason I needed some help on
8 reading that, in case you did set surface pipe and then
9 went in there and drilled the well and decided you didn't
10 want to run pipe on it.

11 A. What we would do is cover the salt as per what we
12 just read. We would place a plug at the base of our
13 surface casing. We would have 9-1/2-pound mud up above
14 that, and at the surface we would have a 50-foot plug.

15 Q. Okay. But you read this, at least, to include a
16 solid plug across -- or all that through that --

17 A. That is my interpretation of it --

18 Q. -- potash-salt section?

19 A. -- yes, sir.

20 EXAMINER MORROW: Anything, Rand?

21 MR. CARROLL: (No audible response)

22 EXAMINER MORROW: Thank you, Mr. Thoroughman.

23 THE WITNESS: You're welcome.

24 EXAMINER MORROW: Appreciate your testimony.

25 MR. KELLAHIN: Mr. Examiner, at this time we'll

1 call Pat Noyes. Mr. Noyes spells his last name N-o-y-e-s.
2 He is a completion/production/operations engineer with
3 Mitchell Energy Company.

4 PAT NOYES,

5 the witness herein, after having been first duly sworn upon
6 his oath, was examined and testified as follows:

7 DIRECT EXAMINATION

8 BY MR. KELLAHIN:

9 Q. For the record, sir, would you please state your
10 name and occupation?

11 A. My name is Pat Noyes. I'm regional engineering
12 manager for Mitchell Energy Corporation.

13 Q. Summarize for us your education and employment
14 experience, sir.

15 A. I have a degree in mechanical engineering, a
16 bachelor of science from Rose-Hulman Institute of
17 Technology in Terra Haute, Indiana, in 1976.

18 Upon graduation I was employed by Exxon for four
19 years in various assignments in drilling, production and
20 natural gas engineering.

21 In 1980 I accepted a position with Mitchell
22 Energy Corporation in basically the same disciplines of
23 production and drilling engineering.

24 Q. And where do you reside, sir?

25 A. I live in The Woodlands, Texas.

1 Q. What is your involvement with this particular
2 project by your company?

3 A. My involvement simply follows what's been done by
4 our drilling engineer in the sense that we design the
5 completion procedures to complete the well and produce it
6 in a safe and efficient manner.

7 Q. And have you done so in this case?

8 A. Yes, sir.

9 Q. In designing that procedure, have you made
10 yourself aware of the requirements of R-111-P?

11 A. Yes, sir, we have.

12 MR. KELLAHIN: We tender Mr. Noyes as an expert
13 completion and production engineer.

14 EXAMINER MORROW: Yes, sir, we certainly accept
15 his qualifications.

16 I didn't hear what your degree was in?

17 THE WITNESS: Bachelor of science, mechanical
18 engineering.

19 EXAMINER MORROW: Okay. Yes, sir, his
20 qualifications are fine.

21 Q. (By Mr. Kellahin) What are the issues of concern
22 for you, sir, with regards to the particular wells we're
23 trying to drill in Section 4?

24 A. The issues of concern are basically twofold with
25 respect to, as I said, producing safely and efficiently.

1 The first issue would be to prevent the migration
2 of gas behind that 4-1/2-inch casing that we're going to
3 run. I feel like we've adequately done that with the
4 explanation that Mr. Thoroughman has given with the first-
5 stage cement, the inflatable packer and the second stage
6 cement.

7 We will also verify the integrity of that cement
8 by running a cement bond log as part of the completion
9 procedure.

10 The second item of concern, from a standpoint of
11 protecting the salt from any natural gas intrusion, would
12 be corrosion of that 4-1/2-inch casing. In this case we
13 would be concerned about corrosion from an external and an
14 internal phase. The external corrosion, I believe, is
15 adequately addressed, because we have cement behind the
16 entire length of that 4-1/2-inch casing. That cement will
17 protect the steel from any reservoir fluids.

18 Internally, we look at the corrosion of the
19 4-1/2-inch casing from a standpoint of what wellbore fluids
20 will that pipe see? In this case, because the well will be
21 put on rod pump, it will only see the casinghead gas that's
22 being produced from the Yates reservoir.

23 The gas does have an H₂S concentration to it
24 which varies anywhere from a nominal of 10 to 15 parts per
25 million up to 2000 to 3000 parts per million. A design

1 engineer would need to look at that, as we have done, and
2 take into consideration the possibilities of any sulfide
3 stress cracking.

4 When you look at the partial pressures of the H₂S
5 in this environment, they can exceed the .05 p.s.i.a. which
6 NACE recommends as a guideline for sulfide stress cracking.
7 In other words, you have to deal with it.

8 The absolute pressures, though, that are
9 encountered here will be less than the 65 p.s.i.a. total
10 pressures that NACE also specifies as being a guideline or
11 a limit to consider sulfide stress cracking.

12 We have addressed those issues in the way that we
13 have picked our pipe to run for production casing here.
14 NACE requires that in any environment where sulfide stress
15 cracking might be apparent, that you run steels with
16 Rockwell hardnesses less than 22. In this case, the K55 is
17 a mild steel, and it would have a Rockwell hardness of
18 somewhere 18 to 19.

19 Q. Let me have you turn your attention, sir, to the
20 displays behind Exhibit Tab 12, the first of which has been
21 enlarged and on the display board.

22 This is the configuration of the well as you
23 receive it. Now, tell us what you do to complete it.

24 A. Okay, exactly what we would do, we'd go into this
25 wellbore. As you see it right here on the board is not

1 quite how we see it. We have the DV tool that Mr.
2 Thoroughman discussed. We move in a completion unit.

3 The first thing we'll do is run in and drill out
4 that DV tool. After that DV tool is drilled up, you'll
5 have a configuration that looks very similar to what you
6 see on the board and is the first handout behind Section 12
7 in your book.

8 The wellbore is cleaned out, the drilling mud is
9 displaced, and two-percent KCl would be put in the wellbore
10 at that time.

11 We would then run the cement bond log that I
12 talked about. We would interpret and verify the integrity
13 of the cement at that time. The 4 1/2 production casing is
14 then tested, in this case to 3800 p.s.i.a.

15 After testing the production casing, verifying
16 its integrity and the cement also, we would then go in and
17 perforate the potential productive zone, in this case the
18 Yates.

19 Once the well is perforated, we will then run
20 tubing on a packer, acidize that interval, swab the load
21 back to verify the oil cut that we have. Once we determine
22 that we have a zone we want to go ahead and complete, we
23 will then go ahead and frac that interval.

24 After the well is frac'd, flowed back and tied
25 in, we would then run a rod pump hookup, which if I could

1 refer your attention to the second page behind Tab Number
2 12, you see "Wellbore Schematic, Rod Pump Setup". This is
3 basically what the wellbore will look like in a production
4 mode.

5 Q. What do you do to monitor the integrity of the
6 well?

7 A. The production from the well is monitored on a
8 day-to-day basis by a pumper. And what we've found out
9 over the years in dealing with wells, that when you have a
10 problem with a well, it's going to be reflected in the
11 production that you get out of the well.

12 For instance, if we would have a rod part in a
13 well, we would know that almost immediately because the
14 production would be down. So our monitoring efforts from
15 that standpoint are on a day-to-day basis by the pumper.

16 We also do some things with the produced water in
17 terms of securing that for analysis, checking iron counts,
18 which would be an indicator again of corrosion that might
19 be going on in the wellbore.

20 Q. Do you address any monitoring or prevention
21 program for casing leaks?

22 A. In particular what we do, when we might detect a
23 casing leak we would see an increase in water production
24 because again, 95 percent of the ones I've been involved
25 with have been due to a corrosive water behind the pipe,

1 and it would be readily apparent that you would have that
2 situation again due to the increase in water that you would
3 see on your daily production.

4 Q. What's the setup on the surface?

5 A. The setup on the surface is shown on the very
6 next page, again, behind Tab 12. The schematic is
7 entitled, "Generic Site Diagram", and I refer you to that.

8 You can see the wellhead in the upper-right hand
9 portion of that schematic, the flow of the three-phase
10 wellbore fluids going into the heater treater. From the
11 heater treater the gas comes off the top to the very north
12 of the page as it's set up through the gas sales meter.
13 The crude oil will come off the heater treater dump, go
14 into one of two 300-barrel stock tanks. The produced salt
15 water will come out of the bottom of the heater treater and
16 go into the 300-barrel fiberglass water tank.

17 Q. Do you as a production and operations engineer
18 have any pressure concerns, any concerns about pressure or
19 pressure relationships in this well?

20 A. Certainly not from the standpoint of protection
21 of miner safety. What we typically do is, we produce what
22 little casinghead gas is made into a low-pressure system.
23 The maximum pressure that we might hold on that casing
24 would be approximately 35 p.s.i.a. And the reason to do
25 that is simply to get it into the sales line.

1 Q. Behind the schematic of the surface configuration
2 you have written the details for the completion procedure?

3 A. Yes, sir.

4 Q. And then following that, what's the last display
5 in this section?

6 A. The very last display is the wellbore as you
7 would see it after the well has been P-and-A'd in
8 accordance with R-111-P.

9 Q. How many existing wells do you operate in this
10 area?

11 A. Currently we have 11 Yates producers in this
12 area.

13 Q. Are there any problems with any of those Yates
14 producers?

15 A. We have not seen any corrosion problems at all
16 with any of these Yates producers. The biggest problem we
17 have is dealing with paraffin.

18 Q. Do you have a forecast or an estimate of the life
19 of the well, the integrity of the well if you will? How
20 long is this thing going to stay together?

21 A. From the standpoint of mechanical integrity of
22 the well, the way we have it set up here, I would be
23 willing to say that that wellbore could withstand 20 or 25
24 years of carefully monitored production.

25 Q. Is that more than sufficient to allow your

1 company to recover the hydrocarbons available to you in the
2 Yates formation of the pool?

3 A. Yes, sir.

4 Q. What's the last display in the section, then?

5 You've got your procedure written out, and then there's a
6 pumping well configuration. What are we looking at here?

7 A. Okay, we talked about the pumping well
8 configuration as being the second handout in this section.

9 Q. Yes, sir.

10 A. I believe we've already discussed that one.

11 Q. Yes, we did. We've covered them all.

12 Did we include in your section, Mr. Noyes, a
13 plugging procedure?

14 A. The procedure itself is not in here in written
15 form.

16 Q. But an illustration?

17 A. But the illustration is, and that's what we
18 mentioned as the last handout in Section 12.

19 Q. Okay, all right. Let's describe it quickly.
20 What's your plugging procedure?

21 A. Okay. Again, in accordance with R-111-P, when
22 this well is deemed to be uneconomic, we will obviously
23 pull the rods and tubing out of the wellbores, salvage
24 those items, we would run in with a cast-iron bridge plug
25 set at above the Yates perforations and put 35 feet of

1 cement on top of it.

2 We would then displace the hole with 9.5-pound-
3 per-gallon mud.

4 The next step would be to put this salt-saturated
5 cement plug across the entire potash interval. Above that,
6 again, 9.5-pound-per-gallon mud would be displaced in the
7 wellbore.

8 There would next be a cement plug placed across
9 the surface casing shoe, 100 feet below the shoe to 100
10 feet above the shoe. Above that, again, 9.5-pound-per-
11 gallon mud.

12 And lastly, a surface cement plug from 50 feet to
13 the surface.

14 Q. Do you have an opinion whether or not we can
15 delete the salt-protection string as we propose to do?

16 A. Yes, I do.

17 Q. And what is that opinion?

18 A. My opinion, in my professional judgment, is that
19 it can be done. We can produce this well safely and
20 efficiently in accordance with the rules and regulations.

21 MR. KELLAHIN: That concludes my examination of
22 Mr. Noyes.

23 We move the introduction of his Exhibit 12.

24 EXAMINER MORROW: Twelve and 13, right? Or --

25 THE WITNESS: No, sir --

1 EXAMINER MORROW: Twelve?

2 THE WITNESS: -- just 12.

3 EXAMINER MORROW: Okay, Exhibit 12 is admitted
4 into the record.

5 EXAMINATION

6 BY EXAMINER MORROW:

7 Q. What kind of corrective measures would you take
8 if you ran the bond log and found out you weren't
9 adequately cemented?

10 A. Depending on what we saw, Mr. Examiner, we would
11 go in there, try to isolate that interval, perforate and
12 squeeze to re-establish the integrity of the cement in the
13 area where we determined it was not efficient.

14 Q. Now, would that -- If you didn't circulate on the
15 primary job, would the drilling people handle that, or
16 would they just leave it for you?

17 A. If we did not circulate cement back to surface on
18 this 4-1/2-inch casing, they would routinely go in there
19 and top out after they had determined here the cement top
20 might be.

21 And if that was sufficient, say within 100 feet
22 or 300 feet of the surface, they would top it out then, and
23 they would do that.

24 Q. Okay. So I guess they would run the bond log
25 there when they --

1 A. We run the bond --

2 Q. -- still had the drilling rig on the well if --

3 A. We generally run the bond log after the drilling
4 rig is off location.

5 Q. Oh, excuse me.

6 A. You specifically asked about circulating cement,
7 and if that's not done they would still have the
8 responsibility of looking after that aspect of it.

9 Q. Maybe a temperature survey or something?

10 A. Yes, sir.

11 Q. Do you know where the top of the potash zone is,
12 the top of the salt would be?

13 A. The very top of the potash zone?

14 Q. Yes, sir.

15 A. I believe in this instance the top of the potash
16 is somewhere around 1500 to 1600 feet.

17 I would very much like to get our geologist to
18 verify that, though; we drill in different areas. I
19 believe in this case that's about where it is.

20 Q. So there would be some interval between your 1350
21 and the top of that -- I guess the top of the salt and the
22 top of the potash is synonymous there, isn't it? Is
23 that --

24 A. We have set pipe into the Rustler, okay? in this
25 case.

1 Q. Into the Rustler or through the Rustler?

2 A. That surface casing is set into the top of the
3 Rustler, as Mr. Thoroughman has explained. And roughly
4 15 -- or excuse me, I think he said 50 feet into the top of
5 the Rustler.

6 Q. So then you would have some more Rustler before
7 you get into the Salado or whatever the -- potash -- ?

8 A. Yes, sir, that's true. The rest of the Rustler
9 and then the Salado.

10 Q. And the Salado would be like the potash? That
11 would be the potash?

12 A. Yes, sir.

13 Q. But on your plugging procedure, then, you would
14 come up, say, 50 foot above the -- You'd cover the entire
15 interval?

16 A. As a minimum, we would come at least 50 foot
17 above that potash zone, or the Salado as you referred to
18 it.

19 MR. KELLAHIN: Mr. Examiner, we will have a
20 display under the potash expert's presentation that shows
21 that relationship.

22 EXAMINER MORROW: Good.

23 Thank you, sir. Appreciate it.

24 MR. KELLAHIN: Okay?

25 Gary Hutchinson.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

GARY L. HUTCHINSON,

the witness herein, after having been first duly sworn upon his oath, was examined and testified as follows:

DIRECT EXAMINATION

BY MR. KELLAHIN:

Q. Mr. Hutchinson, sir, would you please state your name and occupation?

A. Gary Hutchinson. I'm a minerals management consultant.

Q. And where do you reside, sir?

A. I live in Golden, Colorado.

Q. Have you on prior occasions testified before the Oil Conservation Division as well as the Oil Conservation Commission and had your expertise as a potash expert recognized by this Division?

A. I believe that's the case. I think to say that I'm a potash engineering expert may be stretching it. I'm a mining engineer, a mineral economist and production expert in underground operations, and that's the credentials that have been approved before this body before.

Q. Is it within your knowledge, experience and expertise to make an evaluation of the barren area as inferred on the BLM Map that is issued in 1994 and to reach an independent conclusion about the size and shape of that

1 barren area?

2 A. Yes, it is.

3 Q. Is it within your expertise and experience of
4 your profession to give us an assessment of the economics
5 of the potash industry?

6 A. Yes, it is. I've done considerable work at that.

7 Q. In addition, is it within your expertise and
8 opinion to make a determination of the effects of
9 subsidence and how close subsidence may come to any
10 wellbore that may be drilled in Section 4?

11 A. That's correct, I have done -- I have
12 considerable subsidence experience with underground
13 operations in addition to this area.

14 Q. And lastly, is it within your experience as an
15 expert to make a determination of the relative integrity of
16 the geologic formations from the surface down to the Yates?

17 A. Yes, I believe it is.

18 Q. And have you done so?

19 A. Yes, I have.

20 MR. KELLAHIN: We tender Mr. Hutchinson as an
21 expert witness.

22 EXAMINER MORROW: All right, we accept Mr.
23 Hutchinson.

24 Q. (By Mr. Kellahin) Let me ask you to turn, sir,
25 to Exhibit 13. Let's not do that, let's do the base map.

1 The base map is the first exhibit that Mr. Stephenson
2 described earlier.

3 Yes, sir, put this in perspective for us. Show
4 us where potash mining activity is taking place as we
5 speak, in relation to what Mitchell proposes to do in
6 Section 4.

7 A. This particular exhibit shows the New Mexico
8 Potash Mine as being five miles from Section 4. It also
9 shows what I believe to be the northernmost limit of the
10 New Mexico Potash Mine, and I know that they are mining far
11 to the south, several miles south of that, and it was
12 reported that their operations are not concentrating on
13 that northern area, and they don't intend to do so for
14 several years.

15 Q. New Mexico Potash mining operations are not
16 moving toward Section 4?

17 A. That's correct.

18 Q. All right.

19 A. It's my information that the Mississippi Chemical
20 Mine, once owned by National Potash, which is shown on this
21 Exhibit, 5.3 miles from Section 4, has not been actively
22 mined since 1982. The mill is in operation sporadically,
23 but there has been no underground mining in that mine since
24 1982.

25 Q. Let's go to the next display. We gave it earlier

1 in the book. It is a copy of the BLM 1994 Map?

2 A. 1984 map.

3 Q. All right. The 1984 map is the one that Mr.
4 Stephenson described had the R-111-0 black line depicting
5 what the extensions were in R-111 up to that time?

6 A. That's correct.

7 Q. All right. Do you have that display before you?

8 A. Yes.

9 Q. We've not yet described to the Examiner how to
10 read the Potash Maps. You know, they've got a bunch of
11 different colors on there.

12 A. Yes, they do.

13 Q. How were the colors generated and what do they
14 mean?

15 A. According to the BLM terminology, they have
16 colored in red those areas they believe to be barren of
17 potash mineralization or of minor or uneconomic potash
18 mineralization. You can see several of those areas
19 throughout the map.

20 Unfortunately, this particular copy also shows
21 mining in a slightly -- off-color to the red. It's more
22 orange, but not to be confused. Those are areas that have
23 already been mined, if you will.

24 Q. The different color codes are indicated on the
25 legend, and you can read down the codes and see the values

1 and determine what they were trying to interpret?

2 A. Yes, they color what they believe to be economic
3 reserves. I disagree with them. And they color those
4 blue.

5 They make no differentiation between the ten or
6 so potash zones, just if one zone happens to be economic in
7 their opinion in an area, they color it blue.

8 Q. All right. How many potential potash zones are
9 we dealing with when you look at the potash area?

10 A. Geologically there seem to be ten or eleven in
11 this area. Only about four or five of them throughout the
12 entire area have been mined in the past. So I would say
13 that the number of potash zones that are commercial are
14 limited to that -- perhaps five of the ten.

15 Q. I don't know the vocabulary of your business. If
16 I was an oil and gas guy I would call this something like a
17 gross isopach, if you will. They have lumped together all
18 ten or eleven zones and tried to make a map on that gross
19 interval?

20 A. Yes, they've done so based on quality alone, and
21 with no consideration whatsoever for quantity.

22 They go on here to provide color codes for
23 indicated potash reserves and inferred potash reserves. In
24 the oil business, those would be roughly equivalent to
25 probable and possible.

1 I believe that they are stretching those economic
2 limits somewhat by their coloring, personally.

3 Q. Okay, because of those reservations and concerns,
4 we've asked you to independently verify the size and the
5 shape of the barren area as inferred on the BLM map in
6 relation to Section 4?

7 A. Yes, you have. I've performed that evaluation.

8 Q. Let's turn to Exhibit 13 and look at the display
9 sheet. It says "Figure 2 -- "

10 A. Yes.

11 Q. " -- Informal members of the Castile Formation".
12 I think we're looking at the same thing.

13 A. Yes, we are.

14 Q. All right. To set up the discussion,
15 investigation of the barren area, give us a reference from
16 the surface down. And when we get into the Delaware Basin,
17 particularly in this area, what are the formations we're
18 dealing with?

19 A. Generally this is a hypothetical cross-section
20 from the shelf area, which would be to the north, into the
21 Delaware Basin to the south.

22 Included in the critical formations, of course,
23 the Rustler formation at the top, which you're familiar
24 with.

25 The next below that is the Salado formation,

1 which does contain the potash deposits in the area.

2 Below that, on the right side of the cross-
3 section, is the Castile formation, which is limited by the
4 Capitan Reef and its structural position on the north edge
5 of the basin.

6 Below that is the Bell Canyon, and below that the
7 Cherry Canyon formations, which are of a different age, the
8 Guadalupian, whereas the Ochoan, if that's a good
9 pronunciation, are the evaporite deposits. And the Rustler
10 formation that we're concerned with here.

11 On the left side, on the shelf area, are the
12 formations that are expected to be encountered, in this
13 instance the Tansil formation, the Yates and Seven Rivers.

14 Q. With that perspective now, do you have a type log
15 or a section, an illustration so we can see how the Salado
16 is subdivided into these various potash zones?

17 A. Yes, I do. The next sheet in Tab 13 shows a
18 stratigraphic column.

19 If you'll look in the upper left-hand corner
20 you'll see the Ochoan members, what we've just described in
21 the previous cross-section. And to the first column to the
22 right of the formation descriptions, you'll find the
23 Rustler, the word "upper", below that "McNutt", and then
24 "lower". The upper, McNutt and lower members all refer to
25 the Salado formation.

1 If you go to the Ochoan column near the middle of
2 the page you will see that the McNutt member is bounded at
3 the top by the -- I think it's Vaca Triste zone -- and at
4 the bottom by Marker Bed, MB, Number 126.

5 That area is expanded further to the right, in
6 the column furthest to the right, and it shows in
7 decreasing number, with the top number being 11, in a
8 circle, the potential ore zones with 1 being at the bottom.

9 Of those zones, 11 is not commercial.

10 The 10th ore zone is being mined in the New
11 Mexico Potash Mine, which you will recall is some five
12 miles away at its closest point. And it contains several
13 clay seams.

14 Number 9 is not commercial.

15 Number 8, I don't believe, has ever been mined.
16 It does contain clay seams.

17 Number 7 contains clay seams, and Number 6,
18 together, are not considered commercial.

19 Down to Number 5. That zone occurs in the
20 southern part of the potash area and is one of the two
21 principal sources of langbeinite, another mineral that is
22 used -- is mined and from which potash is produced. It
23 does not occur in the northern part of the basin that we're
24 concerned with here.

25 Some distance below that is the 4th zone. It

1 also is a principal source of langbeinite. And again, it's
2 only found in the southern part of the basin, or mined in
3 the southern part of the basin.

4 Zone Number 3 has been found to be low-grade, was
5 mined for a short period of time by a mine that is now
6 closed permanently.

7 Number 2 is not commercial.

8 And down at the bottom is Number 1, which has by
9 far been the biggest source of potash to come out of this
10 potash basin. But most of those mines are on the western
11 edge of the potash basin and were some of the first mines
12 developed because of the quality of that zone and its
13 proximity to the surface.

14 Q. Have you and the Mitchell geologists prepared a
15 structure map so that we will have an illustration --

16 A. Yes.

17 Q. -- to demonstrate to the Examiner the depth of
18 the potash in the area as we move towards Section 4?

19 A. I believe there's a pocket that follows the
20 stratigraphic column sketch. And for --

21 Q. So we don't get confused on values, show us how
22 to read the map.

23 A. For ease in reading this map, if you would look
24 at the subject Section 4 that has some yellow coloring in
25 it --

1 EXAMINER MORROW: All right.

2 THE WITNESS: It's in the lower right-hand corner
3 of the map. If you would write on that contour that goes
4 through Section 4, if you would write "1500".

5 And if you would then go to the west, to the
6 "Mississippi Chemical (Inactive)" notation, that contour
7 there should be labeled "1900", just for ease of our
8 demonstrating something here.

9 And the next contour to the right would be 1800,
10 and the next one to the right that goes through the New
11 Mexico Potash Mine is 1700.

12 Q. (By Mr. Kellahin) What do those values mean?

13 A. Those are the elevations. In this case, they're
14 not subsea elevations, they're positive elevations above
15 sea level.

16 The interesting thing about this map shows that
17 at the New Mexico Potash Mine the top of the McNutt -- This
18 is a McNutt structure map. The McNutt, you will recall, is
19 the zone that contains all the potash areas. The McNutt is
20 the middle section of the Salado, which is the salt zone,
21 commonly referred to as the salt zone.

22 The center portion of that is the McNutt
23 formation. All of the potash zones are contained within
24 the McNutt. So here's a structure on top of the McNutt
25 showing its elevation at different points.

1 I indicated earlier that the 10th ore zone is
2 being mined by New Mexico Potash. That's the only zone
3 that they mine. It shows -- This map is designed to show
4 you that -- and we know earlier that the 10th ore zone
5 contains clay zones in it.

6 The distance from the New Mexico Potash Mine down
7 to the Section 4 is 1700 minus 1500 or an additional 200
8 feet on the top of the McNutt. This means that the top of
9 the McNutt is 200 feet lower. That means the 10th ore zone
10 is at least 200 feet lower.

11 And we know that in the New Mexico Potash Mine
12 they have had problems with pressures at that depth. To go
13 deeper would give them, most likely, higher problems -- or
14 higher pressure, and therefore greater problems with their
15 mining operation.

16 Q. Let's turn now to the topic of having you verify
17 and validate the size and the shape of the barren area.

18 A. All right.

19 Q. If you'll look at the next illustration, does
20 that represent your work product?

21 A. Yes, this next sheet, an 8-1/2-by-11 sheet in
22 your packet behind Tab 13, two days ago --

23 Q. Let's talk about the conclusion first, and then
24 we'll talk about how you got there.

25 A. All right.

1 Q. What's the conclusion, and how do we reach it?

2 A. There are two cross-hatched areas, one in the
3 upper left-hand corner, which would be northwest, and then
4 a large area in the center of this nine-section plat, that
5 are believed to be barren of any potash mineralization at
6 any zone.

7 Q. Okay. What is the source of the data that caused
8 you to reach that conclusion?

9 A. I went to the BLM office in Carlsbad two days ago
10 and met with their potash administrator, and he is not
11 allowed to give out quantitative information on core holes
12 that are contained within the potash leases. The potash
13 companies don't want anyone to know what their grade is.

14 He does have a cutoff grade for commercial and
15 subcommercial, which is, for this particular mineral,
16 sylvite, ten percent of K_2O . It's just a measurement of
17 the grade of potassium in the core hole.

18 On this particular map, for example, in Section
19 32, in the northwest corner, is a core hole, I-157. This
20 indicates that in the 10th ore zone the BLM believes it to
21 be of commercial value.

22 However, on -- in Section 34 in the northeast
23 corner, core hole number P-160 is not under lease. The BLM
24 shows it to be commercial in the 10th zone where they have
25 four feet of 11.6-percent K_2O as sylvite, which is the

1 indication of the "S" in parentheses.

2 I was able to get the information that he was
3 allowed to give me on all the core holes, which are shown
4 by the approximately one-quarter-inch-diameter circles on
5 the map.

6 If you would look in Section 5, on the left side,
7 middle, of the nine-section plat, I-137 is indicated to be
8 barren of any mineral -- potash mineralization.

9 To the south, hole number I-144 is similarly
10 thought to be barren in all zones. To the south, under the
11 words "R33E", I added a hole, U-115, and it is indicated to
12 be barren in the 10th zone. It is shown by the BLM to be
13 economic in the 3rd zone, but there's no 3rd zone being
14 mined anywhere in the basin.

15 So that is an example of how the BLM will take a
16 percent K_2O , draw a circle around it, and it becomes blue
17 on their map, whereas in reality there isn't enough
18 quantity there to justify any sort of mining activity.

19 Q. Did you have available to you sufficient public
20 information where you would have control points by which to
21 make your interpretation of the size and shape of the
22 barren area?

23 A. Yes, the information that they gave me has been
24 duplicated using their interpretation of economic ore on
25 this map.

1 From my point of view, however, where I was able
2 to get the actual grades, which are in Section 34, 3 and
3 just south of the south line in Section 10, they gave me
4 grades that varied in the 10th zone from almost 15 percent
5 K₂O to 13.8 percent K₂O. And in Section 34, 11.6 percent
6 K₂O.

7 I believe those to be completely subeconomic.
8 They're not even close to being economic ore that would
9 justify the opening of a mine, principally because there
10 just isn't enough quantity here of a high enough grade.
11 That wouldn't even make their costs.

12 Q. Do you have an opinion as to whether or not if
13 the Examiner approved this Application it would result in
14 the undue waste of commercial potash?

15 A. I believe there is no commercial potash north of
16 the New Mexico Potash Mine in the basin.

17 Q. Approval of this Application of Mitchell would
18 not, then, cause the undue waste of commercial potash?

19 A. Yes, it is my considered opinion that there will
20 be no new mines opened up, other than the mines that exist,
21 in the north end of this basin.

22 If there are no new mines -- and this is a long
23 -- this is a far distance from any existing mines -- then
24 there would be no waste of potash.

25 Q. Let's talk about a hypothetical.

1 A. All right.

2 Q. Apart from the reality that mining operations are
3 not going to occur in this immediate area, let's talk about
4 what -- The potash industry has described to the Division
5 on numerous occasions this concept of subsidence?

6 A. Yes, sir.

7 Q. What if mining operations were to take place?
8 How close would those operations have to come before there
9 is a cause-and-effect relationship between the oil well and
10 the mining operation?

11 A. In the hypothetical, if you would look at the
12 next 11-by-18 foldout sheet, this is a -- This was done by
13 Dr. Deere back in 1961. It's very good. It was done for a
14 study in the potash basin. It's very good to explain what
15 happens with subsidence.

16 In the lower of the three diagrams, it shows on
17 the right-hand side the end of mining and a vertical line.
18 It shows a series of four angles, all named alpha 1, alpha
19 2, alpha 3 and alpha 4.

20 To answer your question, the most important
21 situation that we want to look at here is where the
22 geologic formations might break through to the surface with
23 subsidence of the mined area below, and that happens at the
24 point called T_{max} , T-m-a-x.

25 That coincides in the top diagram with the point

1 where the tension measured on the surface, through very
2 scientific surveys with concrete monuments in the ground,
3 the distance between two monuments has changed the most.
4 And with subsidence, the area very, in this case, slowly
5 collapses and the monuments pull apart most dramatically at
6 that point.

7 That's a point of maximum tensile stress on the
8 earth, and if there were a structure there it would be the
9 maximum tensile stress on that structure.

10 If you go further to the right, on the lower
11 diagram you'll come to the notation, T_0 . That's the point
12 where the distance between the monuments, through
13 considerable studies and surveys, have indicated that the
14 tensile effect or tensile stress is near zero. So any
15 structure that would be outside that point would not be
16 affected by subsidence stresses.

17 Going further to answer the question in the
18 hypothetical, what would be a safe distance?, I have
19 studied all of the public, published documents of
20 subsidence in the potash basin.

21 If I may show you where they are on this large
22 Potash Map that's been put into the record before, this is
23 called the Wills-Weaver Mine. It's the northernmost,
24 westernmost potash mine. It's now closed, has been for
25 some years.

1 In the process of closing it, the USGS, who was
2 in charge of this area before the BLM, commissioned an
3 engineering study to make sure that they could seal the
4 shafts so water would not go down the shafts and would not
5 put the potash that had been mined or in those salt
6 areas -- dissolve them and make a big void.

7 What they determined through studies is that the
8 potash zone would -- slope that had been mined would slowly
9 collapse, because the salt is very plastic, and it would
10 seal that off.

11 And they studied those subsidence situations to
12 make sure that the shafts that were sunk here would not be
13 tilted because of the subsidence, and then made their
14 recommendations to the USGS how to seal off those shafts,
15 or, in terms of the oil business, to plug them.

16 They discovered during this investigation that
17 there were three active oil wells within the mine that had
18 been drilled through pillars. A pillar is a big block left
19 to support the mining operation. These pillars had
20 approximately 150-foot radii, and there were three of them
21 in an area that had been mined to the extent of maybe 75-
22 percent extraction of the potash below.

23 Those wells, to my knowledge, still operate
24 today, and they've had no adverse effects on those -- There
25 have been no adverse effects because of potash subsidence

1 on those wells.

2 The other area that was extensively studied for
3 subsidence was the westernmost mine, once belonging to U.S.
4 Borax. Back in 1965 they published an article. They were
5 asking for permission to allow them to let the potash
6 subside by taking out the large pillars they had left in
7 place and just letting the ground collapse.

8 The Bureau of Mines required them to do some
9 extensive studies on the surface, where they put these
10 monuments in, as I've described earlier, measured their
11 elevation differences and the distances from monument to
12 monument.

13 The next thing that happened was, in 1961 they
14 hired Dr. Deere from the University of Illinois to come out
15 there and tell them where they could locate the foundation
16 for a new mill, large concrete structure to put a mill in,
17 where the subsidence would not affect that mill. He did
18 that study, and this is a sketch -- This exhibit is a
19 sketch from that study.

20 I assimilated all that information and would like
21 to define for you one other critical subsidence study
22 angle, and that is the angle of critical deformation. Now,
23 that has no basis in science, but it has a basis in
24 substance.

25 If U.S. Borax wanted to build a mill, they would

1 not want that concrete structure to crack. So they would
2 locate the mill -- or confine their mining below so that
3 that mill foundation would not be affected.

4 In our case, and in response to Counsel's
5 question, I believe that the angle of critical deformation
6 for a double-cased hole with cement between the casing and
7 cement outside the casing should be close to T_0 . That
8 would give a considerable amount of safety factor, because
9 we do know that the structural integrity of the casing
10 structure, the two casings with the cement, has some
11 ability -- a considerable ability to resist tensile
12 strength.

13 But if we set it at T_0 , that would mean that for
14 a 2000-foot-deep mining horizon, you could go 1150 feet
15 horizontally. Now, that's approximately -- That would make
16 angle alpha 2 on this diagram approximately 30 degrees.

17 I took all these studies and assembled them and
18 determined that the lowest angle similar to alpha 2 was in
19 the small Wills-Weaver Mine up here where the oil wells are
20 not being affected, and that angle is only 10 degrees off
21 of vertical.

22 In Dr. Deere's report, in finding a location for
23 a mill, he came up with the highest being 35 degrees, and
24 when I accumulated all of the data I came up with an
25 average of 23 degrees.

1 So I feel comfortable in recommending a 30-degree
2 in this hypothetical situation that we've just discussed,
3 and that provides zero tension on any structure if you go
4 out that far.

5 And so the formula would be that the safe
6 horizontal distance would be the vertical distance to
7 mining times the tangent of 30 degrees.

8 Q. When we apply that specifically to the depth of
9 the ore in relationship to Section 4, what would that
10 distance be, then, to have a buffer or a safe setback?

11 A. I determined that -- not knowing what the actual
12 depths were -- I knew they were approximately 2000 feet.
13 The 1150 feet is for 2000 feet.

14 However, if you back up one exhibit, you can look
15 at the core hole locations and you'll see a number above
16 and to the right of those that show the depth from the
17 surface to the 10th ore zone -- not to the McNutt, but to
18 the 10th ore zone -- and it shows that, for example, in
19 I-144 the depth to the 10th ore zone is 2171 feet.

20 Are you --

21 Q. Yeah.

22 A. And so if you look at all of them, the average is
23 over 2000 feet. Maybe closer to 2100 feet. So it would be
24 slightly more -- The offset would be slightly more than
25 1150 feet.

1 Q. We talked earlier about the shallow oil wells and
2 a buffer zone set back from the LMR. You know, the quarter
3 mile? There's a --

4 A. Yes, I've read R-111-P.

5 Q. All right. You get to R-111-P and you see an LMR
6 established, shallow oil well has to be greater than a
7 quarter mile away from an LMR?

8 A. That's what it says.

9 Q. Yeah. Is there any relationship to that buffer
10 zone and the effects of subsidence?

11 A. I believe it is totally arbitrary. I think if
12 someone were to come in here and mine something much
13 deeper, that the quarter mile might not be enough.

14 And there doesn't seem to be any science in the
15 quarter of a mile, because over on the west side of the
16 potash basin where they're mining 600 feet deep it's a
17 quarter mile, and in this area, which would be 30 percent
18 deeper than anybody has mined before, it would still read a
19 quarter of a mile, but -- So there doesn't seem to be any
20 science in it.

21 Q. All right. We're in an area that's barren,
22 there's an absence of commercial potash, and in your
23 opinion we're not going to see this potash mined.

24 However, I want to be really careful and I want
25 to establish some scientific distance -- a real buffer, if

1 you will -- between my operations in Section 4 and whatever
2 may ever happen with the potash. What is that horizontal
3 distance?

4 A. I would recommend that you take -- as mining were
5 to encroach within some reasonable distance of the oil
6 field, that the mining company should be required to do
7 what others have done: Make a study of blocks that they
8 are allowing to cave in and, determining the distance to
9 the potash, require that they not get closer than a 30-
10 degree angle from the vertical over to the wellbore.

11 Q. And in this instance as we apply it to Section 4,
12 that's approximately 1200 feet?

13 A. That's correct.

14 Q. All right. Let's go to another topic. Let's
15 talk about what studies you have made to determine the --
16 I'll call it "permeability" because that's the word I know.
17 I assume that you may call it something else. But I want
18 to look at the integrity of the formations from the surface
19 down to the Yates.

20 To start that discussion with you, is there a
21 geologic illustration that you can give us?

22 A. Yes, the next sheet behind Tab 13 is another
23 cross-section, somewhat similar to the one that we saw
24 before. This comes from an extensive study done for the
25 WIPP site. WIPP, on the large Potash Map, is located in

1 this area.

2 Q. In fact, it's identified on the map as "WIPP"?

3 A. W-I-P-P, yes, it is. And we're some distance
4 away, but we're still within the geologic basin limits and
5 the formations are quite similar.

6 At WIPP they were very, very careful to locate it
7 to prevent the escape of any -- I think it's called
8 transuranic waste. And they located it in the Salado
9 formation, which is shown on this exhibit.

10 You'll also note on this exhibit, through the
11 middle of it you'll see the McNutt potash zone. I believe
12 the WIPP site actually would be below the McNutt but well
13 in the Halite so that there's no chance of escape through
14 this impermeable area, up.

15 And to make sure nothing comes up from below they
16 studied the Castile formation, which I've proven to myself
17 through research is similar in its composition of anhydrite
18 and halite to the seal that was described earlier by Mr.
19 Olive in the Tansil formation.

20 Q. Let's take this to the next illustration. Do you
21 have an example of what the potash operator would
22 encounter, geologically, from the surface down to the
23 Salado as he attempts to operate his mining operation?

24 If you go to the next display I think that's the
25 illustration I'm trying to point you to.

1 A. Okay. The next one is from this WIPP study that
2 I examined.

3 And by the way, I think that the OCD here is very
4 fortunate that such a tremendous amount of research was
5 done in this particular area for the location of the WIPP
6 site. They have exhaustive technical data. I have looked
7 at quite a bit of it, and it's not something you would
8 normally find in an oil and gas basin. It's very
9 impressive.

10 Q. This came from the WIPP site, but it's
11 illustrative of what the potash operator deals with from
12 the surface down to his potash?

13 A. That's correct. And at the WIPP site they put a
14 shaft down, which is shown on the next 8-1/2-by-11 sheet,
15 and they lined it with concrete through the Dewey Lake
16 Redbeds, all the way through the Rustler formation and into
17 the upper part of the Salado formation.

18 They left the remainder of the shaft open so that
19 they could study the Salado formation for its conductivity
20 and permeability and presence of clay materials and gases
21 and anything that they could think of to determine the
22 geologic and structural characteristics of the Salado
23 formation wherein they placed the WIPP site.

24 Q. What's the conclusion?

25 A. They didn't seem to be at all concerned with any

1 gases or liquids coming into that shaft while they studied
2 it. And certainly their studies indicated that the Salado
3 is impermeable, that when they have encountered gas, as New
4 Mexico Potash did, it's totally contained and is of a
5 depositional character within the formation, and it did not
6 come from outside that formation.

7 Q. Have you and the Mitchell geologist taken one of
8 Mr. Thoroughman's displays to give the Examiner an
9 illustration of where he is in relation to the top of the
10 salt and the base of the Salado and the top of the Yates?

11 A. Yes, we have, and it's on the next sheet behind
12 Tab 13. It's entitled "Wellbore Schematic". And you've
13 seen it before, but we've added some notes to it to show
14 you where some of the -- where this wellbore in its
15 recommended configuration would be in the formations.

16 The surface casing, the cemented surface casing,
17 comes very close to the top of the salt, located in an
18 impermeable area in the Rustler, which is required by
19 R-111-P.

20 The base of the Salado is noted on there in an
21 approximation of scale here.

22 And then the expandable plug that had been
23 described earlier by Mr. Thoroughman is shown. And below
24 that, the top of the Yates.

25 This shows they expect to go into the Yates, plus

1 or minus 500 feet. And that would conform to a distance
2 that would be approximately 800 feet below the base of the
3 Salado, which is shown on the left side of the diagram.

4 Q. From your perspective in the potash industry, do
5 you have any opinions about drilling a well with this type
6 of well program in the potash enclave?

7 A. Well, I have drilled some oil wells, not in this
8 area, and this is a -- with the exception of the expandable
9 plug -- fairly common practice. And since I don't believe
10 there will be any potash mining anywhere near here, I think
11 this is -- this is an adequate way to do it, taking into
12 consideration that I'm not an expert drilling engineer.

13 Q. The next topic I want to describe with you is to
14 see if you can give the Examiner some sense, some
15 relationship as to the integrity or the character of the
16 various formations that we deal with. In my industry you
17 would try to run some type of test or analysis to determine
18 the porosity or the permeability of a zone?

19 A. Yes, I have. And if I could ask you, Mr.
20 Examiner, to back up two sheets to this cross-section, it
21 will help you -- and put it next to the next sheet, which
22 is just a typewritten sheet. If you would put those two
23 together, it would be helpful in understanding what I've
24 done.

25 I went to the technical studies of WIPP. And as

1 I said earlier, they performed some conductivity ranges.
2 Now, this is for water and it's in feet per day. And I
3 broke it down to try to summarize a very large amount of
4 work into a summary sheet.

5 At the beginning of the typewritten sheet it
6 shows the Bell Canyon, and I've said also the Yates and
7 Seven Rivers. And if you look at the cross-section you'll
8 see that the Yates formation is shown going into the
9 Capitan limestone, and it comes out called the Bell Canyon
10 formation down below.

11 Now, these are not identical formations, but
12 geologists with the New Mexico School at Socorro have
13 studied the fossils in each of them, and of course the
14 structure for sandstone and shales and limestone, and found
15 them to be similar in age and somewhat characteristic of
16 one another.

17 So there's a relation. I don't think it's really
18 close, but there is a relationship to them.

19 And I have data on the Bell Canyon or the -- Yes,
20 the Bell Canyon formation, as to conductivity. And that is
21 shown, and I -- These are strange numbers to work with. So
22 to help us be able to compare, I put the conductivity
23 ranges in terms of 10^{-3} , which means you can take any of
24 the numbers to the left of the "times" sign and move the
25 decimal point three places to the left to get the real

1 number.

2 But since they're all in 10^{-3} ranges, you can
3 compare the sandstones and their conductivity of having a
4 range of 30 times 10^{-3} to 200 times 10^{-3} , something that we
5 could predict.

6 Also, the siltstones and shales are less
7 permeable, are less -- have lower conductivities. And in
8 the WIPP tests they ran several other tests which I
9 summarized. And so for the entire Bell Canyon area the
10 average conductivity turned out to be 33 times 10^{-3} .

11 Q. You've done that for the other zones in the area
12 to come up with a range of conductivity?

13 A. Yes, I have, and --

14 Q. Let's -- Yeah, without reading them --

15 A. Right.

16 Q. -- get us to the punch line and tell us what the
17 conclusion is --

18 A. All right.

19 Q. -- from the study.

20 A. The Castile, as I said earlier, they wanted to
21 locate it so the Castile would be a seal. And it has -- It
22 showed no conductivity, as did the halite zones, including
23 the McNutt, as no conductivity.

24 However, there are some argillaceous halites,
25 halite formations with clay in them, and there's Marker Bed

1 139 that they tested, and the data is there.

2 The average of the non-salt-zone tests, or those
3 halites that were compromised with some clay, averaged out
4 being .000543 times 10^{-3} . So that you can see that there's
5 -- The conductivity, even in the clay zones, compared to
6 the formation, the Bell Canyon, is very, very small.

7 To put this into perspective, if you want to
8 assume unit areas, gradients and thicknesses and liquid
9 viscosities that are the same, I tried to compare one inch
10 of water penetration in the average non-halite bed in the
11 Salado, of one inch, and what that would be in the Bell
12 Canyon. It turns out to be 5000 feet.

13 You can see that any water -- and perhaps you can
14 relate this to some degree to gas -- would have many places
15 to go before it would go anywhere in the Salado.

16 The amount of time for water to travel one inch
17 in the average Salado non-halite bed is 420 years, if you
18 calculate it using the average that I've come up with.

19 So basically the Salado is impermeable, by any
20 comparison that you'd like to make.

21 I would, in comparing subsidence to permeability,
22 tell the Examiner that the subsidence is something that
23 should be of concern and should be -- something should be
24 done with it in knowing on the hypothetical that mining --
25 if it did encroach towards Section 4, that that would be

1 the critical item, not permeability.

2 EXAMINER MORROW: So 30 degrees away from your
3 depth will be --

4 THE WITNESS: Yes, I think 30 degrees would give
5 you a considerable safety factor.

6 Q. (By Mr. Kellahin) I want to deal with this last
7 topic in a summary fashion, Mr. Hutchinson. It has to deal
8 with supporting your conclusion you expressed a while ago,
9 that the mining activity for potash recovery in the basin
10 within this area is not going to happen concurrently with
11 the extraction of the hydrocarbons that Mitchell proposed
12 to accomplish in Section 4, it's simply not going to happen
13 contemporaneously. Is that a fair characterization of your
14 opinion?

15 A. I think that's absolutely correct.

16 Q. Let me have you take us through a quick summary
17 of the economics that have caused you to reach that
18 conclusion, and I'm going to let you start with the pie
19 chart, the display that has -- that is next in your
20 section.

21 A. There are seven sheets that I've put together to
22 go through the status of potash in the United States and
23 how the New Mexico potash industry is related. And I'll
24 just do it quickly. You can have these exhibits to look at
25 later; they're very simple.

1 But basically, on the first page it shows the US
2 demand use is 95 percent fertilizer.

3 The next pie chart down shows that the US gets
4 their -- 93 percent of their potash from Canada.

5 The next one down says that of that potash
6 produced in the United States, 37 percent is exported.

7 On the following page there are two pie charts.
8 One shows that 95 percent of the US fertilizer is in the
9 form of muriate.

10 Now, when I spoke about langbeinite and sylvite
11 earlier, sylvite occurs in the northern end, almost
12 exclusively, of the potash basin. Or, better stated,
13 langbeinite, which is a highly specialized product, only
14 occurs in the southern part, far away from the subject
15 area.

16 The sulfates are very expensive, so they're only
17 used on specialty crops.

18 The US fertilizer demand comes -- 59 percent is
19 consumed in the corn belt of the upper midwest, 2 percent
20 in California, et cetera.

21 On the next sheet, concentrating on the corn belt
22 demand, it shows that 89 percent of the corn belt demand
23 comes from Canada, 11 percent from domestic sources.

24 If you would now turn the page for a moment,
25 you'll see a map of the United States with the corn belt

1 colored in an orangy-yellow color, and those are the states
2 that consume 60 percent of the potash, because corn takes a
3 lot of potash apparently.

4 Q. Across that map, you've got a line that's almost
5 horizontal. What does that mean?

6 A. If you'll look at the big purple area just across
7 the Canadian border, that's where the Canadian potash
8 reserves are located, in Saskatchewan. If you look down to
9 the familiar southeast corner of New Mexico, you'll see the
10 relative size of the New Mexico potash reserves.

11 That line is equidistant from those two sources.
12 And you would expect that where New Mexico had a
13 transportation advantage, their potash would go to that
14 state, and certainly Missouri shows 65 percent of its
15 potash comes from domestic sources.

16 Now, if you'll back up a page again to the pie
17 chart that is in the middle of the page, it shows the corn
18 belt without Missouri, and that indicates that 95 percent
19 of the corn belt demand comes from Canada, five percent
20 from domestic sources -- mainly, I would guess, New Mexico.

21 Now, the last pie chart shows the New Mexico
22 production, 93 percent of it being muriate, seven percent
23 being sulfates. So you can see that the big potato in New
24 Mexico potash production comes from the mineral sylvite and
25 not from those special langbeinite deposits down to the

1 south.

2 Q. Are there values, costs, criteria, information
3 that explains why that relationship exists, the advantage
4 that Canadian potash has for a significant portion of the
5 US domestic consumption of potash versus what happens in
6 New Mexico?

7 A. Yes, sir. If you'll recall the map of the corn
8 belt states, it's clear because of the transportation
9 situation, that the New Mexico sylvite mines are in
10 competition with the Canadian mines.

11 Now, if you'll turn one more page past the map,
12 you'll see a typewritten page in large letters called "New
13 Mexico-Canadian Muriate Production from Sylvite", and I've
14 taken some criteria that's been published in public
15 information sources.

16 In 1991, the production in thousands of metric
17 tons of K_2O , Canada produced almost 7.3 million. New
18 Mexico produced 1.3 million.

19 The prices are the same. Cash costs in New
20 Mexico are larger, and the reason for that comes in the
21 next line. The grades mined in Canada exceed 25 percent
22 K_2O per ton mined, in New Mexico less than 13.2 percent in
23 1991, and they're dropping drastically every year.

24 The mining thickness in Canada is 25 to 28 feet.
25 They can get large equipment in there and mine

1 inexpensively. The average thickness mined in New Mexico
2 is five to eight feet.

3 The production capacity in Canada is 11.5 million
4 metric tons per year, whereas in New Mexico it's close to
5 1.5, and that was before the AMAX Horizon Mine closed
6 permanently.

7 To show how big the reserves are in Canada, they
8 control 47 percent of the world reserves, whereas New
9 Mexico controls only -- less than one percent.

10 All this comes together to show that the
11 Canadians have a comparative advantage of about 2.6 to 1.
12 That means that in New Mexico they would have to mine 2.6
13 tons, mine it, process it and turn it into product, whereas
14 the Canadians would only have to mine one ton. So there's
15 a tremendous advantage. It's physical.

16 Canada is one of our greatest trading partners,
17 and it just looks like it's not a competitive situation for
18 the New Mexico mines to keep on producing in competition
19 with Canada, where the Canadian -- or the New Mexico
20 reserves are dropping, the number of mines is contracting,
21 and the answer is inevitable.

22 And that's the basis for my saying there will be
23 no more new mines to the north.

24 Q. Have you plotted the New Mexico potash production
25 over the last number of years and shown that in the form of

1 a display?

2 A. Yes, on the following -- On the next sheet under
3 Tab 13, I have plotted the actual amounts of thousands of
4 metric tons of K_2O that have been produced back to 1966.

5 In 1965, that was the pinnacle, that's -- From
6 1930 until 1965, seven mines came on stream in New Mexico.
7 And of course, the lowest-cost mine is going to come on
8 first and the least efficient mine is going to come on
9 last. And then they're going to come off-line probably in
10 the reverse order, and they have.

11 And you can see that the actual production is
12 dropping radically since the peak of 1965, and I've put a
13 regression line, a trend line in there, if you will, to
14 show that it's going to continue to drop.

15 And my last exhibit and my mining experience
16 tells me that for the BLM Map to have expanded and
17 therefore, because of R-111-P, the State R-111-P area
18 expanded, doesn't make economic sense or commercial sense
19 in an industry that is declining. I know that if a mining
20 company had seven mines and two of them went out of
21 production, their reserves available to be mined would
22 decline.

23 But if you'll look at the very last sheet of my
24 -- behind Tab 13, you'll see a chart showing the years
25 1980, 1984, 1992 and 1993, 1994 and then 1995 through 1996.

1 The production of potash is coming down. And in columns C,
2 D and E, you can see that since 1980 potash production has
3 dropped almost a third. But yet the map remains the same
4 size. That doesn't make sense to me.

5 The number of mines in the three columns to the
6 right show that there were seven mines operating in 1980.
7 In 1994 there may -- I call it four plus because of the
8 sporadic production out of one of the Mississippi Chemical
9 mines for their internal use, I believe.

10 If we eliminate the langbeinite mines and just
11 look at the sylvite mines in column G, they've gone from
12 five down to two in 1994. And I believe in 1995 or 1996
13 there may only be one, and that will be New Mexico Potash.

14 So that the change in the number of mines in
15 column H shows that since 1980 -- 1984, four years before
16 R-111-P went into effect, the number of mines dropped 20
17 percent.

18 In 1993, when this big, large BLM Map was
19 published, the number of mines had dropped 40 to 60
20 percent.

21 And I think that they might be down around 80
22 percent in the 1995-to-1996 range, 80-percent decrease in
23 the number of mines.

24 So that explains why I don't think there's going
25 to be any new mining north of where the mines are now and

1 the sylvite mines that are operating will confine
2 themselves to the reserves that they have right now in
3 their areas.

4 MR. KELLAHIN: That concludes my examination of
5 Mr. Hutchinson.

6 We move the introduction of his exhibits behind
7 Tab Number 13.

8 EXAMINER MORROW: Exhibits 13 are admitted into
9 the record.

10 EXAMINATION

11 BY EXAMINER MORROW:

12 Q. Mr. Hutchinson, I have just a few question to
13 pick up some information I missed.

14 On the second page of Exhibit 13, what did you
15 say about ore zones 11 and 10?

16 A. Okay, that's the --

17 Q. Are you talking --

18 A. That's the type-log-type -- That's the one you're
19 referring to?

20 Q. Yes, sir. You said some were being mined and
21 some were not.

22 A. Correct.

23 Q. And I didn't pick up on --

24 A. Number 11, I think you asked me about just now,
25 is noncommercial. It has not been mined anywhere that I'm

1 aware of in the Basin.

2 Q. And 10 is being mined somewhere, but I didn't --

3 A. It's being mined by New Mexico Potash. And it
4 has clay seams in it.

5 Q. All right. Is there any reef in Section 4?

6 A. Any what?

7 A. Capitan Reef formation underlying Section 4 where
8 these wells are proposed?

9 A. That's a good question, and we think there will
10 not be. If you'll look at the very first 8-1/2-by-11
11 that's in this -- immediately behind the Tab 13 -- I think
12 you need to go backwards to the very first sheet in Tab 13.

13 Q. All right.

14 A. It shows the Capitan Reef.

15 Q. Yes.

16 A. Have you found that? And it shows the Castile
17 formation.

18 By definition, the Castile formation is limited
19 to the area above and south of that reef. It could be that
20 if the well is drilled somewhere under the word "reef", you
21 could hit some Castile. Most likely, Mr. Olive tells me,
22 that we probably won't hit that, even though we're over the
23 plan view of where the reef exists with this location in
24 Section 4.

25 Q. That trace of the reef that you see on some maps

1 includes part of Section 4; is that correct?

2 A. Yes. It's not in the exhibits, but in the --
3 This is what you're familiar with seeing --

4 Q. Yes.

5 A. -- and we're just into it. So whether the
6 Castile will be there or not is anybody's guess. From the
7 other wells in the area, probably not. But the anhydrite
8 is there in the formation called the Tansil, and that
9 provides the seal, the same seal that the Capitan -- or
10 that the Castile is made of, alternating beds of anhydrite
11 and halite.

12 Q. What provides the seal above the reef? Is that
13 what you're saying?

14 A. The seal above --

15 Q. The seal -- The reef, if it's there, would be
16 where? Right on top of the Tansil or above the Tansil?

17 A. The -- I'm going to say from the cross-sections
18 I'm familiar with that they won't get into the reef. The
19 reef, as it's been described to me by geologists runs from
20 the lower left-hand corner to the upper right, and as it
21 was formed is in that direction. Of course, this is north
22 and that's south, left to right. North is left, south is
23 right. Probably won't get into the Capitan Reef proper.

24 MR. KELLAHIN: Mr. Examiner, if it will assist
25 you, Mr. Olive tells me that the Scharbauer well they

1 drilled in the southwest of the southeast of 4 -- that was
2 the deeper well -- didn't encounter the reef.

3 THE WITNESS: It did not.

4 EXAMINER MORROW: Now, where is that one again?

5 MR. KELLAHIN: All right, look in Section 4. See
6 the well that says Number 5 --

7 EXAMINER MORROW: Right.

8 MR. KELLAHIN: -- to the southwest southeast?
9 That originally was a Morrow test. They drilled it, and he
10 says they didn't encounter the reef.

11 Q. (By Examiner Morrow) You talk about some
12 problems with pressure at 1500 feet. How did that manifest
13 itself?

14 A. The New Mexico Potash Mine predominantly, and one
15 of the other mines to a lesser extent, had explosions
16 underground. They were not detonations; there was nothing
17 burned. But it was a pressure explosion.

18 And what MSHA, the Mine Health and Safety
19 Administration, reports, indicated is that the pressure
20 difference from the mine being opened up and an entrapped
21 material that was laid down with -- at deposition, with
22 that pressure drop, was able to dissolve the gas, much like
23 coal-bed methane. The methane is dissolved from the coal.
24 When the pressure differential gets to be great enough that
25 gas dissolves out of the formation. And it was

1 predominantly nitrogen.

2 And the WIPP studies showed that to be material
3 that was deposited with the potash and the halite and that
4 with all the pressure from the formations above, the weight
5 of the formations above kept it entrapped.

6 But when the mine opened up and got close to that
7 area, here was ambient pressure, pressure very close to
8 what we have on the surface, versus something at a depth of
9 1500 to 1700 feet, and that gas dissolved and rushed into
10 that opening.

11 Q. Gas and solids both, or just gas?

12 A. Well, some of the solids that broke out caused
13 some damage and, in one instance that I'm aware of, caused
14 a fatality.

15 Q. Do you think there will be any mining east of the
16 -- You said nothing north of here. I guess that would
17 pretty well include nothing east of the Mississippi
18 Chemical Mine also; is that correct?

19 A. That's correct. If the potash -- The 10th ore
20 zone is dipping towards the east and a little bit to the
21 north. As you go downdip, those pressures are going to be
22 greater. So there's a physical constraint to developing
23 this direction -- towards the east.

24 And then the -- we showed on one -- the Salado --
25 or, excuse me, the McNutt structure map, that you're

1 going -- the potash-bearing formation is going down in this
2 direction. You've going to have higher pressures just from
3 the formations above. So there's a physical reason.

4 And then I just described the economic reasons.
5 New Mexico Potash is developing towards the south, and you
6 can see from the large area of blue, whether or not it's
7 correct, they have a lot to mine down here before they
8 would go off into something that's deeper than they're
9 mining now.

10 Q. Okay. The double-cased hole, you said -- I
11 assume you were telling us that offered even more support
12 than you would expect from your building, I think, that you
13 were comparing it to or your mill?

14 A. No, the point I was trying to make is that many
15 of the subsidence tests that have been done in the basin
16 were done for different reasons: One for a concrete slab
17 to keep it from being affected. One to determine whether a
18 shaft in the small mine that was closed, the Wills-Weaver
19 Mine, would be tilted by subsidence and thereby let
20 groundwater down into the mine. And then the third case
21 was, what will happen when we remove the pillars and let it
22 subside?

23 So those were three different -- entirely
24 different situations.

25 And here we have fourth situation that -- How do

1 we prevent undue stress coming on a vertical double-cased
2 oil well by not allowing mining to come within a certain
3 distance of it?

4 Q. And your 30-degree deal from the depth is --

5 A. Yes, I believe that's --

6 Q. -- acceptable?

7 A. -- completely safe.

8 Q. I didn't completely follow the conductivity study
9 there. You simplified it so that we could see how far
10 water would move in a certain time. And I believe you said
11 that assumed unit pressures; is that what you said or -- ?

12 A. Yes. Let me explain the study. I've testified
13 at -- it seems like, for many, many days at some of these
14 hearings, and the subject of permeability and conductivity
15 is always brought up but had never been quantified.

16 So I was looking for some data by which I could
17 compare the rate at which the different formations would
18 transmit gas or oil or water or whatever. And I found this
19 study performed for WIPP whereby they were concerned about
20 water traveling through the Salado, the Castile, the Bell
21 Canyon and the formations above, and they did a
22 hydrological study.

23 I just took some common information that I could
24 understand to try to quantify the relative permeabilities
25 of the formations that we're dealing with in this area,

1 based on that scientific information developed for that --

2 Q. On your bottom line there it says, the amount of
3 time for water to travel one inch in the Salado is 420
4 years. Would that -- It seems like it would depend on what
5 pressure was pushing that water.

6 A. I agree, and if -- In the first part I said, I
7 you assume unit areas and gradients, thicknesses and liquid
8 viscosities. There's not much scientific -- not much
9 science in my study. It was accumulation of other people's
10 data to try to look at the relativity.

11 Q. So it's just water gradient down to the depth of
12 the Salado, would be the -- Would that be the way to -- ?

13 A. That would be a way to look at it.

14 Q. Pressure pushing it.

15 There was a spurt in 1982 on the production --
16 1987 or 1988. What was the reason for that? New Mexico
17 Production of --

18 A. There was a situation where the New Mexico
19 producers thought that they were being taken advantage of
20 by the Canadian producers. And the Canadian producers
21 were...

22 Since they have such great capacity, they only
23 operate about 60-percent capacity. They have such great
24 capacity and such an economic advantage that they could
25 lower the price and put the New Mexico mines out of

1 business.

2 And that's what -- That was the case that the New
3 Mexico mines took to the US government.

4 As a result of that, in 1988 the Canadians made
5 an agreement with the US government, I think the trade
6 people, that they would not sell potash in the United
7 States below a reasonable cost. It was a very vague
8 agreement.

9 And what really happened in my research is that
10 the cornbelt consumers of potash said, you know, Don't take
11 away our advantage of buying inexpensive potash. And so a
12 compromise was worked out.

13 Well, those years of 1988, 1989, 1990, the amount
14 of potash produced in New Mexico went up. That was one of
15 the reasons.

16 I also believe that there was more of an export
17 demand.

18 And being so close to the Texas Gulf Coast and
19 being able to ship potash out by water to South America,
20 specifically, was also an advantage there.

21 EXAMINER MORROW: Okay, thank you, Mr.
22 Hutchinson, appreciate it.

23 MR. KELLAHIN: Mr. Examiner, our last witness is
24 Carl Richard.

25 EXAMINER MORROW: Okay.

1 MR. KELLAHIN: Mr. Richard is a reservoir
2 engineer and he's done some reservoir calculations on
3 recoverable reserves and compared those to his economic
4 criteria and has some conclusions to share with you.

5 CARL RICHARD,

6 the witness herein, after having been first duly sworn upon
7 his oath, was examined and testified as follows:

8 DIRECT EXAMINATION

9 BY MR. KELLAHIN:

10 Q. Would you please state your name and occupation?

11 A. My name is Carl Richard. I'm a senior reservoir
12 engineer in charge of the Permian Basin district. I work
13 for Mitchell Energy.

14 Q. And where do you reside, sir?

15 A. The Woodlands, Texas.

16 Q. Mr. Richard, on prior occasions have you
17 testified as a reservoir engineer before the Division?

18 A. Yes, I have.

19 Q. And pursuant to your employment in the capacity
20 of a reservoir engineer, have you made calculations of
21 recoverable reserves that you anticipate for Section 4 and
22 made an economic evaluation of those reserves in comparison
23 to costs?

24 A. Yes, I have.

25 MR. KELLAHIN: We tender Mr. Richard as an expert

1 reservoir engineer.

2 EXAMINER MORROW: Fine.

3 Q. (By Mr. Kellahin) Let me have you turn to Tab
4 Number 14. Let's look at the first display.

5 I asked earlier if Mr. Olive had assisted you in
6 trying to identify those wells in this pool which could be
7 attributed only to the Yates interval, production from
8 those wells attributed to that interval of the pool.

9 Were you the reservoir engineer that worked with
10 Mr. Olive in that study?

11 A. Yes, I was.

12 Q. Were you able to determine from your study those
13 wells in the pool to select so that you would be looking
14 only at the Yates interval production from that pool?

15 A. Yes, sir.

16 Q. Okay. Let's look at the display. And before we
17 describe the conclusions, tell us what you've illustrated.
18 What's the information?

19 A. What I have here is a short list of Yates
20 producers only, from the West Teas-Yates/Seven Rivers Pool.

21 What I've done is used a decline-curve analysis,
22 because I had sufficient history for the majority of this
23 Teas-Yates/Seven Rivers Pool to predict recoverable
24 reserves with reasonable accuracy.

25 And I've summarized that, the cumulative

1 production, the last 12 months and the last month of
2 production, along with the estimated ultimate that I
3 extrapolated using decline curves.

4 Q. Behind the summary sheet, then, we're going to
5 find decline curves that you have submitted for each of
6 these wells?

7 A. Yes, sir.

8 Q. Let's take one just as an example. Let's look at
9 the next one down. Federal 9 Number 2 --

10 A. Yes, sir.

11 Q. -- Stevens and Tull Well?

12 A. Yes, sir.

13 Q. Describe for us what you've done.

14 A. Well, this is the Stevens and Tull 9 Number 2.
15 It's located in Section 9, adjacent to Mitchell's lease in
16 Unit Letter B.

17 It came on production about August of 1992 and,
18 as you can see, it declined.

19 What I've done for each one of these similarly is
20 extrapolated a decline down to what I consider an economic
21 limit of about 65 barrels of oil a day -- a month, excuse
22 me.

23 Q. Your closest competitor offsetting the south edge
24 of Section 4 looks like 20,000 barrels of oil?

25 A. Based on this decline I have extrapolated here,

1 yes, sir.

2 Q. He's not going to get enough production to pay
3 for the cost of his well?

4 A. Based on my analysis, probably not.

5 Q. When we look at your tabulation --

6 A. Yes, sir.

7 Q. -- you have a range of estimated ultimate
8 recoveries shown in the far right column. They range
9 anywhere from 11,000 barrels -- Are you with me?

10 A. Yes, sir, I am.

11 Q. All right. Where is that well?

12 A. That well is in Section 16, Unit Letter D.

13 Q. And then we look at the highest range, there's
14 180,000 barrels of oil for the Arco State Well?

15 A. Yes, sir.

16 Q. Where is that well?

17 A. That's in Section 16, Unit Letter E.

18 Q. As part of your analysis, do you have any
19 anticipation that in Section 4 you're going to achieve
20 estimated ultimate recoveries of 180,000 barrels per well?

21 A. Each one -- I can't say each one, but several of
22 these wells, I've verified with volumetric calculations to
23 determine whether or not I could volumetrically produce
24 this.

25 The Scharbauer 4 Number 1 well that Mitchell was

1 currently operating and producing, if I use the same
2 parameters from that well and take the net footage that Mr.
3 Olive has provided me with for Section 4 and anticipating
4 encountering the same Yates formations, I can't
5 volumetrically come up with 180,000 or 127,000 barrels.

6 Q. What number do you balance with volumetrically in
7 looking at your projections of ultimate recoveries? What
8 number do you think you're going to get?

9 A. Volumetrically, I'm calculating about 110,000
10 barrels.

11 Q. What is your best engineering judgment about the
12 number to pick as we plan for the costs of our well? What
13 do you think you're going to get out of the wells in Number
14 4?

15 A. What I've done in, I guess, comparing cost
16 analysis and the economics is, used an arithmetic average
17 for all these wells, the nine wells I have listed here.
18 That arithmetic average is 63,000 barrels.

19 In addition to that, if you do a distribution,
20 the geometric average for these nine wells is about 30,000
21 barrels. I've got 50 percent of the wells less than 30,000
22 barrels and 50 percent greater than 50,000 barrels.

23 So my arithmetic average of 63,000 barrels that
24 I've used in these economics that I'm going to be
25 presenting today, I think, is a reasonable expected

1 reserve.

2 Q. Is that consistent with the methodology that you
3 normally apply to reserve evaluations as you and the others
4 plan to drill wells such as these?

5 A. Yes, sir. In the case of this, where I have --
6 I'm extending a developed field, this is generally the
7 procedure I use in determining a reserve for an economic
8 evaluation.

9 Q. With this kind of reserve potential in Section 4,
10 is it going to make a difference to you and to Mitchell if
11 the salt-protection string is deleted from these wells?

12 A. The salt-protection string required by R-111-P
13 does have a significant impact on the economic viability of
14 this project.

15 Q. If the Examiner approves our request to have that
16 salt-protection string waived, is there a resulting
17 economic benefit?

18 A. Sure.

19 Q. Let's look at the next Tab, Section 15.

20 Have you made an economic analysis to try to
21 quantify what the significance is of that cost
22 differential, between having or not having the salt-
23 protection string?

24 A. Yes, sir, that economic analysis is summarized on
25 that -- in that presentation. It's an economic analysis of

1 the individual well.

2 What I've done here is run an economic case using
3 the same reserves, the same production function and the
4 same assumptions that I have listed down below, to come up
5 with the resulting economics that I have, set side by side
6 in this display.

7 Q. Discounted profitability index with the salt-
8 protection string is what?

9 A. Discounted profitability index --

10 Q. The number, what is the number?

11 A. I'm sorry. With the protection string is .27.

12 Q. All right. And without, what's the number?

13 A. .48.

14 Q. Define for me what discounted profitability index
15 is.

16 A. Discounted profitability is specifically the
17 discounted profit divided by the capital investment, and
18 what I'm doing is subtracting one.

19 A discounted profitability of zero would mean
20 that I have achieved break-even, I would have gotten my
21 capital investment back.

22 A discounted profitability index of one means
23 that I would have a two-to-one return on my capital
24 investment.

25 Q. What is the discounted profitability index that

1 Mitchell requires of projects in order to continue with
2 those projects? Is there some criteria, some standard by
3 which you judge the relative values of these discounted
4 profitability indexes as you calculate them for various
5 projects?

6 A. It varies, Mr. Kellahin. For our development
7 prospects, we generally are willing to accept a lesser
8 degree of probability when the risk, geologic risk, reserve
9 risk and other risk is less.

10 In the case of this particular prospect, I have
11 some significant risk.

12 Price volatility. Thirty days ago, we had a
13 posted -- or we were getting a net price to Mitchell of
14 \$10.50 a barrel. We have sour oil produced in our
15 Scharbauer Well. We have a gravity deduction.

16 This price I used in the economics is being more
17 than optimistic as far as price goes. This is a price that
18 our oil marketer provided me with last Thursday when this
19 display was provided.

20 Thirty days ago we were debating whether to
21 proceed with this hearing, based on the economics with
22 \$10.50 a barrel.

23 Q. So if we can delete the costs of the salt-
24 protection string it's going to have significance to you
25 and your company about whether this project goes forward?

1 A. Sure.

2 Q. When we look at the project life, what is your
3 best forecast of the life of the project, in order to
4 achieve the maximum ultimate recovery in primary
5 production?

6 A. This production function that I've used in these
7 two evaluations has a projected life of about 8.5 years.

8 Q. Discounted profitability index, if Mitchell gets
9 its money back for the cost of the well plus one more time,
10 then the profitability index would be 1.0?

11 A. Yes, sir. That's correct.

12 Q. All right. With the salt-protection string,
13 you're about 25 percent of that threshold of getting your
14 costs back plus one more time?

15 A. Yes, sir.

16 Q. In terms of budgeting resources to fund projects,
17 how often -- or what time frame can we utilize to compare
18 this project to other projects?

19 A. We do that on an ongoing basis. We have an
20 annual budget, and then projects are rated on an ongoing
21 basis.

22 Q. Well, for lack of a better way, let's just take
23 an annual time period.

24 A. Sure.

25 Q. In an annual period what kind of geographic area

1 would this project compete with other projects for funds to
2 get drilled?

3 A. I've got -- My district, Permian Basin district,
4 is competing with five other districts for funds and
5 funding for projects like this.

6 Q. When we look at projects and discounted
7 profitability index, give us a sense of the range. What
8 kind of ranges can we find within this geographic area?

9 A. This particular area, Mr. Kellahin?

10 Q. Well, this project competes in a geographic
11 area --

12 A. Right.

13 Q. -- for funds to get drilled.

14 A. I understand your question.

15 In this area, for example, Morrow wells generally
16 range -- Discounted profitability ranges from 1 to 1.5 DPI.
17 Delaware wells, which we've been drilling quite a few in
18 partnership with Santa Fe, range at about a 1 DPI range.

19 This, in both cases, is in the low end of
20 profitability, acceptable profitability, when ranking this
21 project against other projects.

22 Q. So if we can delete the costs of the salt-
23 protection string, it almost doubles the opportunity that
24 you have to get this project drilled as it competes with
25 other projects in your geographic area?

1 A. Comparing the two scenarios, yes, sir.

2 Q. Have you made an analysis on a project basis to
3 see what happens if out of the proposed 10 wells, one of
4 them is noncommercial or is a dryhole?

5 A. (Nods)

6 Q. Can you tell us what happens?

7 A. Yes, sir. On Tab 16 what I've done is an
8 economic analysis on a project basis, and I've done three
9 separate scenarios, and they're listed as Case I, II and
10 III on this presentation.

11 What I'm trying to show here is that, with the
12 potash string, if I do drill one dry hole it significantly
13 impacts the project economics.

14 If I drill two dry holes, it even -- it -- the
15 profitability of that project is decreased significantly.

16 Q. Case III, if you have seven producers and two dry
17 holes, if you have the burden of the cost-protection string
18 [sic] expenses, it reduces your profitability index down to
19 .1?

20 A. Yes, sir.

21 Q. What's your conclusion?

22 A. Well, I do have risk here. Geologically, we have
23 a lot of control to the south. We do not have a lot of
24 well control to the north.

25 I still think there is some significant geologic

1 risk to this project.

2 I do conclude that with the additional cost of
3 the string, economics become more unacceptable. That's why
4 we're here, to get a waiver to that string, make our
5 economics more acceptable.

6 Q. What does it do to your ability to compete and
7 your correlative rights if, immediately offsetting your
8 section in the federal leases, your competing operators get
9 the advantage of being able to drill their shallow oil
10 wells without the expense of a salt-protection string?

11 A. Well, it's -- The salt-protection string is to
12 our competitive disadvantage.

13 Q. Anything else, Mr. Richard?

14 A. No.

15 MR. KELLAHIN: That concludes my questions of Mr.
16 Richard.

17 We move the introduction of his Exhibits 14, 15
18 and 16.

19 EXAMINER MORROW: Fourteen, 15 and 16 are
20 admitted into the record.

21 EXAMINATION

22 BY EXAMINER MORROW:

23 Q. You based your recoveries, expected recovery, on
24 the nine wells to the south; is that correct?

25 A. Yes, sir.

1 Q. The average of --

2 A. Yes, sir.

3 Q. -- what those -- Now, there's more than nine
4 there?

5 A. There's 17 in West Teas field.

6 Q. And how did you select the nine again?

7 A. Based on the geologic criteria of those wells
8 producing from the Yates formation only.

9 Q. Oh, okay.

10 A. In the Scharbauer Federal Number 4, which
11 Mitchell is currently operating, we production-tested the
12 Seven Rivers zone in that well and produced water.

13 We think, both geologically, stratigraphically,
14 with a structural component in this area, that the Yates is
15 not a prospective horizon.

16 We're getting structurally downdip at the Yates
17 level; therefore we don't --

18 Q. I think Seven Rivers, is it not -- Did you say
19 the Yates is not --

20 A. I said Yates mistakenly. I meant Seven Rivers,
21 yes, sir.

22 Q. But I believe the geological testimony was, and
23 probably yours too, that you expect somewhat better wells
24 in --

25 A. Well, that's geologically. I still think there's

1 some risk.

2 We don't have well control to the north. There's
3 a -- I guess a geologic scenario or a -- drawn up, but I
4 still think there's some risk.

5 Q. The profitability index, you tried to explain
6 that to me, but -- is that -- The profit is discounted at
7 some rate in the future.

8 What rate do you use?

9 A. Ten-percent discounting, yes, sir.

10 EXAMINER MORROW: Do you have anything?

11 MR. CARROLL: That was my question.

12 EXAMINER MORROW: I'm sorry.

13 Thank you, sir.

14 THE WITNESS: Sure.

15 MR. KELLAHIN: Mr. Examiner, that completes our
16 presentation.

17 When we started our Application back in October
18 we had ten wells. There is a well that may be deleted at
19 this time. I think for purposes of today's discussion
20 we've defined nine.

21 The one missing is going to be listed as the
22 ninth well on Mr. Stephenson's letter of October 22nd.
23 I'll just hand it to you. It's the Scharbauer 4 Well
24 Number 2 in Unit Letter O.

25 EXAMINER MORROW: It's going to be deleted?

1 MR. KELLAHIN: Yes, sir, we're taking that off
2 the program.

3 EXAMINER MORROW: Well, we saved you some money
4 there.

5 MR. KELLAHIN: We appreciate your patience with
6 us today. We wanted to bring forward to you all the
7 individual experts that touched the various parts of this
8 case and had a significant participation in the project.

9 If you desire me to do so, I'm more than willing
10 to prepare a draft order for your consideration. That
11 would give you a vehicle by which you might edit and
12 provide your own thoughts. But I'm happy to do so.

13 If you desire to have any of the witnesses
14 recalled, there were earlier some geologic questions.

15 Hopefully, we answered them when Mr. Hutchinson
16 testified, but if you would like to go back through the
17 geology to make sure you're comfortable with the location
18 of those formations, Mr. Olive is still present and
19 available.

20 EXAMINER MORROW: Maybe on the reef thing we
21 might --

22 MR. KELLAHIN: All right, sir, if you'd like
23 to --

24 EXAMINER MORROW: -- whether or not the reef is
25 present in the area.

1 MR. KELLAHIN: Yes, sir, let's do that. Let's
2 recall Mr. Olive.

3 DON OLIVE (Recalled),
4 the witness herein, after having been previously duly sworn
5 upon his oath, was examined and testified as follows:

6 THE WITNESS: What I would like to show you, this
7 that we do have colored here in purple --

8 EXAMINER MORROW: Yes, sir.

9 THE WITNESS: -- is anhydrite.

10 The log here is a neutron density, and it reacts
11 differently in different types of rock. It's calibrated to
12 a limestone, and we don't have any limestone present here
13 -- I'll wait until you get that open.

14 The scales -- I'm sure you're familiar with well
15 logs, but the zero-porosity line would be right here, the
16 second line over from the right.

17 EXAMINER MORROW: Okay.

18 THE WITNESS: And if there was a limestone in
19 here, both curves -- the neutron and the density -- would
20 track together.

21 And more than likely, if there was limestone in
22 here it would be tight lime, so it would be hovering around
23 the zero line, and they would be tracking together.

24 In the sandstone you get -- In the porosity areas
25 you get an increase, both increase, whether it's

1 hydrocarbon or an extensive amount of gas, you get
2 crossover where the lines reverse in position.

3 But -- Let's see, in the dolomite you would get a
4 separation. So one of the curves, density, reads highly
5 pessimistic in the dolomite, the neutron reads about right.

6 But you get a separation, like you see here in
7 these blue -- this rock that's colored blue, and you get
8 this big separation. That indicates dolomite.

9 But up here in the anhydrite, both -- the density
10 reads off scale, and the neutron is reading about right,
11 about zero. It's not nearly as influenced as the density.
12 Density is highly influenced by rock type, and the density
13 is the one that is calibrated to lime.

14 And there are no indications on any parts of this
15 log of limestone, which the Capitan would be, a limestone.

16 So this is interpreted to be the Tansil
17 formation.

18 And the base of the salt -- Now, see, we set
19 casing -- or casing is generally set. I have to -- I'm
20 more familiar with this log. Casing was set in the potash
21 string because this was a deep well, high-pressure gas.

22 We didn't run a potash string -- But that was set
23 right up here, around 3000 feet. So everything up above
24 that, the porosity log is totally invalid. It's reading
25 through casing, and it's hard to determine any facies type

1 above the casing.

2 But from below the casing, all the way down to
3 this point, there were no indications of limestone.

4 And this up here is what should be equivalent to
5 the Capitan limestone. That's what would rest directly on
6 top of the Yates.

7 In fact, the Yates itself is a back-reef facies,
8 equivalent to the reef. In other words, it was sand
9 deposited in a lagoon behind the reef. And in front of the
10 reef you have the Delaware. And they're all equivalent in
11 age, but the facies goes from sand to limestone to sand.

12 FURTHER EXAMINATION

13 BY EXAMINER MORROW:

14 Q. So if the Capitan Reef that you would have
15 present in this area, then you'd expect it to be
16 encountered in wells to the south; is that right?

17 A. Right, exactly. And the zone you saw the Capitan
18 Reef in plan view is very subjective, and I think somebody
19 interpreted it before maybe there was well data there, that
20 the Reef might go that far north.

21 But we did not see any limestone in this well.
22 And we did have a mud log, and I don't have that with me,
23 but I didn't see any limestone in the mud log.

24 And something else I'd like to clarify while I'm
25 up here, Carl alluded to.

1 What I meant when I said we saw sand quality
2 increasing to the north, what I was really trying to
3 indicate is, we felt -- Here, you can see the production
4 here.

5 We have a well that's made 12,000 barrels of oil.
6 We have a well that's made 5000 barrels of oil. 12,000
7 barrels of oil. Obviously, our management would not be
8 willing to drill wells -- I mean, there's no way that would
9 make our economics.

10 What I meant to say was, we expect here with a
11 slightly better quality sand that we might be able to get
12 in the economic range, because there are two wells here.
13 There's a well that made 59,000 and 57,000.

14 And that's the only reason we really have for
15 pursuing this, is hoping to get that quality and do a
16 little bit better than what our competition has done.

17 But I certainly don't expect to see wells on the
18 order of what we see down here, because this right here is
19 not even producing.

20 EXAMINER MORROW: Okay. Thank you, sir.

21 MR. KELLAHIN: Would you like to recall any of
22 the other witnesses, Mr. Morrow?

23 EXAMINER MORROW: No, that's good. We'll accept
24 your offer to prepare a draft order.

25 MR. KELLAHIN: All right, sir.

CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.


WITNESS MY HAND AND SEAL May 16th, 1994.



STEVEN T. BRENNER
CCR No. 7

My commission expires: October 14, 1994

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 16858, heard by me on April 28, 1994.



Examiner
Oil Conservation Division