

NEW MEXICO OIL CONSERVATION COMMISSION

EXAMINER HEARING

SANTA FE, NEW MEXICOHearing Date NOVEMBER 18, 1993 Time: 8:15 A.M.

NAME	REPRESENTING	LOCATION
Tommy Roberts	Tansey Law Firm	Farmington
STEVEN DUNN	METZKOW OIL & GAS	FARMINGTON
DAVE BONEAU	YATES PETROLEUM	ARTESIA
MIKE HILL	KINLAW OIL CORP	AUSTIN, TX
Steve Branner	Cumbre Court Reporting	Santa Fe
James Bruce	Hinkle Law Firm	Santa Fe
Maurice Trimmer	Byram	SF
Rick Foppiano	ORU	Midland
Scott Bengler	"	"
RON LANNING	TEXACO	DENVER
TANYA TRUSILLO	CAMPBELL CARL BERGER SHERIDAN	SF
William J. [Signature]	Campbell, [Signature], [Signature] & [Signature]	Santa Fe

NEW MEXICO OIL CONSERVATION COMMISSION

EXAMINER HEARING

SANTA FE, NEW MEXICO

Hearing Date NOVEMBER 18, 1993 Time: 8:15 A.M.

NAME	REPRESENTING	LOCATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING)
CALLED BY THE OIL CONSERVATION)
DIVISION FOR THE PURPOSE OF)
CONSIDERING:) CASE NO. 10,865

APPLICATION OF MERRION OIL & GAS
CORPORATION

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: MICHAEL E. STOGNER, Hearing Examiner

November 18, 1993

DEC 2 1993

Santa Fe, New Mexico

ORIGINAL

This matter came on for hearing before the Oil
Conservation Division on Thursday, November 18, 1993, at
Morgan Hall, State Land Office Building, 310 Old Santa Fe
Trail, Santa Fe, New Mexico, before Steven T. Brenner,
Certified Court Reporter No. 7 for the State of New Mexico.

* * *

I N D E X

November 18, 1993
 Examiner Hearing
 CASE NO. 10,865

	PAGE
APPEARANCES	3
APPLICANT'S WITNESSES:	
<u>STEVEN S. DUNN</u>	
Direct Examination by Mr. Roberts	4
Examination by Examiner Stogner	16
Examination by Mr. Stovall	17
Further Examination by Examiner Stogner	18
REPORTER'S CERTIFICATE	21

* * *

E X H I B I T S

	Identified	Admitted
Exhibit 1	6	16
Exhibit 2	12	16
Exhibit 3	13	16
Exhibit 4	15	16

* * *

A P P E A R A N C E S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

FOR THE DIVISION:

ROBERT G. STOVALL
Attorney at Law
Legal Counsel to the Division
State Land Office Building
Santa Fe, New Mexico 87504

FOR THE APPLICANT:

TANSEY, ROSEBROUGH, GERDING & STROTHER, P.C.
Attorneys at Law
By: TOMMY ROBERTS
621 West Arrington
P.O. Box 1020
Farmington, New Mexico 87401

* * *

1 WHEREUPON, the following proceedings were had at
2 8:24 a.m.:

3 EXAMINER STOGNER: I will now call this hearing
4 to order for Docket Number 34-93. Note today's date,
5 November 18th, 1993.

6 At this time I'll call first case, Number 10,865.

7 MR. STOVALL: Application of Merrion Oil & Gas
8 Corporation for a short-radius horizontal directional
9 drilling pilot project and special operating rules
10 therefor, McKinley County, New Mexico.

11 EXAMINER STOGNER: Call for appearances.

12 MR. ROBERTS: Mr. Examiner, my name is Tommy
13 Roberts. I'm an attorney in Farmington, New Mexico,
14 appearing on behalf of the Applicant, and I have one
15 witness to be sworn.

16 EXAMINER STOGNER: Any other appearances?
17 Will the witness please stand to be sworn?
18 (Thereupon, the witness was sworn.)

19 EXAMINER STOGNER: Mr. Roberts?

20 STEVEN S. DUNN,
21 the witness herein, after having been first duly sworn upon
22 his oath, was examined and testified as follows:

23 DIRECT EXAMINATION

24 BY MR. ROBERTS:

25 Q. Would you state your name and your place of

1 residence for the record?

2 A. Steve Dunn, Farmington, New Mexico.

3 Q. And what is your occupation?

4 A. Petroleum engineer.

5 Q. And by whom are you employed?

6 A. Merrion Oil and Gas Corporation.

7 Q. How long have you been employed by Merrion in
8 that capacity?

9 A. Eighteen years.

10 Q. Are you familiar with the operations of Merrion
11 Oil and Gas Corporation in the area which is the subject of
12 this Application?

13 A. Yes, I am.

14 Q. And have you testified before the Oil
15 Conservation Division on any prior occasion?

16 A. Yes, I have.

17 Q. In what capacity?

18 A. As a petroleum engineer.

19 Q. And were your qualifications as an expert in the
20 field of petroleum engineering made a matter of record and
21 accepted at that time?

22 A. Yes, they were.

23 Q. Have you prepared exhibits to be submitted in
24 conjunction with your testimony today?

25 A. Yes, I have.

1 MR. ROBERTS: Mr. Examiner, I would tender Mr.
2 Dunn as an expert in the field of petroleum engineering.

3 EXAMINER STOGNER: Mr. Dunn is so qualified.

4 Q. (By Mr. Roberts) Mr. Dunn, would you briefly
5 describe the purpose of the Application?

6 A. Merrion Oil and Gas seeks authority to initiate a
7 short-radius horizontal directional drilling pilot project
8 in its Arena Blanca Entrada Pool in McKinley County, New
9 Mexico, wherein we propose to utilize our Arena Blanca
10 Number 1 well in Unit I of Section 36, Township 20 North,
11 Range 5 West, McKinley County, to plug back from the
12 existing Entrada interval and kick off from the vertical,
13 build angle to 90 degrees with a short-radius curve, and
14 then continue drilling a horizontal lateral in a westerly
15 direction for approximately 400 feet.

16 In addition, we're seeking approval for an
17 unorthodox bottomhole well location, a nonstandard 80-acre
18 proration unit, a special allowable equal to two times the
19 normal 40-acre allowable to account for a double-size
20 proration unit, and finally a target area limiting the
21 horizontal displacement of the well's producing interval
22 within 100 feet to the outer boundary of the 80-acre
23 proration unit.

24 Q. Refer to what you've marked as Applicant's Number
25 1 and identify that exhibit.

1 A. Exhibit Number 1 is a lease ownership plat of the
2 Arena Blanca field, and included thereon is the Entrada
3 structure and net pay.

4 What I've shown on this exhibit is the location
5 of the field in Township 20 North, Range 5 West, Section
6 36, of McKinley County, New Mexico, and the project area.

7 Also shown, as I said earlier, is the lease
8 ownership for the project area, and it includes all the 40-
9 acre offsets -- or 40-acre offset spacing units to the
10 proposed horizontal well. Shown thereon is the location of
11 the Arena Blanca Number 1, namely in the northeast of the
12 southeast quarter of Section 36, and it's identified by a
13 dark circle. And other Entrada penetrations, all of which
14 are dry holes, are shown.

15 In addition, I've placed the geologic structure,
16 and it's contoured on top of the Entrada formation. And
17 I've also shown the producible net pay of the Entrada sand
18 in the pool area, and it is shaded green.

19 And the pool itself is not shown for clarity
20 reasons, but it consists of the south half of the northeast
21 quarter and the north half of the southeast quarter of
22 Section 36, 20 North, 5 West, roughly 160 acres in size.

23 Q. Do you also show the proposed spacing and
24 proration unit for this particular operation?

25 A. Yes, I do. Shown in an X-hatched pattern as the

1 north half of the southeast quarter is the 80-acre
2 proration unit that I would propose to dedicate to this
3 well.

4 Q. I note that within the boundaries of the proposed
5 spacing and proration unit there's an X. What does that X
6 depict?

7 A. The X is the calculated bottomhole location of
8 the existing well, based upon survey data taken during the
9 drilling of that well.

10 Q. Okay, and then there's a dashed line between that
11 mark, and then a square that's white in color. What does
12 that depict?

13 A. The dashed line in the square box depicts the
14 proposed horizontal well path, starting from approximately
15 the bottomhole location of the existing well and headed
16 westerly.

17 Q. Would you identify the ownership of the leases
18 that are involved here in this project area?

19 A. All of Section 36 is a state lease, Number
20 LG-7435, which is leased to Merrion Oil and Gas, all
21 formations.

22 And immediately to the east, the offset 40-acre
23 tracts are all open federal acreage.

24 Q. Tell us a little bit about the productive history
25 of the Arena Blanca Number 1 well.

1 A. The Arena Blanca Number 1 is a -- It's the
2 discovery well for this pool, and it's produced to date
3 about 37,500 barrels of oil and a large quantity of water.
4 It is a marginal producer.

5 Q. Is that location for that particular well -- Has
6 that not been a previously approved unorthodox location?

7 A. That is correct. That location was approved for
8 a nonstandard surface location by an administrative order.
9 The Order Number is NSL-2053, dated May 23rd, 1985.

10 Q. What are the spacing rules for the Arena Blanca
11 Entrada Oil Pool?

12 A. It's statewide oil spacing, 40 acres per well.

13 Q. Is the ownership of the Entrada formation in this
14 project area common?

15 A. Yes, it is.

16 Q. Now, you've indicated that the proposed
17 bottomhole location is unorthodox and that you're seeking
18 approval of that unorthodox location. In your opinion,
19 will the unorthodox bottomhole location adversely affect
20 any other interest owner in this area?

21 A. No, it will not. In fact, the horizontal will be
22 drilled in a direction that's moving away from non-Merrion
23 acreage and toward the interior of our lease, and therefore
24 correlative rights will be protected.

25 Q. Have you selected a proposed target area for the

1 proposed bottomhole location?

2 A. We propose a target area that would not approach
3 closer to the exterior line of the proration unit than 100
4 feet. It would be a 100-foot limitation.

5 Q. How was that target area defined?

6 A. It was basically to give us enough latitude to
7 move in a northerly direction, which is the closest control
8 or closest limiting boundary we have on that proration
9 unit. The well is -- The existing well is approximately
10 2360 foot from the south line, and it's approaching that
11 northern boundary. We need a little bit of latitude
12 because in horizontal drilling you cannot control with
13 exact precision the path of the wellbore.

14 Q. Why do you ask for an 80-acre spacing proration
15 unit?

16 A. The horizontal wellbore will physically cross
17 both 40-acre spacing units, and therefore we felt it
18 reasonable to dedicate both 40s to that well.

19 Q. Let me ask you to refer to or direct your
20 attention to the area you've called the oil productive area
21 on exhibit 1. It's the area colored green. How was that
22 oil productive area defined? Describe how that was
23 defined.

24 A. It was defined basically by the structural
25 control from the existing drilling in the area. And in

1 addition, a three-dimensional seismic survey was run over
2 the area to help us fine-tune our interpretation.

3 And what is shown there, the green area, is the
4 oil thickness that is greater than -- 10 feet of oil
5 thickness or greater, across the top of that Entrada dune.
6 Anything less than 10 feet is really not producible with
7 today's technology.

8 Q. Is there a maximum thickness of the net pay area
9 depicted on this exhibit?

10 A. It's not shown, but we estimate that the oil
11 column thickness could be up to 25 foot in thickness, out
12 in the vicinity of the square box that is shown in the
13 green area.

14 Q. Do you have an opinion as to the comparative
15 economics of this horizontal drilling operation, versus the
16 drilling of another vertical well?

17 A. Well, the work I've done indicates that we can
18 drill a short-radius horizontal well for less than we can
19 drill a vertical well. And in addition a vertical well, we
20 believe, will perform very similarly to the existing Arena
21 Blanca Number 1, which is subeconomic.

22 Q. Do you have an estimate of recoverable reserves
23 in this area?

24 A. Well, we believe that up to 120,000 barrels of
25 recoverable oil remain, and we don't know how much of that

1 we'll get, but that's what we're -- That's the prize.

2 Q. Is it your opinion that that cannot be tapped
3 economically with a vertical well?

4 A. That is correct. A vertical well, we don't
5 believe will return us a return on our investment at all,
6 and that we probably will not even achieve a payout.

7 Q. What depth bracket allowable has been established
8 for wells drilled in the Arena Blanca Entrada Oil Pool?

9 A. The special depth bracket allowable is 750
10 barrels of oil per day.

11 Q. And do you have a recommendation for a depth
12 bracket allowable associated with this particular
13 operation?

14 A. We propose a double depth bracket allowable to
15 account for the double-size proration unit.

16 Q. Is that solely based on the size of the proration
17 unit, compared to the statewide spacing established for the
18 pool?

19 A. I wouldn't say solely. It also takes into
20 account the fact that a horizontal well should be more
21 productive than a vertical well.

22 Q. Let me have you refer to what you have marked as
23 the Applicant's Exhibit Number 2 and ask you to identify
24 that exhibit.

25 A. Exhibit Number 2 is a wellbore schematic of the

1 Arena Blanca Number 1, showing present wellbore
2 configuration. This is the well that we propose to plug
3 back and use for our horizontal drilling project.

4 Q. Okay. Now, refer to what you've marked as
5 Exhibit Number 3 and identify that exhibit, and in
6 particular describe how the hole will be directionally
7 drilled.

8 A. Exhibit Number 3 is a directional plan, a
9 schematic, if you will, of what we propose to do to drill
10 this horizontal well. And depicted thereon is a plan view,
11 a top-down view, that's in the smaller square. And I've
12 labeled the surface location with an X, and with a circle
13 would be the kickoff point, and the distance between the X
14 and the circle is the deviation that occurred while
15 drilling the vertical well. And then shown thereon is a
16 straight line to the west, a planned short-radius lateral
17 section.

18 In the vertical section view, which is basically
19 a slice, a cross-section of our plan, I've shown the old
20 vertical wellbore, and then the planned kickoff point at
21 5471 feet, and the trace of the horizontal wellbore.

22 To summarize what we're planning to do to drill
23 this well, we will plug back the existing wellbore with
24 cement and probably a retainer. We'll mill a casing
25 section where we remove a part of the casing across the

1 kickoff point. We'll place cement across that section and
2 dress it off to the kickoff point at 5471. Then we'll run
3 bent-housing downhole motors and measurement equipment and
4 commence to drill a short-radius build to horizontal.

5 Once we reach horizontal, then we'll change out
6 bottomhole assemblies and drill our 400-foot, plus or
7 minus, of horizontal lateral in a westerly direction. If
8 drilling is going well and geological indications are
9 positive, we may continue to extend the lateral, but
10 obviously not further than our target boundary.

11 Q. How will you monitor the direction of the hole as
12 drilling occurs?

13 A. We'll either have a steering tool or measurement
14 while drilling. One or the other will be utilized.

15 Q. In your opinion, does this short-radius drilling
16 technology have application in other fields operated by
17 Merrion Oil and Gas?

18 A. Yes, it does. We operate six of the seven
19 Entrada fields in the San Juan Basin. Every one of those
20 fields is nearing its economic life. And we have in the
21 past drilled one horizontal well in another field. It was
22 a medium-radius well, but we had very good results. And we
23 believe the short-radius technology will give us a little
24 more control where we enter the top of the reservoir, and
25 we believe there's a good potential in the other fields as

1 well.

2 Q. Now, turn to what you have marked as Exhibit
3 Number 4 and identify that exhibit.

4 A. Exhibit Number 4 is the notification letter that
5 I sent to the BLM as the responsible party for the open
6 federal acreage which offsets the project area on the east
7 side, and we mailed that letter on October 28th of 1993.

8 Q. What was the purpose of the letter?

9 A. The purpose of the letter is to provide
10 notification to the surface managing agency, namely the
11 BLM, that they may be present here today to present
12 testimony relevant to this case.

13 Q. Do you have evidence that the BLM received this
14 letter?

15 A. Yes, I do. On the back of Exhibit 4 is the
16 certified return receipts with a signature.

17 Q. Are you familiar with the rules and regulations
18 of the Oil Conservation Division regarding the requirement
19 for notice to interested parties?

20 A. Yes, I am.

21 Q. And in your opinion, have those rules been
22 satisfied in this case?

23 A. Yes, they have.

24 Q. In your opinion, will the granting of this
25 Application result in the prevention of waste and the

1 protection of correlative rights and be in the best
2 interests of conservation?

3 A. Yes, it will.

4 Q. Were Exhibit Numbers 1 through 4 either prepared
5 by you or at your direction or under your supervision?

6 A. Yes, they were.

7 MR. ROBERTS: Mr. Examiner, I move the admission
8 of Exhibits 1 through 4.

9 EXAMINER STOGNER: Exhibits 1 through 4 will be
10 admitted into evidence.

11 MR. ROBERTS: I have no other questions for this
12 witness.

13 EXAMINATION

14 BY EXAMINER STOGNER:

15 Q. Mr. Dunn, let's take a look at the reservoir.
16 How would you classify this reservoir in the Entrada? What
17 type? And what's the drive mechanism?

18 A. This reservoir is a windblown sand-dune deposit,
19 and what we're seeing here is the remnants of one of the
20 old dunes that's been preserved.

21 The Entrada sand extends across the San Juan
22 Basin and is a water-drive reservoir with -- It's a bottom
23 water drive, and the water tends to be fairly fresh, less
24 than 10,000 total dissolved solids.

25 And the producing mechanism, basically, is, the

1 water's pushing the oil into the top of these dunes, and
2 when we tap in we pull the oil off the top, but due to the
3 relative mobility -- The water likes to flow easier through
4 the rock than the oil does, so water coning is a problem,
5 and tends to produce lots of water in these operations.

6 Q. Were you experiencing this in the vertical
7 portion of the wellbore? A coning, if you would?

8 A. Yes, we were. In fact, when we drilled the Arena
9 Blanca Number 1, we had about a 14-foot oil column, and
10 what you see on the map is an adjusted net pay to account
11 for the water cone around that well. Our geologists and
12 geophysicists have done a calculation and accounted for
13 that.

14 Once you develop a cone around the vertical well,
15 it becomes difficult to produce the well economically.

16 EXAMINATION

17 BY MR. STOVALL:

18 Q. Mr. Dunn, haven't you done some previous Entrada
19 horizontal wells to attempt to reduce that --

20 A. We did --

21 Q. -- that pressure drop?

22 Q. -- we drilled one well. We drilled one well in
23 our Papers Wash Entrada field, and it was a medium-radius
24 well. And that was a field -- We actually used a well that
25 was uneconomic. It had been shut in for several years, and

1 we estimate we're going to recover up to 120,000 barrels
2 out of that well from the horizontal well.

3 Q. Was it able to reduce the coning effect by
4 spreading your drawdown over the horizontal length?

5 A. It did reduce it, but we're still producing a lot
6 of water.

7 When I say "reduce it", what it allows you to do
8 is to produce, instead of about a 99-percent water cut,
9 produce at 97 percent, and that doesn't sound like it's
10 huge. And that doesn't sound like much --

11 Q. Hey, that's a --

12 A. -- but it's huge in the Entrada when you're
13 moving --

14 Q. -- 300-percent improvement, right?

15 A. Yeah, that's right.

16 Q. Measured from the top?

17 A. That's correct. When you're moving 5000 barrels
18 of water a day, that's quite a jump in the oil rate.

19 FURTHER EXAMINATION

20 BY EXAMINER STOGNER:

21 Q. This will be on pump, I assume?

22 A. That's correct. We'll probably initially produce
23 it with a pumping unit because that's what's there, but
24 eventually we'll be running a submersible pump.

25 Q. On the submersible pumps, do you run them all the

1 way to the end of the lateral?

2 A. No, we'll leave it in the vertical well. In
3 fact, we won't run it much more deeper than maybe 2000 or
4 3000 feet.

5 The Entrada reservoir is about a 400-millidarcy
6 permeability reservoir, and a tremendous inflow potential,
7 and you literally cannot buy a pump large enough to pump it
8 down. So we try to put the pump uphole, where we have to
9 lift the fluid a lesser distance and keep our lifting costs
10 down.

11 Q. Referring to Exhibit Number 3, up in the upper
12 left portion there's a plan view, and you show the surface
13 location of the kickoff point, and there's a squiggly line.
14 Am I to assume that this well has already had a directional
15 survey on the vertical portion?

16 A. That is correct, it's not a continuous survey. I
17 ran, while drilling this well, ran a Monel non-magnetic
18 collar and ran single-shot surveys that give azimuth and
19 angle, and that is the trace that we were able to calculate
20 using those single-shot surveys. But it is not a gyro
21 survey, say.

22 Q. Do you plan to find out where this kickoff point
23 actually is before you start your horizontal?

24 A. Very definitely. We'll be running a gyro.

25 Q. Referring back to Exhibit Number 1, that's all

1 one lease, all of Section 36?

2 A. That's correct. It's a state lease.

3 Q. As far as also on Section -- I'm sorry, Exhibit
4 Number 1, you show all the wells, you say, that has
5 penetrated the Entrada?

6 A. That is correct, in Section 36.

7 Q. Okay, that's what I was referring to. This is
8 the only producing well?

9 A. That is right. This is the discovery well and
10 the only producing well in the Arena Blanca field.

11 EXAMINER STOGNER: Okay. Do you have any further
12 questions of the witness?

13 MR. STOVALL: (Shakes head)

14 EXAMINER STOGNER: Anybody else have any
15 questions of Mr. Dunn?

16 You may be excused.

17 If nobody else has anything further in Case
18 Number 10,865, this case will be taken under advisement.

19 (Thereupon, these proceedings were concluded at
20 8:46 a.m.)

21 * * *

22 I do hereby certify that the foregoing is
23 a complete record of the proceedings in
24 the Examiner hearing of Case No. 10865,
25 heard by me on 10/10/93.

Michael E. Stogner, Examiner
Oil Conservation Division

