

STATE OF NEW MEXICO

ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT

OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING)
 CALLED BY THE OIL CONSERVATION)
 DIVISION FOR THE PURPOSE OF)
 CONSIDERING:) CASE NO. 10873

APPLICATION OF MEWBOURNE OIL COMPANY

REPORTER'S TRANSCRIPT OF PROCEEDINGSEXAMINER HEARING

BEFORE: David R. Catanach, Hearing Examiner
 Jim Morrow, Hearing Examiner

December 2, 1993

Santa Fe, New Mexico

This matter came on for hearing before the
 Oil Conservation Division on December 2, 1993, at
 Morgan Hall, State Land Office Building, 310 Old Santa
 Fe Trail, Santa Fe, New Mexico, before Deborah O'Bine,
 RPR, Certified Court Reporter No. 63, for the State of
 New Mexico.

ORIGINAL

JAN 24 1994

CUMBRE COURT REPORTING

P.O. Box 9262

Santa Fe, New Mexico 85704-9262

(505) 984-2244 FAX: 984-2092

I N D E X

December 2, 1993
 Examiner Hearing
 CASE NO. 10873

PAGE
 4

APPEARANCES

MEWBOURNE OIL COMPANY'S WITNESSES:

MIKE BOGART

Examination by Mr. Bruce 4

Examination by Examiner Catanach 8

DAVID SHATZER

Examination by Mr. Bruce 8

Examination by Examiner Catanach 12

WILKIRSON

Examination by Mr. Bruce 15

Examination by Examiner Catanach 30

REPORTER'S CERTIFICATE 42

E X H I B I T S

ID ADMTD

Exhibit 1	5	7
Exhibit 2	6	7
Exhibit 3	6	7
Exhibit 4	7	7
Exhibit 5	9	12
Exhibit 6	9	12
Exhibit 7	9	12
Exhibit 8	9	18
Exhibit 9	19	30
Exhibit 10	21	30
Exhibit 11	22	30
Exhibit 12	23	30
Exhibit 13	23	30
Exhibit 14	24	30
Exhibit 15	26	30
Exhibit 16	29	30

A P P E A R A N C E S

FOR THE APPLICANT: HINKLE, COX, EATON, COFFIELD
& HENSLEY
P.O. Box 2068
Santa Fe, New Mexico 87504
BY: JAMES G. BRUCE, ESQ.

EXAMINER CATANACH: At this time we'll call
Case 10873, which is the application of Mewbourne Oil
Company for Special Pool Rules for the Walters
Lake-Bone Spring Pool, Eddy County, New Mexico.

Are there appearances in this case?

MR. BRUCE: Mr. Examiner, Jim Bruce from
the Hinkle law firm in Santa Fe representing the
applicant. I have three witnesses to be sworn.

EXAMINER CATANACH: Additional
appearances?

(Witnesses sworn.)

MIKE BOGART,
the witness herein, after having been first duly sworn
upon his oath, was examined and testified as follows:

EXAMINATION

BY BRUCE:

Q. Will you please state your name for the
record.

A. My name is Mike Bogart.

1 Q. Where do you reside?

2 A. Midland, Texas.

3 Q. Who do you work for and in what capacity?

4 A. I work for Mewbourne Oil Company in the
5 capacity as a professional landman.

6 Q. Have you previously testified before the
7 Division as a landman?

8 A. I have not.

9 Q. For the examiner, would you outline your
10 educational employment background?

11 A. I have a bachelor's of business
12 administration in petroleum land management from the
13 University of Oklahoma. I've worked in the petroleum
14 industry for four years before I took my job with my
15 present employer. I've been with Mewbourne for almost
16 six years.

17 Q. Does your area of responsibility at
18 Mewbourne include southeast New Mexico?

19 A. It does.

20 Q. Are you familiar with the land matters
21 involved in this application?

22 A. I am.

23 MR. BRUCE: Mr. Examiner, I tender Mr.
24 Bogart as an expert petroleum landman.

25 EXAMINER CATANACH: Mr. Bogart is so

1 qualified.

2 Q. (BY MR. BRUCE) Mr. Bogart, would you
3 please refer to Exhibit 1 and identify it for the
4 prosecutor.

5 A. Exhibit 1 is a plat that outlines the
6 Walters Lake-Bone Spring Pool and the corresponding
7 surrounding contiguous sections that we've given
8 notice to offset operators in.

9 Q. And this is the pool that you seek to
10 increase the GOR to 5,000?

11 A. That's correct.

12 Q. What is Exhibit 2?

13 A. Exhibit 2 corresponds with Exhibit 1. The
14 numbers starting at the top and on down correspond on
15 this plat, and it just lists the offset operators,
16 leasehold operating rights.

17 Q. Operating rights' owners?

18 A. Right.

19 Q. How did you come up with this list?

20 A. This list was compiled from the records of
21 the county, the BLM and the state and the OCD, the
22 land records of those various agencies.

23 Q. There's quite a few people named here. Who
24 are the primary operators in this pool?

25 A. The primary operators -- you mean those who

1 operate wells?

2 Q. Yes.

3 A. Mewbourne Oil Company, Yates Petroleum
4 Corporation, Enron Oil & Gas Company.

5 Q. What is Exhibit 3?

6 A. Exhibit 3 is a listing of all of the
7 waivers, letters that we have gotten, we sent out
8 asking for consent for our application and waived
9 any objection. And I'd like to point out, the first
10 two pages are the two Yates and Enron, the two other
11 operators in the pool who actually operate Bone Spring
12 wells.

13 Q. And notice of this application was sent to
14 all the people listed on Exhibit 2?

15 A. That's correct.

16 Q. And is Exhibit 4 your affidavit regarding
17 notice containing the certified return receipts?

18 A. Yes, it is.

19 Q. Were Exhibits 1 through 4 prepared by you
20 or under your direction or compiled from company
21 records?

22 A. Yes.

23 Q. In your opinion, is the granting of this
24 application in the interest of conservation and the
25 prevention of waste?

1 A. Yes.

2 MR. BRUCE: Mr. Examiner, I tender Exhibits
3 1 through 4.

4 EXAMINER CATANACH: Exhibits 1 through 4
5 will be admitted as evidence.

6 MR. BRUCE: That's all I have of this
7 witness.

8 EXAMINATION

9 BY EXAMINER CATANACH:

10 Q. Mr. Bogart, the companies you have listed,
11 do they have operating rights within the Bone Spring
12 formation?

13 A. That's right.

14 Q. Do some of these companies just have the
15 leasehold interest, they don't necessarily have a well
16 drilled on the acreage?

17 A. That's right. The only wells that are
18 producing from the Bone Spring formation are within
19 the Walters Lake-Bone Spring Pool, and these
20 surrounding are just those that have leasehold
21 interest in the rights to the Bone Spring formation.

22 Q. Have you had any objection from any of the
23 companies that you notified as far as you know?

24 A. Not that I know of.

25 EXAMINER CATANACH: I don't have anything

1 further. The witness may be excused.

2 MR. BRUCE: Call Mr. Shatzer to the stand.

3 DAVID SHATZER,

4 the witness herein, after having been first duly sworn
5 upon his oath, was examined and testified as follows:

6 EXAMINATION

7 BY MR. BRUCE:

8 Q. Would you please state your name and city
9 of residence for the record.

10 A. My name is David Shatzer, and I live in
11 Midland, Texas.

12 Q. And who do you work for?

13 A. I work for Mewbourne Oil Company.

14 Q. And what is your job there?

15 A. I'm a petroleum geologist.

16 Q. Have you previously testified before the
17 division as a geologist?

18 A. Yes, I have.

19 Q. And were your credentials as an expert
20 accepted as a matter of record?

21 A. Yes, they were.

22 Q. Are you familiar with the geology involved
23 in the Walters Lake-Bone Spring Pool?

24 A. Yes, I am.

25 MR. BRUCE: Mr. Examiner, I tender Mr.

1 Shatzer as an expert petroleum geologist.

2 EXAMINER CATANACH: Mr. Shatzer is so
3 qualified.

4 Q. (BY MR. BRUCE) Mr. Shatzer, could you
5 refer to your Exhibits 5, 6, and 7, and go through
6 those for the examiner, and identify them?

7 A. Exhibit No. 5 is a structure map on the top
8 of the first Bone Spring sand. The structure is
9 contoured on a 50-foot contour interval.

10 The Bone Spring wells that are presently
11 producing from the first Bone Spring sand are those
12 that are enclosed in the aqua blue color on both
13 Exhibit No. 5 and Exhibit No. 6 that I haven't gotten
14 to yet. So the producers are all colored in aqua
15 blue, and there's a few other wells that probably will
16 produce at some time later that have apparent pay
17 behind pipe.

18 Exhibit No. 6 is a first Bone Spring sand
19 interval net porosity isopach; that is, the porosity
20 greater than or equal to 10 percent that is greater
21 than that cutoff for the entire first Bone Spring sand
22 interval, and then this cumulative figure is then
23 isopached.

24 Do you want me to go on to --

25 Q. Yes, why don't you go on to the

1 cross-section?

2 A. The cross-section P-P' runs west to east
3 across Section 3 and Section 2. It's marked on both
4 maps in a dashed line. It starts with the Enron
5 Nelson 3 Federal No. 10 and goes to the east to the
6 Mewbourne Oil Loco Hills No. 2, then goes to the
7 Mewbourne Oil Loco Hills No. 4, and then the last well
8 at the position P-P' is Mewbourne Oil Cedar Breaks 2
9 No. 4.

10 The three Mewbourne wells all are
11 perforated in the upper two sand members. Later on,
12 testimony may refer to these as the aqua sand and pink
13 sand. Those are merely internal in-house
14 determinations for the sand. The aqua sand would be
15 the uppermost portion that's got the two lines across,
16 and then the second little, slightly thicker member
17 where there's perforations is the pink sand.

18 But basically it shows the continuity of
19 the gross sand packages across the field, and the
20 isopach was merely a data derived from the porosity
21 greater than the 10 percent cutoff.

22 Q. The wells in the pool, I notice at the
23 bottom of your map have the top of the carbonate.
24 What do the wells in this pool produce from?

25 A. The wells in this pool produce from the

1 first Bone Spring sand. There's --

2 Q. Go ahead.

3 A. There's one perforation in the second Bone
4 Spring sand, but that's no longer an economic well,
5 and that's in the northern half of Section 3.

6 Q. And is the Bone Spring formation continuous
7 across this pool?

8 A. Yes, it is.

9 Q. Were Exhibits 5 through 7 prepared by you
10 or under your direction?

11 A. Yes, they were.

12 Q. And, in your opinion, is the granting of
13 this application in the interest of conservation and
14 the prevention of waste?

15 A. Yes, it is.

16 MR. BRUCE: Mr. Examiner, I move the
17 admission of Exhibits 5 through 7.

18 EXAMINER CATANACH: Exhibits 5 through 7
19 will be admitted as evidence.

20 EXAMINATION

21 BY EXAMINER CATANACH:

22 Q. Mr. Shatzer, the sand intervals that are
23 being produced, are those separated by something
24 that's impermeable?

25 A. Not really. There are individual sands,

1 and obviously they have the porosity and permeability
2 that we derive our oil and gas from, but these wells
3 are all stimulated by large frac stimulation
4 programs. And, therefore, I don't know that there
5 would be any consistent boundary that would separate
6 one sand package from another once these are brought
7 on production.

8 Q. And this sand interval is the only
9 productive interval in the pool, as far as you can
10 tell? The carbonate is not productive?

11 A. The carbonate is not productive.

12 Q. It has been tested?

13 A. Not really. I don't think in this
14 particular pool, no one's perforated the carbonate.
15 As I said, the second sand, which is a couple hundred
16 feet below this, anything on the cross-section was
17 perforated in a well that's not colored in the north
18 half of 3. It's in the C unit of 3, and it's operated
19 by Enron Oil & Gas. It's no longer a very economic
20 well. And the second sand doesn't have the porosity
21 permeability that the first sand does, and it's not
22 part of the active reservoir that we've been working
23 with.

24 EXAMINER MORROW: Is the second sand one of
25 these markers you have through here, or is it down

1 below everything generally?

2 THE WITNESS: No, it's hundreds of feet
3 down below the top of the second Bone Spring
4 carbonate. It's a whole another sand package.

5 EXAMINER MORROW: So this whole thing from
6 the top of the sand to the top of the carbonate is the
7 first?

8 THE WITNESS: Is the first sand, yes.

9 Q. (BY EXAMINER CATANACH) Is that Enron well
10 still producing from that second sand?

11 A. Yes, it is. I don't think it's producing
12 that much. I don't have the daily figures on it.
13 It's only produced a few thousand barrels of oil
14 cumulative.

15 Q. Have you been able to geologically define
16 any boundaries within the sand reservoir, the gas-oil
17 boundary, or oil-water boundary or anything?

18 A. No. There really isn't an oil-water
19 contact. The sands in the lower half of the first
20 Bone Spring sand haven't, I don't feel, added too much
21 to the production. We have had one well that we
22 perforated them in, and I don't know how much they've
23 added to the production. Certainly, they contribute
24 whatever -- they're open through the fracture
25 stimulation that would probably frac from the top of

1 the sand all the way to the base, but they don't look
2 productive.

3 The characteristics are a little bit
4 tighter, higher-bound water, and they don't look like
5 they would be contributory.

6 EXAMINER CATANACH: I think that's all we
7 have of the witness at this time.

8 DAN WILKIRSON,
9 the witness herein, after having been first duly sworn
10 upon his oath, was examined and testified as follows:

11 EXAMINATION

12 BY MR. BRUCE:

13 Q. Would you please state your name for the
14 record.

15 A. My name is Dan Wilkirson.

16 Q. Where do you reside, and by who are you
17 employed?

18 A. I currently reside in White House, Texas.
19 I'm employed by Mewbourne Oil Company.

20 Q. And in what capacity are you employed by
21 Mewbourne?

22 A. I work for Mewbourne in Tyler, Texas, as
23 the chief reservoir engineer.

24 Q. Have you previously testified before the
25 OCD as an engineer?

1 A. No, I have not.

2 Q. Would you outline your educational and work
3 background?

4 A. I have a bachelor's of science in petroleum
5 engineering from the University of Texas that I
6 received in 1977. Since then I worked for 15 years
7 for Core Laboratories, engineering consulting
8 department, as a reservoir engineer, ranging from an
9 entry-level engineer to, my final position was manager
10 of domestic engineering services. During that time, I
11 did studies of fields throughout the United States, as
12 well as internationally.

13 Q. Have you testified before any other
14 commissions?

15 A. Yes, I have. I've testified before the
16 Texas Railroad Commission and the Oklahoma Corporation
17 Commission.

18 Q. Are you a Registered Professional Engineer?

19 A. Yes, I'm a Registered Professional Engineer
20 in Texas.

21 Q. When did you join Mewbourne?

22 A. I joined Mewbourne about a year and a half
23 ago. I had worked for Mewbourne previously. They
24 were one of my clients as a consultant, and I joined
25 them full time about a year and a half ago.

1 Q. What type of work do you perform?

2 A. My specialties are reservoir simulation and
3 secondary recovery, but I act as a general reservoir
4 engineer for all of Mewbourne's properties that they
5 operate, looking at properties that require additional
6 study or additional work to determine the best way to
7 produce and develop them.

8 Q. Are you familiar with the engineering
9 matters and reservoir matters pertaining to this pool?

10 A. Yes, I am.

11 Q. In particular, what have you reviewed
12 regarding this pool?

13 A. I have reviewed all the production from the
14 wells in this field. I have reviewed all the geologic
15 information that Mr. Shatzer has prepared, as well as
16 studied some of it on my own, and I have looked at
17 what might be the best way to maximize recovery from
18 this pool.

19 MR. BRUCE: Mr. Examiner, I tender Mr.
20 Wilkirson as an expert reservoir engineer.

21 EXAMINER CATANACH: Mr. Wilkirson is so
22 qualified.

23 Q. (BY MR. BRUCE) Mr. Wilkirson, would you
24 refer to your first exhibit, No. 8, and identify it
25 for the examiner and describe its contents.

1 A. Yes. Exhibit 8 is a tabulation of the
2 wells currently completed in the Walters Lake-Bone
3 Spring Pool. They include, the first three wells are
4 in Section 3, and they are operated by Enron.

5 The very first well on the list is the
6 Nelson 3 Federal #8. That is the well that is
7 completed in the second Bone Spring sand. It was
8 completed in 1988 and is considered the discovery well
9 of the pool. That well is still producing, and the
10 final columns show the latest production that we have
11 on each of these wells. That well produced 33 barrels
12 of oil in the month of June 1993. And that is why Mr.
13 Shatzer refers to it as probably uneconomic.

14 Mewbourne currently operates four wells in
15 the field. They're all located in the south half of
16 Section 2. The Loco Hills State #2, #3, and #4. They
17 are each in the southwest quadrant of Section 2.

18 The Cedar Breaks 2 State #4 is in the
19 southeast quadrant -- it would be in the southwest of
20 the southeast quarter.

21 And there are two wells that are operated
22 by Yates Petroleum, the Federal AML #1, which is in
23 the south half -- sorry -- it's in the northeast of
24 the southeast quarter -- I'm sorry -- the northwest of
25 the southeast quarter of Section 2, due north of our

1 Cedar Breaks #2.

2 And they've completed one well in Section
3 11 just across the southern boundary of Section 2, and
4 that's the Federal MZ #2. The Federal MZ #2 was
5 tested in September of this year, produced for just a
6 couple of days to test it, and has been shut in
7 awaiting connection. So we don't have any full
8 production information on that well yet. What's
9 tabulated there is the 24-hour initial potential test.

10 Q. What does the data that you have here show
11 as far as the solution gas-oil ratio and the current
12 GOR's?

13 A. It shows that for most of the wells, the
14 gas-oil ratio is elevated for all the active producers
15 between 7 and 10,000 standard cubic feet per barrel
16 currently. The Nelson Federal #8 is in that range but
17 probably uneconomic, and I don't know what Enron's
18 plans are for that well.

19 The Nelson Federal #10 is currently shut
20 in, awaiting recompletion. It was only produced for a
21 few months, and we have an ownership interest in that
22 well, and I know Enron is considering recompleting out
23 of the Bone Spring.

24 Q. Did you determine the original bubble point
25 pressure and matters related to that?

1 A. Yes. I've looked -- Exhibit 9 is a
2 tabulation of the first month of production on each of
3 our wells on a daily basis. Most of our wells
4 initially produced in the range of 1,000 to 1,250
5 standard cubic feet per barrel as a producing GOR.
6 That only lasted for a few days, and the GOR's tended
7 to climb rapidly by the end of the first month. Most
8 of them were over 2,000 cubic feet per barrel.

9 I also took standard industry correlations,
10 the standing correlation, and used it to estimate a
11 solution gas-oil ratio of about 1,200 standard cubic
12 feet per barrel. And that's based on a -- this is a
13 44 to 45 degree API oil, a fairly light oil. It's
14 about a .82 gravity gas, and we estimate the reservoir
15 temperature at 113 degrees.

16 I also used standard industry correlation
17 to estimate a bubble point pressure in the range of
18 2,700 pounds, and our initial reservoir pressure we
19 estimate at about 2,650 pounds. I also crosschecked
20 this with some other industry correlations. They gave
21 similar results. So it appears that it is a very
22 nearly saturated oil at original conditions with an
23 initial GOR somewhere around 1,200 cubic feet per
24 barrel.

25 Q. Have you seen any evidence of a gas cap

1 based on this data?

2 A. No, we have not seen any wells that
3 produced at an elevated initial GOR except for our
4 Cedar Breaks #4, and it is actually structurally lower
5 than some of the other wells, and I feel that it is
6 elevated in GOR due to production by our three wells,
7 other three wells in the south half of Section 2.

8 There's been no increased gas-oil ratio as
9 a function of structural position, nor did I see any
10 indication on the logs of crossover in our neutron
11 density log that would indicate free gas present.

12 Q. Referring to your Exhibit 10, would you
13 discuss that for the examiner and discuss whether
14 you've seen any evidence of a water-drive in this
15 reservoir?

16 A. Exhibit 10 is the monthly production
17 history for each of the wells that are currently
18 completed in the Walters Lake-Bone Spring Pool. They
19 all produce some water, most of them in the 15 to 20
20 percent range of water cut, and none of them indicate
21 any increasing water cut with time, nor have we seen
22 any indication there might be some pressure
23 maintenance due to an active aquifer.

24 So I've interpreted it as no active
25 water-drive. The water we see produced is merely

1 original water that is above the irreducible water
2 saturation being drained from some of the sand
3 intervals.

4 Q. Moving on to Exhibit 11, would you discuss
5 estimated recovery from the wells?

6 A. Yes. Based on the monthly production
7 history, I did decline curve analysis to estimate the
8 ultimate recovery. That table shows, as Mr. Shatzer
9 mentioned, a subdivision of the first Bone Spring sand
10 into two intervals, referred to as aqua and pink. It
11 shows our estimation of what the net pay might be and
12 the average porosity in each of those intervals, and I
13 calculated an oil in place based on the estimated
14 fluid properties and on estimated gas in place.

15 I used decline curves to come up with what
16 is labeled the estimated ultimate towards the far
17 right side of the table from each of the wells, and
18 that is assuming a 40-acre area for each of the wells
19 -- I'm sorry, the oil in place is for a 40-acre
20 area. And then I calculated the ultimates, and then I
21 have a tabulation of what percentage recovery of that
22 initial oil in place that ultimate might represent.

23 You can see that it varies quite a bit from
24 one well to the next. There are two wells. If you
25 look at the net isopach map that Mr. Shatzer showed,

1 there are two wells that show a very thin section of
2 the Bone Spring in Section 2, and those are the ones
3 that show that very low recovery, less than 1,000
4 barrels.

5 I also back-calculated what area each of
6 the wells might be draining if I assume that these
7 ultimate recoveries represented a 15 percent recovery
8 factor for the oil, and that's the final column,
9 estimated acres drained. And it shows that on
10 average, it looks like each of the wells is draining
11 about 40 acres.

12 The well with the largest estimated
13 drainage area is our Loco Hills State No. 2, but it
14 also has two offset wells that have quite a bit of
15 sand thickness in them. So it's hard to tell how big
16 an area that well is truly draining. It might be
17 stealing some from our other wells next door.

18 Q. Referring to Exhibits 12 and 13, would you
19 discuss your opinion as to the drive mechanism of this
20 pool?

21 A. Yes. I interpret on the basis that there's
22 no gas cap that I can identify and no active aquifer
23 involved, that this would be a solution gas-drive
24 reservoir, and that is the primary and only recovery
25 mechanism currently available to us.

1 And Exhibits 12 and 13 are quotes from a
2 couple of petroleum engineering textbooks that in the
3 discussion of maximum efficient rate, that in a
4 solution gas-drive reservoir, the ultimate recovery is
5 not dependent on the producing rate; that you'll
6 recover approximately the same amount of oil, whether
7 the wells are produced or a field is produced at its
8 maximum capable rate, or if it is restricted and
9 produces for a longer time, but you'll end up with
10 essentially the same ultimate recovery.

11 Q. Okay. Have you measured permeability in
12 this reservoir?

13 A. Yes. We did core the Cedar Breaks 2 #4,
14 our most recent completion, and Exhibit 14 is a cross-
15 plot of permeability and porosity from the core
16 analysis on that well. The core was a little
17 disappointing to us because it indicates that almost
18 all the permeability and sand in this field is less
19 than one millidarcy, and we only had one sample that
20 had a permeability that was greater than 3-1/2
21 millidarcies.

22 The core also indicated that the reservoir
23 is a severely laminated sequence of sand and silt over
24 a fairly small interval.

25 This low permeability tends to agree with

1 the production characteristics where the gas-oil ratio
2 increases very rapidly, because to get any production
3 out of this low permeability rock with oil, we have to
4 have a large pressure drawdown on the interval.

5 That creates a rapid increase in gas
6 saturation because the reservoir is very near the
7 original saturation pressure. And because of
8 viscosity and relative permeability characteristics,
9 you then have a rapidly increasing gas-oil ratio
10 around the wells.

11 If I could, we also put a photograph on the
12 cross-section that is from this core that illustrates
13 this highly laminated sequence. That's Exhibit 7, I
14 believe.

15 Q. Exhibit 7 or -- yes.

16 A. That's a photograph of a single foot of
17 interval from this well. The core requires about a
18 12-foot adjustment in depth compared to the logs. And
19 so we have drawn an arrow to indicate that the
20 interval that this is selected from appears from the
21 logs to be a very good porosity zone with porosities
22 on the order of 12 to 14 percent, but you can see that
23 this rock is very highly laminated. The dark streaks
24 are silt. They aren't truly shale but consist of very
25 fine-grained particles.

1 The grayer streaks are the cleaner sand.
2 And that's what leads to the extremely low
3 permeabilities that we measured in the core. This
4 also creates drainage problems for us because it does
5 impede vertical communication within the net pay
6 interval in a single well in that these silts are very
7 low permeability and will act somewhat as barriers to
8 flow, not total, but the only real production
9 mechanism that we have is horizontally through these
10 sands into the fracture system, and that's into the
11 wellbore.

12 Q. So, in your opinion, do you need large
13 drawdowns to prevent the waste of hydrocarbons in this
14 reservoir?

15 A. Yes. In my opinion, because of these low
16 permeabilities and this laminated nature, if you do
17 not have large drawdowns, you won't produce oil from
18 these low permeability streaks. And, therefore, maybe
19 late in the life when the pressures are way down they
20 may contribute, but it's going to be at a time when
21 the well may not be economic.

22 Q. What does Exhibit 15 represent?

23 A. Exhibit 15 is our newest well. It was the
24 Cedar Breaks 2 State #4. It's located in the
25 southwest of the southeast of Section 2. This well

1 came on with an initial gas-oil ratio of 6,000
2 standard cubic feet per barrel and is capable of
3 producing quite a bit of oil, but in conjunction with
4 it, it is also producing gas in excess of the
5 allowable rate.

6 This is a production graph over the month
7 of November. In the early part of the month, the well
8 was restricted. The little plus lines are the gas,
9 and it was restricted to the 375 Mcf a day, which is
10 the current gas allowable in the pool.

11 I'd like to note that the little shaded
12 squares on the water cut -- and when we had this well
13 restricted, it was not producing any water. When we
14 first tested the well, it produced at about 25 percent
15 water cut. When we cut back the rate to the
16 allowable, it ceased producing the water. And I
17 requested our production department to increase the
18 rate to test the well to see if the gas-oil ratio is
19 sensitive to production rate and drawdown.

20 So we increased the gas rate for a couple
21 of weeks and found that when we increased the rate,
22 the water cut -- or the well began producing water
23 again.

24 The gas rate increased, but the GOR, which
25 is the black diamonds, really didn't change as we

1 increased the gas rate. But the water production, I
2 believe one of two things were happening, either some
3 of these lower permeability sands that probably have a
4 fairly high water saturation were not contributing
5 when the well was cut back, and that's why we weren't
6 producing any water, or the well was producing at such
7 a low velocity of fluid that the water was not being
8 efficiently lifted from the well. I can't swear which
9 one is true, but both would tend to reduce the
10 eventual recovery from the well because this water
11 would have been collecting in the bottom of the well
12 if it was due to the velocity of the fluid and would
13 eventually cause loading problems within the well.

14 Q. If you produce at the current allowable,
15 does Mewbourne face operational problems in these
16 wells?

17 A. Yes. Because of -- obviously, the water
18 production factor indicates to me, I feel probably we
19 aren't draining some of those low permeability sands
20 when a well like this is restricted so heavily.

21 We also are facing having to install
22 artificial lift in the wells, which will reduce the
23 economics of the well and lead to an earlier
24 abandonment of the well or reach an economic limit
25 sooner.

1 We have currently finished installing
2 artificial lift in the Loco Hills 2, 3, and 4. The
3 Loco Hills 4 is probably capable of producing at
4 higher than current gas allowable; so it would have to
5 be artificially restricted, probably by having to be
6 shut in part of the month to meet the current gas
7 allowable.

8 That will, once again, cause reduction in
9 recovery from these low perm sands. If that thing is
10 not continuously on production, every time you shut it
11 in, you're going to cut the amount of drainage you're
12 eventually going to get from these low permeability
13 intervals.

14 Q. Finally, would you just briefly refer to
15 Exhibit 16 and describe its contents for the examiner?

16 A. Yes. We searched the record to see if our
17 problems here in Walters Lake were similar to problems
18 in other Bone Spring pools. We did find that there
19 were several Bone Spring pools that have increased
20 gas-oil ratio limits, and this is a plat that shows
21 the other pools nearby in Eddy County.

22 At the far north end is our Walters Lake
23 Bone Spring where we're requesting a 5,000 gas-oil
24 ratio limit.

25 Then there's the Palmilio Bone Spring,

1 which has an 8,000:1 granted in 1980, the Parkway Bone
2 Springs, which has a 10,000:1 which was granted in
3 1990. East Avalon Bone Springs has a 5,000:1 that was
4 granted in 1989. And the Fenton Bone Spring, which
5 was granted in 1980, which has a 10,000:1.

6 There are also several pools in Lea County
7 Bone Spring Pools that have been granted increased
8 GOR's. I think the production mechanism and the type
9 of rock we're seeing in our field is not very
10 different from so many of the other Bone Spring
11 pools. It's a light oil that goes to relatively high
12 gas-oil ratio very quickly. And these pools are all
13 along a common trend along the shelf of the basin.

14 Q. In your opinion, is the granting of this
15 application in the interest of conservation, the
16 prevention of waste, and the protection of correlative
17 rights?

18 A. Yes. I feel that the granting of this
19 application will give each operator the chance to
20 recover the maximum hydrocarbons from their pool and
21 to protect their correlative rights and allow them to
22 produce their appropriate share of those.

23 Q. Were Exhibits 8 through 16 prepared by you
24 or under your direction?

25 A. Yes, they were.

1 MR. BRUCE: Mr. Examiner, I move the
2 admission of Mewbourne's Exhibits 8 through 16.

3 EXAMINER CATANACH: Exhibits 8 through 16
4 will be admitted as evidence.

5 MR. BRUCE: I pass the witness.

6 EXAMINATION

7 BY EXAMINER CATANACH:

8 Q. Mr. Wilkirson, I believe you said you
9 examined the wells to determine if there was any
10 structural component to the GOR's?

11 A. Yes, sir.

12 Q. And you found that there was not?

13 A. That's correct. The only well that has
14 shown a truly elevated initial gas-oil ratio is the
15 Cedar Breaks 2 #4. When it first came on production,
16 if you refer to the structure map, it is the well
17 that's labeled P', and you can see that it is one of
18 the structurally lowest wells currently completed in
19 the pool.

20 All the other wells, to the best of our
21 knowledge, had initial gas-oil ratios between 1,000
22 and 2,000. We don't have daily data on the other
23 operators' wells, but with their monthly production,
24 most of them came on in the first month at not more
25 than 2,000 standard cubic feet per barrel.

1 Q. Which wells are you talking about again?

2 A. The well that's just north of the P' --

3 Q. Right.

4 A. -- or P in Section 3, that is the Enron
5 Nelson #9, and that is the well with the longest
6 production history from the Bone Spring.

7 If you can glance at Exhibit 10, that well
8 at the first month or two of production -- Exhibit 10
9 is the monthly production history. I don't have any
10 daily data on it.

11 You can see that that well, the first
12 couple of months -- it's the second page of that
13 exhibit -- was around 1,000 standard cubic feet per
14 barrel. It climbed very rapidly to 2,000, within a
15 year was at 3,000. It leveled off for two or three
16 years at about 3,000, and then began to climb again,
17 and is currently up about 8,000 or 9,000. That is
18 also about the structurally highest well that's
19 producing from this field.

20 There is a Mewbourne well that on the plat
21 is a diamond that was originally a Strawn producer
22 that we recompleted in the Bone Spring, and it
23 essentially was unproductive. We produced 500
24 barrels, I believe, out of it, and it has been
25 abandoned in the Bone Spring, but its gas-oil ratio

1 was also in the 1,200, 1400 range.

2 So I have not seen any relationship between
3 initial gas-oil ratio and structural position.

4 EXAMINER MORROW: How about between the
5 position of the perforations within the sand, have you
6 done any testing to see if there is any relationship
7 there, the top part of it a higher ratio than the
8 lower part.

9 THE WITNESS: No, sir, we haven't. A
10 couple of the wells, the upper portion is a much
11 better developed sand than the lower portion, and I
12 would believe that the bulk of the production is
13 coming from there in those wells.

14 The Nelson #3, the one I asked you to look
15 at just a moment ago that has the longest production
16 history, that one has more good sand in the upper
17 portion, that upper interval that we internally refer
18 to as the aqua. Our wells over in Section 2 have
19 better development in the lower portion that we call
20 the pink or the second stratigraphic member within the
21 first Bone Spring sand. And they all had
22 approximately the same initial gas-oil ratio.

23 But all these wells were hydraulically
24 fractured. They produce almost nothing until they are
25 hydraulically fractured; so it would be very hard to

1 say truly where the production came from.

2 EXAMINER MORROW: Were there some natural
3 fractures in the sand?

4 THE WITNESS: I don't believe so. The core
5 that we cut did not indicate any natural fractures.
6 And when we try to produce these wells before we
7 fracture stimulate them, they're essentially
8 unproductive; so I don't believe there's any natural
9 fracture system available.

10 Q. (BY EXAMINER CATANACH) You mentioned that
11 you need a lot of drawdown to produce some of these
12 laminated sands. Doesn't the hydraulic fracturing
13 take care of that problem?

14 A. Well, the hydraulic fracturing will create
15 an equal pressure in the bottom of the well among each
16 of those sands, which gives them the potential to
17 produce, but the actual amount of drawdown is
18 dependent on what the flowing bottomhole pressure is
19 in that well.

20 In other words, if the bottomhole pressure
21 is, say, 300 or 400 pounds below the reservoir
22 pressure, a sand within the interval that's open is
23 going to produce proportionate to its permeability and
24 its saturations. So the better permeability sands
25 will tend to have the majority of the production.

1 These lower permeability sands may require
2 800 pounds of pressure differential to really get any
3 flow out of them. And that's the phenomenon I'm
4 referring to.

5 But the fracture there opens with the
6 potential, but unless we can create a pressure
7 gradient large enough to get production from these low
8 permeability sands, they really won't contribute. The
9 good sand will contribute almost everything. What I
10 would be concerned with is we would deplete the good
11 sand, and those small sands are going to contribute so
12 little, that the well will become uneconomic before we
13 really get good drainage out of those low permeability
14 intervals.

15 Q. Have you done an examination to determine
16 if maybe some of these sands are predominantly
17 gas-bearing?

18 A. The only way that we might have to indicate
19 it would be from the logs, and although there is
20 separation between the neutron and the density log, we
21 never see the reversal of the neutron log that would
22 imply that it is gas-bearing in any of the sands.

23 And the core that we cut, almost all the
24 interval has residual oil saturation in it of the
25 magnitude that would imply that it's an oil-bearing

1 sand. We see residual oil saturations in the 10 to 12
2 percent through most of the cored interval. A gas-
3 bearing oftentimes in the core would have residual oil
4 saturations in the 3 to 5 percent range.

5 Sometimes in the core you can see a sharp
6 break in residual oil saturation where it increases
7 going from a gas zone to an oil zone, but we haven't
8 seen any indication of that in this field.

9 Q. You haven't done any PVT analysis on any of
10 these sands, have you?

11 A. Well, we did collect a fluid sample and had
12 a laboratory study done of it several years ago from,
13 I believe, our Loco Hills #3, which was completed in
14 1990. And the well had been on production for two
15 months at the time the sample was taken, and I believe
16 that the sample is nonrepresentative because the
17 producing gas-oil ratio in the well was about 2,500 at
18 the time, and the sample recombined to a saturation
19 pressure of about 3,700 pounds, which is probably
20 1,000 pounds above what the original pressure was.

21 They then asked that it be recombined at a
22 saturation pressure of 2,650, which the laboratory
23 did. And that gave a solution GOR of about 900,
24 which, based on the production data, says that's too
25 low.

1 So I think that the sample that was taken
2 was really not representative of the original
3 reservoir fluid. And that's not uncommon. In my 15
4 years with Core Lab, I looked at an awful lot of fluid
5 studies, and in a reservoir like this, if you don't
6 catch one in the first few days of production before
7 you have created a gas saturation around the wellbore,
8 your sample won't be representative.

9 So I personally feel that the correlations
10 give results, the standard industry correlations give
11 results very similar to what we see in the way of
12 production history in the field. So I really have
13 more confidence in them than in the fluid study.

14 Q. The 1,200 cubic feet of gas per barrel,
15 that was calculated?

16 A. Yes. That's estimated from correlations.

17 Q. And the bubble point pressure was
18 calculated?

19 A. Yes, sir.

20 Q. Was the Enron well you talked about that
21 was perforated in the second Bone Spring sand, was
22 that ever produced in the first Bone Spring?

23 A. No, it hasn't, and I don't know what
24 Enron's plans are. I would suspect they would want to
25 try the first Bone Spring sand in that well, although

1 the first Bone Spring sand in that well does not look
2 as good as it does in the south half of Section 3
3 where they have other producers from the first Bone
4 Spring sand.

5 But I don't have any information on what
6 Enron's actual plans are for that well. That well --
7 it's the first one on the monthly production graph,
8 and you can see that the production has been declining
9 for quite a while, and it's been producing less than a
10 hundred barrels a month for several years. So I would
11 have thought if they had some additional potential,
12 they probably would have tested it by now, but I'm not
13 sure what their plans are.

14 Q. Will the GOR increase have any effect on
15 that second Bone Spring sand interval in that well,
16 any adverse effect?

17 A. That well has already a gas-oil ratio of
18 8,000 to 10,000, but the production rate is so low
19 that it is well under the allowables of both oil and
20 gas; so it's really not going to affect that well
21 particularly.

22 EXAMINER MORROW: Is the current GOR
23 2,000?

24 THE WITNESS: It's under statewide rules,
25 yes, sir, of 2,000. And the oil allowable is 187

1 barrels a day.

2 Q. (BY EXAMINER CATANACH) Mr. Wilkirson, are
3 you requesting a permanent change in the GOR, or are
4 you requesting a temporary change?

5 A. We're requesting a permanent change in the
6 field rules so that all operators in all future wells
7 that are developed would operate under these same
8 rules.

9 Q. Do you feel like there's enough evidence
10 right now to establish permanent pools, or do you
11 think it's justified to establish temporary pools and
12 then gather more additional evidence?

13 A. I don't know if I'm qualified to answer
14 that. Obviously, if the commissioner would prefer,
15 they can set up temporary rules and set this for
16 review again.

17 I personally am convinced that -- I know
18 what the drive mechanism is here, and I can't see much
19 potential for any change in the drive mechanism or
20 change in something that would want to reduce that GOR
21 limit again. It may be that somebody wants to come
22 back and increase it at some point in time because
23 these gas oil ratios are climbing very rapidly.

24 Q. Do you feel like there's going to be
25 considerable further development in this pool?

1 A. The Yates well that's in Section 11, of
2 course, all we have is the initial potential test, but
3 it tested very well. Mewbourne owns an interest in
4 that section, and I don't know what the development
5 plans are because I don't work in the exploration
6 department, but I would suspect that they will
7 consider drilling another well. And I would suspect
8 that there's some additional development in the east
9 half of Section 11, which I believe is owned by Enron.

10 In Section 2, Mewbourne has plans to drill
11 a well in the northwest of -- I'm sorry -- the
12 southeast of the northwest, just north of our Loco
13 Hills #2. We have a location there and plan to drill
14 an additional Bone Spring target there.

15 So, yes, there is some additional
16 development, I'm sure, in this field.

17 Q. How many wells in the pool does this
18 increase in GOR actually have an effect on?

19 A. If you'll refer to Exhibit 8, those are the
20 currently producing wells in the pool. So those are
21 the wells that it would affect. They're all formally
22 designated as the Walters Lake-Bone Spring Pool.

23 Q. They're all producing at above 2,000?

24 A. All except -- well, the Nelson #10 well
25 that has the low GOR, that well is shut in. They only

1 produced it for a few days, and I believe they intend
2 to recomplete out of the Bone Spring.

3 And the only well that is below -- other
4 well that's below 2,000 is the last well on the list,
5 the Yates well, and it was right at 2,000 on its first
6 daily test.

7 EXAMINER MORROW: Most of them, though, are
8 producing below the 375 a day, aren't they?

9 THE WITNESS: Yes, sir. We have two wells
10 that are currently restricted by that 375. The Loco
11 Hill State #4 is capable of producing more than that.
12 It's capable of producing approximately 500, I
13 believe. And then our Cedar Breaks 2 #4 is currently
14 probably capable of producing in the 1.7 to 1.8
15 million a day range. When we first brought it on
16 production, it was up in that range.

17 The new -- the 5,000 GOR limit would give
18 us an allowable of about 950. So that well would
19 still be restricted under what we're proposing for the
20 rules.

21 EXAMINER MORROW: How many wells did you
22 say you're lifting now?

23 THE WITNESS: In the last month, we have
24 put three wells on artificial lift, the Loco Hills 2,
25 3, and 4. I believe that Yates has a pumping unit on

1 that Federal AML #1 which has been producing about six
2 months. I'm not sure if they're actually using that
3 to produce the well or if it's still flowing
4 naturally.

5 EXAMINER MORROW: You think it will
6 eventually lift everything?

7 THE WITNESS: Yes, I'm pretty sure we'll
8 have to.

9 EXAMINER MORROW: So the increase will just
10 delay that expenditure rather than eliminating it
11 completely that you talked about?

12 THE WITNESS: Yes.

13 EXAMINER CATANACH: I think that's all we
14 have. The witness may be excused.

15 THE WITNESS: Thank you.

16 MR. BRUCE: I have nothing further in this
17 case, Mr. Examiner.

18 EXAMINER CATANACH: There being nothing
19 further in this case, Case 10873 will be taken under
20 advisement.

21
22
23
24
25

CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)

) ss.

COUNTY OF SANTA FE)


I, Deborah O'Bine, Certified Shorthand Reporter and Notary Public, HEREBY CERTIFY that I caused my notes to be transcribed under my personal supervision, and that the foregoing transcript is a true and accurate record of the proceedings of said hearing.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL, December 9, 1993.

Deborah O'Bine

DEBORAH O'BINE
CCR No. 63



I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 7873 heard by me on *December 2, 1993*.

David P. Leland, Examiner
Oil Conservation Division

CUMBRE COURT REPORTING
P.O. Box 9262
Santa Fe, New Mexico 85704-9262
(505) 984-2244 FAX: 984-2092