

NEW MEXICO OIL CONSERVATION COMMISSION

EXAMINER HEARING

SANTA FE, NEW MEXICOHearing Date JULY 7, 1994 Time: 8:15 A.M.

NAME	REPRESENTING	LOCATION
Todd W. Meehlenbreck	Texaco EAP	Midland, TX
Bill HAY	TEXACO EAP	MIDLAND, TX
TODDLACKEY	TEXACO EAP	MOORE, NM
Glenn W. Lanoue	Phillips Petroleum Company	Odesse, TX
Tanya Trujillo	Campbell, Carr, Ringer & Shindler	SF
James Bruce	Hinkle Law Firm	SF
CHARLES GIBSON	BURK ROYALTY	WICAMITA Falls, TX
W. Jellolin	Jellolin & Jellolin	Santa Fe
Ken Schramko	Phillips Petroleum	Odesse

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF NEW MEXICO

ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT

OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING)
 CALLED BY THE OIL CONSERVATION)
 DIVISION FOR THE PURPOSE OF)
 CONSIDERING:) CASE NO. 10,985
)
 APPLICATION OF BURK ROYALTY)
 COMPANY)
 _____)

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

July 7, 1994

Santa Fe, New Mexico

27 1994

This matter came on for hearing before the Oil Conservation Division on Thursday, July 7, 1994, at Morgan Hall, State Land Office Building, 310 Old Santa Fe Trail, Santa Fe, New Mexico, before Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

July 7, 1994
Examiner Hearing
CASE NO. 10,985

PAGE

APPEARANCES

3

APPLICANT'S WITNESSES:

CHARLES GIBSON

Direct Examination by Mr. Bruce

4

Examination by Examiner Catanach

16

REPORTER'S CERTIFICATE

20

* * *

E X H I B I T S

Identified

Admitted

Exhibit 1

7

16

Exhibit 2

7

16

Exhibit 3

8

16

Exhibit 4

9

16

Exhibit 5

15

16

Exhibit 6

15

16

* * *

A P P E A R A N C E S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

FOR THE DIVISION:

RAND L. CARROLL
Attorney at Law
Legal Counsel to the Division
State Land Office Building
Santa Fe, New Mexico 87504

FOR THE APPLICANT:

HINKLE, COX, EATON, COFFIELD & HENSLEY
218 Montezuma
P.O. Box 2068
Santa Fe, New Mexico 87504-2068
By: JAMES G. BRUCE

* * *

1 WHEREUPON, the following proceedings were had at
2 8:19 a.m.:

3 EXAMINER CATANACH: At this time we'll call first
4 case, 10,985.

5 MR. CARROLL: Application of Burk Royalty Company
6 for a waterflood project, Lea County, New Mexico.

7 EXAMINER CATANACH: Are there appearances in this
8 case?

9 MR. BRUCE: Mr. Examiner, Jim Bruce with the
10 Hinkle Law Firm in Santa Fe, representing the Applicant.

11 I have one witness to be sworn.

12 EXAMINER CATANACH: Any additional appearances?

13 Okay, please swear the witness in, Mr. Carroll.

14 CHARLES GIBSON,

15 the witness herein, after having been first duly sworn upon
16 his oath, was examined and testified as follows:

17 DIRECT EXAMINATION

18 BY MR. BRUCE:

19 Q. Will you please state your name and city of
20 residence for the record?

21 A. My name is Charles Gibson. I live in Wichita
22 Falls, Texas.

23 Q. What is your occupation and who are you employed
24 by?

25 A. I am a petroleum engineer for Burk Royalty

1 Company.

2 Q. Have you previously testified before the
3 Division?

4 A. No, I have not, not in New Mexico.

5 Q. Would you please outline your educational and
6 employment background?

7 A. I graduated from the University of Texas in 1979
8 with a bachelor's of science in petroleum engineering.

9 I went to work for Sun Oil Company, worked for
10 them for 11 years in California and Texas in various phases
11 of petroleum engineering, production, reservoir, drilling.

12 I went to work for Burk Royalty in 1990 and have
13 worked for them since, been in all phases of petroleum
14 engineering, again, mostly in reservoir engineering, and in
15 that capacity I've testified in Texas and Oklahoma in front
16 of the Railroad Commission and the Corporation Commission,
17 respectively.

18 Q. And are you familiar with the engineering matters
19 related to this Application?

20 A. I am.

21 MR. BRUCE: Mr. Examiner, I tender Mr. Gibson as
22 an expert petroleum engineer.

23 EXAMINER CATANACH: Mr. Gibson is so qualified.

24 Q. (By Mr. Bruce) Briefly, Mr. Gibson, what does
25 Burk seek in this case?

1 A. Well, we're the operator of the Hanson Federal
2 "C" lease, which covers the southwest quarter of Section
3 23, Township 20 South, Range 34 East in Lea County, and we
4 seek authority to inject produced water into the Yates
5 interval through our Hanson "C" Well Number 4, located 1650
6 feet from the south line and from the west line of Section
7 23, and we believe the injection will increase the
8 production in our offset wells.

9 Q. What's the current status of the "C" 4 well?

10 A. It's currently TA'd. Earlier this year, the BLM,
11 as the well had been inactive for a long time, said to, you
12 know, do something with the well, either make it active or
13 plug it.

14 And at that time there was a packer stuck in the
15 hole, and we milled it up. And when we were successful
16 doing that, we decided to apply for an injection permit for
17 this well.

18 Q. What is the history of the well? What year was
19 it drilled and what happened to it thereafter?

20 A. It was drilled back in 1963 -- or, excuse me,
21 January of 1964. And it did not make a producing well, so
22 it was TA'd at that time for future use as a disposal well.
23 They did use that as a disposal well from 1969 till 1975.

24 Q. And it's been inactive since 1975?

25 A. That's true.

1 Q. Would you please refer to Exhibit 1 and discuss
2 it briefly for the Examiner?

3 A. Exhibit 1 is a map of a portion of Lea County.
4 Highlighted in yellow is the Hanson "C" lease. It shows
5 the four wells on that lease, the 1, the 2, the 3 and the
6 4.

7 The 2 was a dry hole. The 4, as I said, never
8 made a producer, and the production from the lease has been
9 from the Number 1 and the Number 3 wells.

10 The map also shows a line from the A to A' that
11 I'll refer to in a later exhibit.

12 Q. And does the map also show the offset operators?

13 A. It does.

14 Q. What pool do you seek to inject into?

15 A. It's the Lynch Pool.

16 Q. And could you then move on to Exhibit 2 and
17 discuss that, please?

18 A. Exhibit 2 is the same map -- or a map of the same
19 area, but it shows a structure on the top of the Yates
20 sand, and also it shows the Hanson "C" highlighted in
21 yellow. The stippling on the map is Burk's leasehold in
22 the area.

23 Q. And all of the wells on the Hanson "C" lease are
24 at about the same structural depth, are they not?

25 A. They are. The well we seek authority to inject

1 into is 11 feet low to the Number 1 and 13 feet low to the
2 Number 3.

3 Q. Would you then move on to Exhibit 3 and identify
4 that for the Examiner?

5 A. Exhibit 3 is the cross-section that I referred to
6 earlier, from the Hanson "C" down to the -- down through
7 our Neal lease.

8 It shows both the top of the Yates, relatively
9 consistent through all of the wells, and it shows a
10 porosity interval in the lower Yates that is easily
11 correlatable and well developed through the area.

12 Q. Is the Lower Yates the main producing zone?

13 A. It is. There are a couple other porosity
14 intervals in the upper and middle Yates, but clearly the
15 majority of the production has come from the --

16 Q. And that's why you believe you can do well
17 injecting into that zone?

18 A. Yes, we do.

19 Q. Is production from this lease in an advanced
20 state of depletion with respect to primary production?

21 A. It is. The lease has had a cumulative of 169,000
22 barrels, but now it's down to only seven barrels a day.

23 Q. From both producing wells?

24 A. Yes.

25 Q. Total?

1 A. Yes. So an average of 3.5 barrels per day per
2 well. So, you know, this project will increase the
3 recovery and increase the production.

4 Q. What is Exhibit 4?

5 A. Exhibit 4 is the OCD form C-108 and the
6 attachments to that, which is our Application for
7 Authorization to Inject. The -- I'll go through the
8 Application.

9 The second page of the Application is our
10 proposed parameters. Our desired injection rate is 300
11 barrels per day. We think that we might get up to 1500
12 barrels per day eventually.

13 It's a closed system. We think that it won't
14 take over 300 pounds to inject into it. At some point we
15 think that the injection pressure might get up to 1500
16 pounds, but currently we'll only ask for 700 as that's
17 within the .2 p.s.i. per foot that the Division allows.

18 The sources of injection fluid will be produced
19 water.

20 Q. From what zone will the produced water come from?

21 A. It will come from the Yates and also possibly
22 from the Seven Rivers. The injection zone is the Yates
23 sandstone, upper Permian in age. The top of the Yates in
24 the "C" 4 is at 3462, and the well is perforated from 3564
25 to 3585.

1 There are no underground sources of drinking
2 water below the Yates.

3 Above the Yates, the Quaternary alluvium to about
4 80 feet is the only source of ground water in the area,
5 also called the Ogallala.

6 The next two pages are the land owner and the
7 leasehold operators offsetting the Hanson "C" 4 lease.

8 Not all these companies have producing wells
9 directly offsetting the C-4, but they have interest rights
10 in the leases offsetting.

11 The next page is the wells which penetrate the
12 proposed injection zone. Including the "C" Number 4, there
13 are seven wells in the half-mile area of review.

14 The "C" 4, as I stated before, is currently
15 inactive.

16 The "C" 1 and "C" 3, as I said, are both active.

17 The "C" 2 was drilled and abandoned. At the time
18 that this table was prepared, I didn't have all the
19 plugging information on that well and the other two wells
20 that I don't have casing records for. The "C" 2 was
21 drilled in 1963, drilled and abandoned. It had a 50-sack
22 cement plug from 3572 to 3672, 20-sack plugs at 3300 and
23 1750, 35-sack cement plug at 300 feet, which went across
24 the base of the surface casing. It has 8 5/8 cemented at
25 250 feet, and then they put a 10-sack cement plug at the

1 top of the 8 5/8 and a 10.4-pound rotary mud spacers
2 between the cement plugs.

3 The Hanson Federal "D" Number 1 had 5 1/2 at
4 3728. Its record of completion is attached. It was
5 plugged and abandoned.

6 The Hanson Federal "D" Number 2 was drilled
7 October, 1963. It had a 50-sack cement plug at 3667, a 20-
8 sack -- 20-sack plugs at 3320 and 1740. Those intervals
9 are at the base of the salts and at the top of the salt. A
10 35-sack plug at the base of the 8 5/8 casing, and then a
11 10-sack plug in the top. The 8 5/8 was at 220 feet.

12 And then the last well on the list is the D&E
13 Federal Number 1. It was drilled and abandoned in August
14 of 1961. They set 7-inch at 1632, and they had 8 5/8 at
15 1600, but they only -- They didn't use very much cement
16 when they set these strings, and they pulled that pipe from
17 900 and 950 feet, respectively. They had a 35-sack cement
18 plug from 3501 to 3601, an 18-sack cement plug from 3315 to
19 -65, 41-sack plugs from 1600 to 1700 and 950 to 1050, a
20 125-sack plug from 200 to 300 and a 15-sack plug at the
21 surface.

22 Q. Is the mechanical integrity of these wells
23 sufficient to prevent injected water from reaching any
24 freshwater sources?

25 A. Yes, it is.

1 Q. Okay. Please continue with the next part of your
2 C-108.

3 A. After the table or the completion reports for the
4 Hanson "C" 4 showing that it was drilled and cased and
5 cemented, according to all the regulations, and should
6 provide protection from any migration of fluids, the "C"
7 Number 1 shows the same.

8 If the Examiner would like, I can read all of
9 this into the record, or just let the Application show
10 that.

11 Do you want me to go through all the casing on
12 all the wells?

13 EXAMINER CATANACH: No.

14 THE WITNESS: Okay.

15 Q. (By Mr. Bruce) Why don't you move on to your
16 proposed recompletion of the "C" 4?

17 A. Okay. The schematic that shows the 8 5/8 at 258
18 feet. It was cemented to the surface, the 5-1/2-inch
19 casing was set at 3692 and cemented to the surface with 500
20 sacks. So we have, you know, good casing and cement to the
21 surface.

22 Our perforations are from 3564 to -70, 3574 to
23 -76 and 3583 to -85.

24 We'll run a packer on 2 3/8 tubing to
25 approximately 3450 to isolate the casing from the tubing in

1 the injection zone. It shows the plugback is 3656, 70 feet
2 of rathole.

3 We'll have a pressure gauge on both the tubing
4 and the tubing casing annulus to monitor pressures.

5 Q. Will the condition of this well and of the other
6 wells in the area of review allow you to safely conduct
7 waterflood operations?

8 A. We believe it will.

9 Q. The final page is just the advertisement that
10 Burk royalty had done in the local newspaper; is that
11 correct?

12 A. It is, the *Hobbs Daily News Sun*.

13 Q. Now, referring back to Exhibit 1, there are three
14 little red X's on that exhibit, one in the northeast of
15 Section 22, one on your lease and another one in the
16 northeast quarter of Section 26. What do those red marks
17 indicate?

18 A. They represent fresh water wells that were
19 drilled in the area. They were drilled for stock tank
20 purposes. We're not sure if they are active; we're going
21 to inspect that tomorrow. And if they are active, then
22 we'll collect samples and submit that analysis.

23 MR. BRUCE: We'd request permission, if those
24 wells are active, to submit the water analyses after this
25 hearing, Mr. Catanach.

1 EXAMINER CATANACH: Okay.

2 Q. (By Mr. Bruce) Now, the wells in Section 22 and
3 Section 26 are stock-tank wells. What about the well in
4 Section 23? What is it?

5 A. Okay, it was a freshwater well drilled as a
6 ground bed water source for -- that provided protection for
7 Phillips Petroleum's pipeline, and as such it's not in use
8 as a water supply well for anything but just as a source to
9 keep their -- wet.

10 Q. Are there any faults or hydrologic connections
11 between freshwater sources and the objection [*sic*]
12 formation?

13 A. None that we can tell from inspection of the
14 electric logs of the area.

15 Q. Okay. Now, you mentioned the injection water
16 will come, I believe, primarily from the Seven Rivers?

17 A. The Yates does not produce a lot of water in its
18 primary phase of production, and there are other wells in
19 the area where we talked to the operators and we're going
20 to be able to use their water.

21 Q. Is the injection water compatible with the
22 formation water?

23 A. It is. You know, there aren't any serious scale
24 or corrosion problems. We'll treat for scale, but it's not
25 a problem.

1 Q. Okay. And what about the initial -- the project
2 area for this waterflood?

3 A. It will be the south half of the southwest
4 quarter of Section 23 and the northeast of the southwest of
5 23.

6 Q. Now, when you initially filed the form C-108 with
7 the Division, did you also notify the surface owners or
8 lessees and the offset operators or lessees?

9 A. Yes, we did.

10 Q. And is Exhibit 5 your cover letter to the C-108
11 and the certified returns?

12 A. Yes, it is.

13 MR. BRUCE: Also, Mr. Examiner, because this was
14 set for hearing, I went ahead and notified all of the same
15 companies of the exact hearing date, and Exhibit 6 is my
16 affidavit of notice with the notice letter and certified
17 return receipts attached.

18 EXAMINER CATANACH: Okay.

19 Q. (By Mr. Bruce) Mr. Gibson, in your opinion will
20 the granting of this Application be in the interests of
21 conservation, the prevention of waste and the protection of
22 correlative rights?

23 A. Yes, it will. If we don't do this project, then
24 the lease is going to reach its economic limit sometime
25 soon, depending on the price of oil, of course, and this

1 should extend the life of the lease for a number of years.

2 Q. Were Exhibits 1 through 6 prepared by you or
3 under your direction or compiled from company records?

4 A. They were.

5 MR. BRUCE: Mr. Examiner, I move the admission of
6 Exhibits 1 through 6.

7 EXAMINER CATANACH: Exhibits 1 through 6 will be
8 admitted as evidence.

9 EXAMINATION

10 BY EXAMINER CATANACH:

11 Q. Mr. Gibson, I believe you testified that the
12 Number 4 well has previously been used or -- I'm sorry.
13 Which well has been previously used as a disposal well?

14 A. The well that we're applying for the permit
15 today.

16 Q. The Number 4 well?

17 A. Yes. At the time that they did it, they did not
18 have any extraneous water source, and so it's simply a
19 disposal operation. And the records are a little bit
20 unclear as to why they quit using it.

21 Q. Do you have any idea what permit number that well
22 had?

23 A. I don't have that, but we could research it. I
24 can get it for you.

25 Q. Was it injecting into the same perforations that

1 are currently in the well?

2 A. It was.

3 Q. Your plans are to just utilize the two producing
4 wells; you're not going to drill any additional wells on
5 that lease?

6 A. Not at this time. The spacing for the pool is 40
7 acres, and so we only have 120 acres that we'd have to
8 apply for increased density.

9 Q. Do you have any estimates of what you might
10 recover by this operation?

11 A. Well, the primary for the two wells was 169,000,
12 and some offset floods could approach that. So, you know,
13 we probably won't reach one to one, but we should produce
14 in the range of 120,000 to 130,000 barrels.

15 Q. Now you're just producing out of the Yates; is
16 that correct? Seven Rivers is not productive?

17 A. Not in our wells. In the area it is, but not on
18 the Hanson "C" lease. So yes, we're only producing from
19 the Yates sand.

20 Q. You went through some information on the
21 P-and-A'd wells. What I need for you to do is submit
22 schematics after the hearing, submit schematic drawings of
23 all the P-and-A'd wells, showing all the plugging details
24 on those wells.

25 A. Okay.

1 Q. And the freshwater wells, you're going to make a
2 determination if those are producing; is that correct?

3 A. We're going to make a determination to the status
4 of those. And if we can, we're going to get samples.

5 Q. Okay. How are you going to make that
6 determination?

7 A. We're going to go look at the -- inspect them.

8 Q. Do you know how deep those water wells are?

9 A. They are, I believe, 220 feet. They're less than
10 250 feet deep.

11 Q. Is the project area -- Is the interest common in
12 the project area? Is all the interest the same on each of
13 these tracts?

14 A. Interest -- You mean the working interest?

15 Q. Working interest.

16 A. On the Hanson "C" it is, the three wells. The
17 interests are a little bit different on our other leases in
18 the area.

19 Q. But all the "C" wells are the same?

20 A. Yes, they are.

21 Q. And this is all one federal -- one common federal
22 lease?

23 A. It is.

24 EXAMINER CATANACH: I don't have anything else,
25 Mr. Bruce.

1 MR. BRUCE: Nothing else, Mr. Examiner.

2 EXAMINER CATANACH: Okay, there being nothing
3 else, and pending the submission of the additional two or
4 three exhibits, Case Number 10,985 will be taken under
5 advisement.

6 (Thereupon, these proceedings were concluded at
7 8:43 a.m.)

8 * * *

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 10985,
heard by me on July 7, 1994.

David R. Catanach, Examiner
Oil Conservation Division

1 CERTIFICATE OF REPORTER

2
3 STATE OF NEW MEXICO)
4 COUNTY OF SANTA FE) ss.

5
6 I, Steven T. Brenner, Certified Court Reporter
7 and Notary Public, HEREBY CERTIFY that the foregoing
8 transcript of proceedings before the Oil Conservation
9 Division was reported by me; that I transcribed my notes;
10 and that the foregoing is a true and accurate record of the
11 proceedings.

12 I FURTHER CERTIFY that I am not a relative or
13 employee of any of the parties or attorneys involved in
14 this matter and that I have no personal interest in the
15 final disposition of this matter.

16 WITNESS MY HAND AND SEAL July 8, 1994.

17
18 

19 STEVEN T. BRENNER
20 CCR No. 7

21 My commission expires: October 14, 1994
22
23
24
25