

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING)
CALLED BY THE OIL CONSERVATION)
DIVISION FOR THE PURPOSE OF)
CONSIDERING:) CASE NO. 11,014
)
APPLICATION OF PHILLIPS PETROLEUM)
COMPANY)
_____)

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

July 7, 1994

7/7/94

Santa Fe, New Mexico

This matter came on for hearing before the Oil Conservation Division on Thursday, July 7, 1994, at Morgan Hall, State Land Office Building, 310 Old Santa Fe Trail, Santa Fe, New Mexico, before Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

July 7, 1994
Examiner Hearing
CASE NO. 11,014

	PAGE
APPEARANCES	3
APPLICANT'S WITNESSES:	
<u>KEN SCHRAMKO</u>	
Direct Examination by Mr. Kellahin	6
Examination by Examiner Catanach	55
REPORTER'S CERTIFICATE	76

* * *

E X H I B I T S

	Identified	Admitted
Exhibit 1	8	55
Exhibit 2	19	55
Exhibit 3	9	55
Exhibit 4	20	55
Exhibit 5		55
Exhibit 6	25	55
Exhibit 7	25	55
Exhibit 8	26	55
Exhibit 9	29	55
Exhibit 10	29	55
Exhibit 11	29	55
Exhibit 12	31	55
Exhibit 13	34	55
Exhibit 14	39	55
Exhibit 15	43	55
Exhibit 16	43	55
Exhibit 17	48	55
Exhibit 18	55	55

* * *

A P P E A R A N C E S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

FOR THE DIVISION:

RAND L. CARROLL
Attorney at Law
Legal Counsel to the Division
State Land Office Building
Santa Fe, New Mexico 87504

FOR THE APPLICANT:

KELLAHIN & KELLAHIN
117 N. Guadalupe
P.O. Box 2265
Santa Fe, New Mexico 87504-2265
By: W. THOMAS KELLAHIN

FOR BASS ENTERPRISES PRODUCTION COMPANY:

CAMPBELL, CARR, BERGE & SHERIDAN, P.A.
Suite 1 - 110 N. Guadalupe
P.O. Box 2208
Santa Fe, New Mexico 87504-2208
By: TANYA M. TRUJILLO

* * *

1 WHEREUPON, the following proceedings were had at
2 8:43 a.m.:

3 EXAMINER CATANACH: At this time we'll call Case
4 11,014.

5 MR. CARROLL: Application of Phillips Petroleum
6 Company for a nonstandard oil proration unit, an unorthodox
7 oil well location, a high angle/horizontal directional
8 drilling pilot project, special operating rules therefor, a
9 special project oil allowable and production testing
10 period, Eddy County, New Mexico.

11 EXAMINER CATANACH: Does that about cover it, Mr.
12 Kellahin?

13 MR. KELLAHIN: I don't think we missed anything.

14 EXAMINER CATANACH: Okay, appearances in this
15 case? I'm sorry.

16 MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin of
17 the Santa Fe law firm of Kellahin and Kellahin, appearing
18 on behalf of the Applicant, and I have one witness to be
19 sworn.

20 EXAMINER CATANACH: Additional appearances in
21 this case?

22 MS. TRUJILLO: Yes, Mr. Examiner, my name is
23 Tanya Trujillo. I'm an associate with the law firm of
24 Campbell, Carr, Berge and Sheridan.

25 I am entering an appearance on behalf of Bass

1 Enterprises Production Company, and I would like to read a
2 statement at the end here.

3 EXAMINER CATANACH: Okay.

4 MR. KELLAHIN: I have one witness to be sworn,
5 Mr. Examiner.

6 EXAMINER CATANACH: Okay, please swear in the
7 witness, Mr. Carroll.

8 (Thereupon, the witness was sworn.)

9 MR. KELLAHIN: Mr. Examiner, Mr. Schramko, who is
10 a reservoir engineer with Phillips -- he and I were before
11 the Division last fall, requesting a special depth bracket
12 oil allowable for this Delaware pool. It's identified as
13 the Cabin Lake-Delaware Pool.

14 I could not find in the *Byram's Handbook* a
15 reference to this change in depth bracket allowable for the
16 pool, so I want to give you the order that we asked the
17 Division to issue which establishes that on 40-acre oil
18 spacing for this Delaware pool, we have 187 barrels of oil
19 a day.

20 In addition, Mr. Examiner, it will become
21 apparent to you that the location of this well is within
22 the oil-potash area. I'm here to represent to you today
23 that it is our information and belief that the application
24 for a permit to drill this well, which is on a BLM oil and
25 gas lease, has been approved by the BLM, the Carlsbad

1 office, the Roswell office, and will be approved here in
2 Santa Fe when the paperwork is received in Santa Fe. We
3 expect that approval in the next few days.

4 So the exact location of the surface for this
5 well is one dictated by the requirements of the Bureau of
6 Land Management in managing its potash resources, but we
7 believe we've satisfied all those issues.

8 We've notified the potash operators. There are
9 only two operators. We have a waiver from one and no
10 objection from the other, so this is not a potash dispute.

11 In addition, Mr. Schramko will tell you that they
12 propose to case and cement this well pursuant to the rules
13 of R-111-P, so again that is not an issue.

14 With your permission, we'll call Mr. Ken
15 Schramko.

16 EXAMINER CATANACH: Please do.

17 KEN SCHRAMKO,

18 the witness herein, after having been first duly sworn upon
19 his oath, was examined and testified as follows:

20 DIRECT EXAMINATION

21 BY MR. KELLAHIN:

22 Q. Mr. Schramko, for the record would you please
23 state your name and occupation?

24 A. Yes, my name is Ken Schramko. I'm a senior
25 reservoir engineer with Phillips Petroleum in Odessa,

1 Texas.

2 Q. On prior occasions, Mr. Schramko, have you
3 testified before the Oil Conservation Division as an expert
4 witness qualified in the field of petroleum engineering?

5 A. Yes, I have, twice, in October and December of
6 1993.

7 Q. Have you in your capacity as a reservoir engineer
8 made an engineering study with regards to the details
9 concerning this proposed Application by you and your
10 company?

11 A. Yes, I have.

12 Q. One of the components of this request is the
13 utilization of what is referred as rate-time analysis?

14 A. That is correct.

15 Q. Are you recognized within your company as an
16 expert in the engineering aspects of rate-time analysis?

17 A. Yes, I am.

18 Q. How did you obtain that expertise?

19 A. Generally accepted within the industry, Phillips
20 Petroleum had an employee, Mike Fetkovitch, who's regarded
21 as one of the industry experts in rate-time analysis. I
22 was fortunate enough to work for him for four years, and
23 during that time I did most of the rate-time analysis
24 problems that came to Phillips in the corporate office.

25 Q. Have Phillips employees relied upon you, other

1 engineers, to aid them and to analyze the performance of
2 wells using rate-time analysis procedures?

3 A. Yes, that is correct.

4 Q. And is that a component of this particular
5 Application?

6 A. Yes.

7 MR. KELLAHIN: At this time, Mr. Examiner, we
8 tender Mr. Ken Schramko as an expert reservoir engineer
9 with special expertise in rate-time analysis.

10 EXAMINER CATANACH: He is so qualified.

11 Q. (By Mr. Kellahin) Mr. Schramko, let's take what
12 we've marked as Exhibit Number 1. Would you identify that
13 display for us?

14 A. Yes, Exhibit 1 is a land map of the Cabin Lake-
15 Delaware Pool. The pool is located in Townships 21 and 22
16 South, Range 30 East, Eddy County, New Mexico.

17 On this exhibit the yellow-highlighted area
18 represents the Phillips Petroleum-operated acreage, which
19 represents approximately greater than 95 percent of the
20 total production in the field.

21 Also shown on here are the pool boundaries,
22 outlined in red. And if you'll direct your eyes to the
23 southern half of Section 11, you'll see where the proposed
24 well has been schematically shown in drill locations N, O
25 and P.

1 Q. When we look at the display, can you identify for
2 us what wells that currently produce from the Cabin Lake
3 Pool that Phillips does not operate?

4 A. Yes, straight to the east in Section 12, straight
5 east of the horizontal well, is a Bass Enterprises well,
6 James Ranch Unit 48 Number 1.

7 In the southwestern corner of Section 36, Corrine
8 Grace operates the Salomon Number 1.

9 In Section 34, in the top left of the diagram, is
10 the Yates Julia AJL Federal Number 4.

11 Just south of that, in Section 3, Heyco has a
12 well, the Donnell 3 Federal Number 1.

13 Q. Describe for us the significance of the green
14 line that's captioned "Potash Line".

15 A. Okay, that's on Exhibit 3.

16 Q. Then we've mismarked the exhibits, because those
17 that we have passed out has the green line. Okay?

18 A. Okay. Is that what yours has too?

19 MR. KELLAHIN: Yes, sir, I think so.

20 Mr. Examiner, does your display show a potash
21 line?

22 EXAMINER CATANACH: It does.

23 Q. (By Mr. Kellahin) All right, let's deal with
24 that one, Mr. Schramko.

25 A. All right, they're essentially identical

1 exhibits, so it's of no consequence.

2 The green line represents the -- our best
3 approximation of where the potash line sits as it goes
4 across the field.

5 Of pertinence to this well, in the southern
6 half -- or southern portion of Section 11, south of that
7 green line would represent where the measured potash
8 reserves are located.

9 And you'll also notice that there is no orthodox
10 location that can be placed in drill locations N, O and P,
11 so we were obligated to use that northeastern wedge in
12 location P for the surface location of this well.

13 Q. Identify for us the offset operators, the display
14 captions, James Ranch Unit. What is that intended to mean?

15 A. That would be -- That is operated by Bass
16 Enterprises.

17 Q. Are there any other --

18 A. There are no --

19 Q. -- offsetting enterprises to the project area,
20 other than the Bass-operated James Ranch Unit?

21 A. That would be correct. The only existing well
22 that offsets this at the present time is the Bass
23 Enterprises well. There are none to the south.

24 Q. All right, sir, let's use this schematic and talk
25 about the project. What do you propose for the project

1 unit area?

2 A. For the project unit area, we are asking to
3 establish a 120-acre proration unit comprised of locations
4 N, O and P.

5 Q. With regards to the drilling producing window
6 within that nonstandard proration unit, what are you
7 recommending?

8 A. That we honor the 330 setbacks that exist for 40-
9 acre vertical wells. No change there.

10 Q. Depth bracket oil allowable for the pool is what,
11 sir?

12 A. For vertical wells, they're spaced on 40 acres
13 and the allowable is 187 barrels a day.

14 Q. What is your proposal for the depth bracket
15 allowable to be assigned to the nonstandard proration unit
16 for this project well?

17 A. Well, it's consistent with other applications of
18 this type. We're asking that the allowable be 187 barrels
19 a day, times the number of drilling units contacted -- in
20 this case, three -- and that would equate to an allowable
21 of 561 barrels per day.

22 Q. The Application also asks for a special testing
23 period?

24 A. Yes, it does.

25 Q. Summarize that request for us.

1 A. Basically we are asking for a one-year period,
2 starting from the first day of production, that the well be
3 allowed to produce at capacity rates, with several
4 limitations on the daily production withdrawals.

5 The first of those would be -- and basically what
6 we've done is carved that one-year period up into two
7 pieces. In the first part of the test period we're asking
8 to be able to produce the well at three times the project
9 allowable, to 1683 barrels a day. And I'll be showing
10 later that that's consistent with what we think the
11 expectations of this well are.

12 In the second half of this test we would ask that
13 we be allowed to produce the well at one and a half times
14 the project allowable, or 842 barrels a day.

15 There's another component to the test period, and
16 that is that, of course, if that is granted we would accrue
17 overproduction while doing that, and as a result of that
18 overproduction we would make up all of that overproduction
19 during the second year, such that at the end of 24 months
20 there would be no overproduction on this property.

21 Q. Are you asking for an increased allowable above
22 the project allowable of 561 barrels of oil a day?

23 A. No, just for permission to temporarily
24 overproduce the well.

25 Q. And you're not asking that that overproduction be

1 canceled but, in fact, establishing a procedure by which
2 you would make up the overproduction?

3 A. That is correct.

4 Q. Before we discuss the purposes of the test,
5 describe for us how we would make up that overproduction.

6 A. Okay, at the end of the first year, or as the end
7 of the first year is approaching, we would accumulate the
8 total overproduction and contact the district office and
9 set up a plan so that the overproduction would be made up
10 during the second year, again so that at the end of the
11 second year it would be zero.

12 Q. Have you already talked to Mr. Sexton, the area
13 district supervisor for this project, and advised him of
14 your proposal?

15 A. Yes, I did. When we were attempting to describe
16 this special test period, we felt it was wise to speak with
17 him because there is the administrative problem as to how
18 to handle this, and he felt this was a wise way to proceed.

19 Q. Can you approximate for us the volume of oil that
20 would be overproduced in the first year if the test period
21 is granted?

22 A. Yes, it would be approximately 147,000 barrels of
23 oil.

24 Q. Have you studied this reservoir to determine
25 whether or not there is sufficient size and shape to the

1 reservoir to determine the magnitude that 147,000 barrels
2 of oil would represent in relation to the total recoverable
3 oil in this area?

4 A. Yes. On average, each of the 40-acre tracts has
5 approximately 1 million barrels of oil in place, so in the
6 project area we would have 3 million barrels of oil.

7 So 150,000 of overproduction would represent 5
8 percent of the total oil in place, which we would consider
9 to be a relatively small amount of oil.

10 Q. Do you have an opinion as to whether the granting
11 of this special test period would allow this well to
12 recover oil from offsetting tracts, either drilled or not
13 drilled?

14 A. I've looked at that, and I would conclude there
15 will be no drainage of offset, basically because we're
16 going to make up the overproduction.

17 Q. Do you see any opportunity that the approval of
18 the test period would violate correlative rights?

19 A. No, for the same reasons.

20 Q. Let's talk about the test. What is the purpose,
21 then, of having the opportunity to overproduce the
22 allowable in the manner you propose for that first year?

23 A. The objective is so that we can perform rate-time
24 analysis.

25 Q. Describe for us what that means.

1 A. Okay. Rate-time analysis is basically the
2 procedure whereby we can plot the production data as it
3 declines over time, do some rigorous type curve matching,
4 if you will, and thereby obtain the permeability and skin
5 of the well.

6 Q. Do you as a reservoir engineer have any other
7 ways to obtain this kind of information in evaluating the
8 performance of a well?

9 A. Yes, another standard tool would be the drawdown-
10 buildup test.

11 Q. Why have you chosen to recommend the rate-time
12 analysis?

13 A. Well, basically I'll begin by saying we have no
14 intentions of running a drawdown-buildup test, whether or
15 not the test period is granted.

16 There is the problem you have, basically because
17 this well will be on artificial lift; it will be equipped
18 with a downhole submersible pump. And running the downhole
19 gauges in a well such as that, first it's very difficult to
20 get meaningful data because of this downhole equipment.
21 It's difficult to get the gauges in there and run the test,
22 is what I'm trying to say.

23 Secondly, there's the element of jeopardizing a
24 well anytime you would run slickline tools in there.

25 But basically, because of the difficulty of

1 simply obtaining data, we are not going to be running a
2 drawdown-buildup test.

3 Q. When you have the data that gives you a method to
4 determine permeability and skin effect, how is that
5 relevant to the decisions the Examiner needs to make with
6 regards to vertical versus horizontal wells?

7 A. Well, basically the horizontal wells are so
8 unique because, in many practices, if we're unsure what the
9 damage might be in a vertical well, we'll acidize it.

10 In the case of a horizontal well, that's not well
11 advised. You really need to know, before you go in there
12 and acidize, whether or not you need to, basically because
13 you're going to be pushing coiled tubing out into the
14 wellbore, across the horizontal length some 2000 feet to
15 acid-wash this.

16 And first, you jeopardize the well, just by that
17 operation. The coiled tubing can twist off and you
18 jeopardize it. So you just don't want to be entering wells
19 without knowledge as to whether you need the stimulation
20 or not.

21 Q. Give us a summary of why you're proposing to
22 apply this horizontal technology in this particular
23 reservoir.

24 A. Well, we're very fortunate that the cherry Canyon
25 zone that we are targeting is probably in the upper -- I

1 shouldn't say "probably". It is in the upper two percent
2 of what you're going to find in the Delaware.

3 These zones, as I'll be showing you here in a
4 moment by talking about a typical vertical well, they're
5 making 200,000 and 300,000 barrels from a typical -- from
6 just a 40-foot interval. That's very unique in the
7 Delaware.

8 And, you know, any horizontal well is going to
9 cost upwards of a \$1.5 million to drill, and it's going to
10 take those kinds of reserves to justify a horizontal well.

11 So we're fortunate that horizontal technology may
12 make sense, and we expect to recover about 600,000 barrels.
13 You're not going to find that everywhere in the Delaware.

14 Q. Why have you chosen these three spacing units as
15 your project area?

16 A. Basically it's the remaining undrilled acreage
17 that we have where we can establish reserves.

18 Q. Let's talk about, in a summary fashion, how you
19 got to your expectation of the upper range for the test
20 period of 1600 barrels of oil a day.

21 A. You're referring to the reservoir models?

22 Q. Yes, sir.

23 A. Okay. Well, basically that's it. We ran -- Or I
24 ran three reservoir models, single-cell tank models, to
25 give us some expectations of what the well might do.

1 Q. And so when we talk about approximately 1600
2 barrels of oil a day as the initial starting point for the
3 test period, it's based upon your reservoir simulation,
4 using some modeling?

5 A. That is correct.

6 Q. All right. During the test period, if we produce
7 the well up to 1600 barrels of oil a day, do you see any
8 opportunity that that rate of withdrawal would cause any
9 reservoir damage?

10 A. No.

11 Q. Why not?

12 A. Basically I'll be showing that the damage in
13 wells, vertical or horizontal, is generally related to
14 fluid velocity, that being coning, fines migration.

15 And what I'll be showing you later is that the
16 fluid velocity, even at the rates we're talking about, is
17 far less in a horizontal well than in a vertical well,
18 which would produce at a consequently lower rate. But even
19 so, the fluid velocity is far less in a horizontal well.

20 Q. Have you examined whether or not the granting of
21 this Application would put Bass at a disadvantage in the
22 reservoir?

23 A. Yes, I've considered it, and I don't believe it
24 will.

25 Q. Okay. Let's turn now to Exhibit Number 2. Would

1 you identify that display for us?

2 A. Yes, Exhibit Number 2 is simply a blow-up of the
3 southern portion of Section 11, where you can see drill
4 locations N, O and P, and in red is shown the path of the
5 horizontal well.

6 Starting at point A, which is 10 feet from the
7 east line and 1060 feet from the south line -- Now, that is
8 the surface location of the well.

9 The segment from A to point B represents the
10 curved portion of the well, and B represents where the well
11 would go horizontally and the first point at which we would
12 encounter the pay. That's in an orthodox location, located
13 636 from the east line and 909 feet from the south line.

14 Then we would proceed to drill horizontally some
15 2166 feet to point C. We estimate the bottomhole location
16 to be 400 feet from the south line, 2740 from the east
17 line. Whether or not we actually hit that point would
18 remain to be seen, but we would certainly honor the 330
19 setbacks and never cross those boundaries.

20 Q. You're asking for approval to have the
21 operational flexibility to take this producing portion of
22 the lateral and drill it anywhere within that window,
23 provided you honor the 330 setback?

24 A. That is correct.

25 Q. Okay. Give us a basis for why it's initially

1 planned to drill in a -- approximately a southwest
2 direction.

3 A. Well, if you work through the problem as we did,
4 you really didn't come up with many choices.

5 The first objective is to try to keep the well
6 trajectory straight. So, starting at point A, we wanted a
7 straight line from A to point C, wherever that would be,
8 just to simplify the drilling procedure.

9 As you can see by looking at point B, B couldn't
10 be very far north and stay within the drilling producing
11 window, which forced putting B at a point at which you
12 honor that, which forced C to be near the southern portion
13 of location N.

14 So really there was no opportunity to really move
15 the well. If C had come in near the top northern portion
16 of Tract N, then B would have probably been outside the
17 joint producing window.

18 Q. Let's turn now to Exhibit Number 4 and have you
19 identify and describe the well plan.

20 A. Okay, this exhibit is simply a sketch of the
21 wellbore trajectory. Everything shown on here is in
22 compliance with Rule R-111-P.

23 Basically, we would drill the well to 475 feet
24 and set 13 3/8, then drill vertically to 3700 feet, set
25 9 5/8, cement it to surface.

1 We would then drill vertically to the kickoff
2 point at 5124, at which point we would rig up the
3 directional equipment and drill the curved portion.

4 When we reach a horizontal position at a true
5 vertical depth of 5768, we would set 7-inch casing. And
6 from there we would drill a 6-1/8-inch hole, horizontally,
7 some 2166 feet and set a 4-1/2-inch slotted liner, install
8 the submersible pump and put the well on production.

9 Q. Let's turn to the reservoir itself. Did you
10 bring us a type log in this area that we might have you
11 describe the reservoir?

12 A. Yes, it's a 2-inch neutron density log of the
13 James E 8. If you refer back to one of your other exhibits
14 you'll see the James E 8 is the nearest offset well. So it
15 is the well we're using to target where we would expect the
16 top of the formation to come in.

17 And on this log, if you flip through and proceed
18 downward through the log, I've marked on there each of the
19 key points of significance, starting at 3700 feet, I'm
20 showing where the 9 3/8 casing would be set. Just below
21 there shows where the Delaware formation comes in, which is
22 also the top of the Bell Canyon member at 3740.

23 Flipping a little further, I've shown the Cherry
24 Canyon top at 4510. A little bit further, the kickoff
25 point at 5124.

1 Flipping down a little further yet, at 5768 feet
2 TVD, that is the location of where the seven-inch casing
3 would be set and also the targeted zone within the Cherry
4 Canyon. Just below that is the Brushy Canyon top at 5904,
5 and at the very bottom of the log is the bottom of the
6 Delaware, top of the Bone Spring at 7425.

7 Q. This Examiner has seen a number of presentations
8 for the application of horizontal technology in other types
9 of reservoirs. We're most often here with a fractured
10 reservoir where the operator seeks to encounter multiple
11 fractures or he's got a low permeability reservoir of
12 narrow height and he's trying to improve the performance of
13 the well through the application of that technology.

14 Is this like that, or is this something else?

15 A. Well, this is certainly not naturally fractured.
16 The nearest standard similarity when you talk about
17 horizontal wells -- But this would be a relatively thin pay
18 zone of good permeability.

19 Q. Does this represent, to the best of your
20 knowledge, a unique application, if you will, of this
21 technology to a Delaware pool?

22 A. Yes, very unique in that the reserves are
23 adequate to justify the drilling horizontally to pay out
24 the investment.

25 I might add, to that end, traditionally in the

1 Delaware you're going to drill vertically and encounter
2 three zones, maybe four, of approximately 30,000, 40,000,
3 maybe 50,000 barrels each, in each of those zones. So you
4 have to drill it vertically to encounter that and to get
5 the total reserves required to justify the well.

6 Q. And in that type of Delaware reservoir, if you
7 have a horizontal well then you're going to miss two of the
8 three of the pools -- or portions?

9 A. Yeah, you -- That's correct, you'd miss two or
10 three of those, you'd drill vert- -- or drill then
11 horizontally through the best one of those, presumably,
12 say, it's a 50,000-barrel zone. And that horizontal well
13 would recover, rule of thumb, three times that, give or
14 take, 150,000. So you haven't gained anything. You've
15 left as many reserves behind as you have gained
16 horizontally.

17 Q. If this pilot project is successful in the Cabin
18 Lake-Delaware, do you see its potential application to
19 other Delaware pools?

20 A. Not very many. As I stated, you're going to have
21 to find a zone of significant reserves, and there just
22 aren't many out there.

23 Q. Because of its unique nature and its position at
24 this reservoir, does it allow you to access spacing units
25 that you could not access with vertical wells because of

1 the potash constraints of the BLM?

2 A. That is correct, that would be specifically
3 locations N and O.

4 Q. We feel no other way to access those spacing
5 units in the absence of a horizontal well?

6 A. Well, I shouldn't say no way. In fact, we
7 could -- if we look at any one of the exhibits that is a
8 land map, we could -- specifically your Exhibit 1, that
9 shows the location of that potash line --

10 Q. Yes, sir.

11 A. -- we could in fact locate a drill location near
12 Well 6 in Section 11 and then drill a deviated well -- it
13 would be deviated some 1300 feet -- and drill, then,
14 vertically through location O.

15 Q. All right, you're talking about a directionally
16 drilled well, if you will, as opposed to a horizontal well?

17 A. That's correct, but you'd be deviating so far
18 that you're in effect drilling a horizontal well, in a
19 manner of speaking.

20 Costwise, it would certainly be far more than
21 what we're proposing. And in fact, I should add, it would
22 probably be uneconomic.

23 Q. Okay. Let's turn to the mapping, the geologic
24 mapping of the reservoir. If you'll identify and describe
25 Exhibit Number 6.

1 A. Okay, the next two exhibits are geologic maps,
2 just intended to show the reserves and why we believe the
3 reserves are still there.

4 The first of those, Exhibit 6, is the structure
5 map of the Cherry Canyon member. Basically it's a simple
6 anticline with the top of the structure at approximately
7 minus 2450 feet, and the vast majority of the field runs
8 through the fairway in a north-south direction along the
9 crest of that anticline, and you can see structural decline
10 both to the west and to the east.

11 Of significance, I suppose, is that the
12 horizontal well -- which is also shown on this exhibit,
13 just south of the James E 8 -- is on that structural top.
14 So we would anticipate to have the same amount of pay as in
15 the other wells just north of it.

16 Q. All right, sir. Let's turn to the isopach,
17 Exhibit 7.

18 A. Okay. It basically confirms much of the same
19 thing.

20 The majority of the field -- The majority of the
21 good wells, anyway, which are those just north of the
22 proposed location, have between 100 and 125 feet of gross
23 sand. And as you can see, the proposed well would
24 encounter similar amounts of gross sand. So we're quite
25 confident the reserves are there.

1 Q. Perhaps we need to save Exhibit 1 as a locator
2 map to help us identify some of these well names and
3 numbers. If you'll set that aside for a moment, let's now
4 turn to this production plot, which is identified as
5 Exhibit 8.

6 Before you describe it, let's find the well that
7 corresponds to Exhibit 8.

8 A. Okay, the James E 8 is located in Section 11,
9 just north of drill location P.

10 Q. All right. Let's see, this is the James E 11, is
11 it not?

12 A. Oh, excuse me, excuse me. This is the -- Excuse
13 me, this is the James E 11, which is located in Section 12,
14 in the far northwest quarter of Section 12.

15 Q. All right. And it's Exhibit 8 as to the James E
16 11?

17 All right, sir. What information is plotted on
18 the display for that well?

19 A. Okay, the purpose of this exhibit is simply to
20 show what this typical behavior is of a vertical well
21 drilled into this Cherry Canyon member.

22 And what we're showing in black is the production
23 rate in barrels a day. And the black X's are our forecast
24 of production, starting in 1994 and proceeding through
25 1999.

1 The red line is the cumulative oil to date, there
2 in the beginning of 19- -- of this year.

3 And the red X's are the forecasted cum oil versus
4 time as a result of the forecast.

5 And the basic point of this exhibit is that we
6 would ultimately expect to recover about 200,000 barrels
7 from this well -- and this speaks for the vast majority of
8 the wells -- in this zone, in this Cherry Canyon member.

9 Q. As part of your preparation here, as well as in
10 the past case you did for the depth bracket allowable,
11 you've examined the production of all these wells?

12 A. That's correct, and I selected this well simply
13 because the production plot was easiest to see the trend.

14 Q. Does this represent a typical signature of the
15 production trends for a Cabin Lake-Delaware oil pool?

16 A. Yes, it does.

17 Q. The estimation, then, is on average that these
18 wells will ultimately accumulate 200,000 barrels of
19 produced oil?

20 A. That's correct.

21 Q. What kind of rates do we see when a typical
22 vertical well comes on line? What kind of initial rates do
23 you see?

24 A. They will sometimes be as high as 300 barrels a
25 day, quite often 200, but somewhere in the 200 to 300

1 range.

2 But then of course we have the allowable bracket
3 of 187, so I'm only talking about an initial test rate.

4 Q. As we stand now, can you approximate for us how
5 many producing wells are still producing in the pool?

6 A. It would be approximately -- In this specific
7 interval or -- ?

8 Q. Yes, sir.

9 A. About 25.

10 Q. Of those wells, how many are capable of producing
11 the current depth bracket allowable of 187 barrels a day?

12 A. There are seven. And I might add, really, when
13 you get into the northern part of this field, this zone
14 takes on a different geologic character; it's of lower-
15 quality reservoir.

16 So basically when we talk about the 200,000-
17 barrel wells, we are confined to the southern portion of
18 our acreage.

19 Q. Let me address now the topic of how you got to
20 the conclusion about the 1600-barrels-of-oil-a-day rate so
21 that you could plan your test.

22 That effort was initially done based upon some
23 reservoir modeling?

24 A. That's correct. I had three reservoir models
25 that I could use to -- as I say, to get the expectations of

1 the horizontal well.

2 One of them is an out-of-house model; I'll call
3 it the DEA-44 model. It was an industry concerted effort.
4 Some 33 companies went together and contracted Maurer
5 Engineering to create this model. It was, oh, I don't
6 know, a \$5-million project or so.

7 The other two are Phillips in-house models.

8 Q. Let's turn now to Exhibit 9 and look at the input
9 parameters that you put into the DEA-44 model.

10 A. Okay, I won't spend much time on this. It's
11 mainly provided in the event there are questions about the
12 specifics of that model. This would show the input
13 parameters that went into that DEA-44 model.

14 Q. Let's turn now and have you identify for the
15 record Exhibit Number 10. What does this represent?

16 A. Exhibit 10 is also just background information,
17 if there are questions regarding a model.

18 This includes five pages from the DEA-44 manual,
19 and it basically provides background and some of the
20 assumptions that are in the model.

21 Again, I'll only use this exhibit if there are
22 questions regarding those assumptions.

23 Q. All right. Let's turn now to Exhibit 11 and have
24 you identify for us the production forecast that you
25 generated after running all three models.

1 A. Okay, the basic reason I ran three was, as I say,
2 they all have slightly different assumptions, and I wanted
3 to investigate the consistency.

4 So what we're seeing here are the forecasts from
5 the results of each of these three models, the first being
6 the DEA-44 model.

7 The second one is our in-house horizontal model.

8 And the third one is a vertical model. Within
9 Phillips we have shown that a horizontal well can be
10 treated as a vertical well, if you will, with a very large
11 frac job. So we can equate the horizontal well to a frac
12 length and compute the forecast with a vertical model, and
13 I've done that as well.

14 So we have three forecasts, and at the bottom of
15 this exhibit you can see the ultimate recovery from each,
16 and it -- very consistent results, ranging from 628,000 to
17 661,000 barrels of oil.

18 Q. The vertical model has been adjusted so that it
19 can function to give you a forecast of what that
20 application would be for a horizontal well?

21 A. That's what it's doing. It's in effect treating
22 this well as a reservoir with -- for simplicity, I'll say
23 with a 2166-foot frac length, which we have shown to be
24 equivalent to a horizontal well. It was just another way
25 of looking at the problem.

1 Q. All right. The conclusions, then, from looking
2 at the results of the model are what, sir?

3 A. Basically we were getting consistent results and
4 that we have some basis for showing the expectations of
5 this well.

6 Q. The Division practice is to take the depth
7 bracket allowable for the spacing, times the number of
8 spacing units cut with the horizontal well, in this case
9 three, and that would get you the 561 allowable number.

10 How does that number compare to what the model
11 predicts for the performance of this horizontal well?

12 A. Well, if you look at -- still on this Exhibit
13 Number 11 -- the first year -- and of course that's the
14 average annual rate. It will in fact come on at each of
15 these models' predicted rates of between 1500 and 1800
16 barrels a day in the first month, declining to
17 approximately, oh, 500 to 600 barrels a day in the 12th
18 month, averaging out to these 971-barrel-a-day rates.

19 And as you can see, that's what -- a good 50
20 percent higher than what the allowable is.

21 Q. All right, let's turn now to Exhibit 12 and look
22 at your production forecast comparisons of a horizontal
23 versus the vertical well versus the three vertical wells.

24 A. The only purpose of this exhibit is, there is a
25 rule of thumb in the industry that suggests that a

1 horizontal well will recover on the order of two and a half
2 to three times a vertical well, and this exhibit is to show
3 that that is consistent with this project.

4 The first column is the same forecast you saw on
5 the previous exhibit for the DEA-44 results.

6 The next column is a vertical well, and this
7 forecast came out of each of these models -- well, the
8 DEA-44 model.

9 And what you can do within these models is --
10 which is actually the first step -- is to model a vertical
11 well. So you model a vertical well and make sure you're on
12 board there. And as you can see, it will ultimately
13 recover 206,000 barrels.

14 That is consistent with what I stated a moment
15 ago on the James E 11. So we knew we had a vertical well
16 pegged. We then switch the gears and run the horizontal
17 case, and that's the 628 in the second column of data
18 there.

19 And then the final column on this exhibit is
20 nothing more than three times the vertical well, and it's
21 to show that three times the vertical well is 619,000
22 barrels, and that's similar. So the rule of thumb holds.

23 Q. Let's move into the analysis and the process of
24 what we've characterized as the rate-time analysis. Let's
25 start with the -- addressing the reservoir flow velocity.

1 A. Okay.

2 Q. That is one of the activities that you engage in
3 as a reservoir engineer.

4 Give us the formula and the process, and then
5 we'll go to the specifics.

6 A. Well, basically, to address damage, I'm going to
7 use fluid velocity because all of the -- I'll say the key
8 elements in reservoir damage are a function of fluid
9 velocity. And again, those are gas coning, water coning,
10 fine migration.

11 If you can demonstrate that your fluid velocity
12 in a well is significantly higher than in other wells, you
13 would have a component to concerned with damage. If you
14 can show it's far less than the velocity in other wells,
15 you would be demonstrating that your damage component is
16 negligible.

17 Q. Why is it important for you as a reservoir
18 engineer to be able to quantify whether you're seeing
19 reservoir damage or something else?

20 A. Are you referring to the fact that we would have
21 to stimulate the well? Is that --

22 Q. The concept of fluid velocity helps you
23 understand whether or not you have reservoir damage
24 occurring?

25 A. That's correct.

1 Q. All right. How does that help you decide whether
2 you're drilling a vertical or horizontal well? Does that
3 make any difference?

4 A. Well, basically, of course, you're concerned with
5 that initial rate. One of the first questions you have to
6 ask in any well is, how high of a rate is too high?

7 So if I can show that producing this well at 1600
8 barrels a day does not concern me from a fluid velocity
9 standpoint, then I'm not concerned about damage.

10 Q. So whether it's a horizontal or a vertical well,
11 you as a reservoir engineer want to know if you're causing
12 or creating reservoir damage because you're producing the
13 well too fast?

14 A. That's correct.

15 Q. All right, and this is a method by which you can
16 analyze and determine if you're causing reservoir damage?

17 A. That is correct.

18 Q. All right. Describe for us, then, the
19 calculation by which you apply these specifics in order to
20 reach an engineering conclusion.

21 A. Really, this exhibit is quite simplistic. It
22 begins with a derivation that says velocity is equal to the
23 flow rate divided by the cross-sectional area. That's a
24 simple physical equation.

25 The second gridded block down there, I've simply

1 taken the velocity and converted it to a ratio. So I'm
2 defining velocity ratio as the velocity of a vertical well
3 divided by the velocity of a horizontal well, and then
4 substituting in the flow rate and cross-sectional area for
5 each of those and establishing an equation.

6 In the next --

7 Q. Is this an accepted engineering equation for
8 solving for this problem?

9 A. Yes, it is.

10 Q. All right.

11 A. In the next gridded block down there, I'm showing
12 that the area of a horizontal well is equal to its
13 circumference times its length and that the area of a
14 vertical well is equal to its circumference, and that would
15 be wellbore circumference times its pay thickness.

16 If you take the ratio of those two, the
17 circumference falls out of the equation, so that ratio of
18 area of the horizontal to the vertical is equivalent to the
19 length divided by the pay.

20 So this equation boils down to needing four
21 parameters, and those are shown in the next block, that
22 being the flow rate from a vertical well, 300 barrels a
23 day, flow rate in a horizontal well, 1600 barrels a day,
24 pay thickness, 60 feet, length 2166 feet for the horizontal
25 well.

1 If you plug those numbers into the equation, you
2 get a velocity ratio of 6.8. And what that's saying is
3 that in the Cabin Lake Pool, if we have a horizontal well
4 producing at 1600 barrels a day and the equivalent vertical
5 well at 300 barrels a day, there would be seven times --
6 approximately seven times higher fluid velocity in the
7 vertical well.

8 Said another way, I could produce this horizontal
9 well at 7 times the 1600 barrels a day, or approximately
10 10,000 barrels a day, and I would have the same fluid
11 velocity as the vertical well.

12 Q. All right. The fluid velocity in the vertical
13 well, then, becomes the benchmark?

14 A. That would be correct.

15 Q. All right. And you have found by engineering
16 calculations that you could produce the horizontal well
17 almost seven times faster than the vertical well, before
18 you reach the same effects in the reservoir as the vertical
19 well?

20 A. Well, one correction. It's actually -- I could
21 produce it at 7 times 1600 barrels a day --

22 Q. Okay.

23 A. -- which would be, in effect, 35 times harder
24 than a vertical well, approximately.

25 Q. So the fluid velocity relates directly to

1 potential reservoir damage, and you have quantified that
2 with a number?

3 A. That's correct.

4 Q. Give us some examples of why you as a reservoir
5 engineer are concerned with reservoir damage. What do you
6 mean by reservoir damage?

7 A. Well, I'm not sure I understand that question.

8 Q. Yes, sir. You're concerned about fluid velocity?

9 A. Correct.

10 Q. You want to control the rate at which you produce
11 the horizontal well?

12 A. Right.

13 Q. What are you trying to avoid?

14 A. Damaging the well, just as a result of perhaps
15 pulling in fluids, water --

16 Q. Okay.

17 A. -- fine migration. Damaging the well
18 artificially because you're producing it at a high rate.

19 Q. And those three things are the typical examples
20 that you as a reservoir engineer fear, the fines migration,
21 the reservoir migration and -- or gas coning, water coning?

22 A. Right. They aren't all applicable here, but
23 those are the general mechanisms at work.

24 Q. Okay.

25 A. If I might also add, in regards to this velocity,

1 you know, having this computation is nice, but there really
2 are practical examples. In terms of gas coning, we're
3 using horizontal wells all the time to solve that problem.

4 Q. Do you have an example that you can relate to us?

5 A. Well, yeah, Phillips -- Well, as I say, many
6 wells are doing this. Phillips is drilling two. We're
7 drilling the second well in Oklahoma right now to solve
8 this very problem.

9 The vertical wells go in there, and their fluid
10 velocity is such that they pull in water and water out
11 prematurely. They come in and drill the horizontal well,
12 the fluid velocity is far less. And in fact, they're going
13 to recover 10, 20 times what the vertical would, because
14 it's solving the problem of water coning by reducing fluid
15 velocity.

16 Q. Have you satisfied, yourself, then, if we're
17 allowed to produce the well at a test rate up to
18 approximately 1600 barrels of oil a day, that that is not
19 going to result in reservoir damage?

20 A. That is correct.

21 Q. You're not asking for any special allowable, but
22 you are asking to overproduce that allowable for the test
23 period?

24 A. That is correct. In the --

25 Q. Let's talk about that. What, then, is the

1 purpose of the test?

2 A. Well, again, the purpose is so that we can
3 collect the data that we need to conduct rate-time
4 analysis.

5 One step further so that I can get the
6 permeability in skin, to evaluate the well, to determine if
7 it needs a stimulation. And by evaluating this well, I'll
8 then be in a position to evaluate the technology in this
9 field and in other applications.

10 Q. Is there any better way to get this information
11 than conducting a rate-time analysis?

12 A. No. The only other option is, as I stated, the
13 drawdown-buildup test, and we have no intentions of running
14 one because of the difficulty of running such a test in a
15 well on artificial lift, not to mention it's a horizontal
16 well on artificial lift.

17 Q. Let's turn now to Exhibit Number 14. Would you
18 identify and describe that type curve?

19 A. Yes, this is the type curve that I would be using
20 if we're able to -- if the test period is granted.

21 What it shows -- It's busy. It shows a family of
22 type curves, and they would apply to any number of well
23 configurations of length and pay thickness, wellbore size.

24 I've highlighted on each of our exhibits one line
25 in yellow. I've done some preliminary calculations based

1 on our length, pay thickness and whatnot.

2 So for this well, the very curve that I would be
3 using to do the rate-time analysis is shown on your exhibit
4 outlined in yellow.

5 Q. What do we do with it?

6 A. Okay, if the test period is granted, we'll then
7 be in a position to collect the production data, and I
8 would begin by simply plotting the data on log log paper.

9 With each passing month I would have a new data
10 point, and over some span of time you would begin to see
11 the trend.

12 If the trend is a very shallow decline, then you
13 would be matching this yellow-highlighted curve somewhere
14 up near the top, upper portion of it. If it has a very
15 steep decline, you would be matching it somewhere near the
16 bottom of the curve.

17 The whole point of obtaining a match is that once
18 you've got a match, you can then -- It's very simple. You
19 pick off a match point, and there are two equations shown
20 in the upper right-hand corner of this exhibit -- t_D equals
21 some stuff and q_D equals some stuff.

22 With the match point I would be able to plug in
23 the match point, calculate the perm and skin. And that
24 really is a summary of how you perform rate-time analysis.

25 Q. If you were in a reservoir that had flowing oil

1 wells, then you might have the opportunity to run drawdown
2 or buildup tests and run an analysis to see if there's --
3 what the results of that analysis would show?

4 A. That is correct. Flowing oil wells -- Flowing
5 any kind of wells are good for drawdown-buildup tests.

6 Artificial lift, we just rarely run the test
7 because it's very difficult to get the gauges in there.

8 And I might add, when you try to get the gauges
9 in there, then you're faced with the problem of getting the
10 well started, and it usually screws up the first part of
11 your data, and that's the most crucial part.

12 So you kind of know, even if you can get the
13 gauges in there and conduct the test, the early time data
14 is going to be messed up and you're going to have trouble
15 analyzing it.

16 Q. The difficulty in this pool is that we have every
17 expectation and belief that you're going to have to pump
18 this well to produce it?

19 A. Yeah, we know we're going to have to put it on
20 artificial lift. We don't have any wells out there capable
21 of flowing.

22 Q. Okay.

23 A. They're all on -- Well, they're vertical wells,
24 they're on pump jacks. We expect this to be higher rate,
25 so we'll put it on submersible.

1 Q. As a reservoir engineer looking to gather data to
2 determine the performance of the well in this reservoir,
3 how critical is it to you to have this test run at the
4 initial producing point of the well?

5 A. It's absolutely vital. If you don't run the test
6 from day one, you really can't conduct the test. As you
7 move further out into the future and then you open a well
8 up to a high rate, any benefit of seeing very different
9 behavior is masked.

10 So if you can do it from day one, you're in good
11 shape. If you do it later on down the road, it's going to
12 be tough.

13 Q. Can you think of any other way to do it than to
14 have the flexibility to produce this well at capacity
15 initially within this first-year period, and if you obtain
16 overproduction then to make that production up in the
17 second year?

18 A. No, this is the only way.

19 Q. Have you some illustrations to show what you're
20 trying to solve for?

21 A. Yes, the next two exhibits are an attempt to show
22 you the impact of what we just talked about, starting from
23 day one, or in fact coming back at a later date and opening
24 the well up.

25 Q. Let's look at them both together. Let's start

1 with 15. Identify that for us, and then identify 16, and
2 then let's go back and talk about them.

3 A. Okay. What I did here is, I went into the
4 reservoir model that I used to forecast the expectations of
5 the well, and in this case I made an assumption that the
6 well does not quite perform as we expected.

7 And what I'm showing here is -- In each case it's
8 the same forecast, but in each case I tweaked one of the
9 parameters. And then the parameters were selected because
10 this is the crucial information to me.

11 The red line shows all of the same input data,
12 except that I reduced the permeability slightly in the
13 model, and if I allow that well to produce wide open, I get
14 the character shown by the red line. The well would IP
15 at -- oh, something, about 1270 barrels a day, and
16 declining to about 200 barrels a day at the end of year
17 two.

18 In the blue curve, I go back to the base case.
19 And all I did here is, I kept the permeability the same but
20 I imparted some damage on the reservoir. So I damaged it a
21 bit. And it IP's at 900 barrels a day, and at the end of
22 the second year it's down to about 250 barrels a day.

23 The point here is that this is the kind of
24 location I could see on location or see from the actual
25 production data.

1 As you can see, there's a very distinguishable
2 difference between those two curves, and I would be in a
3 perfect position to answer the question, is this well
4 damaged or not? If it's damaged it will behave like that
5 blue curve; if it's undamaged it will behave like that red
6 curve with a much steeper decline.

7 If I can now go to the next exhibit, I'll show
8 you what happens if -- This would be the case for the same
9 two wells, but in the case that the test period is not
10 granted, and so we are obligated to produce the well at the
11 allowable rate of 561 barrels a day for as long as it can
12 do that.

13 Again, you're seeing two curves, a blue one and a
14 red one, the same data, except where they overlay on this
15 curve the data is actually black because of the color.

16 And what we're seeing there is, both wells will
17 be able to produce for approximately ten months at the
18 constant rate. In about the eleventh or twelfth month they
19 begin to decline, and at the end of the first year you're
20 essentially -- that's the data I would be trying to
21 distinguish between.

22 And it's not until the end of the second year
23 that I even really see any difference between those curves.
24 But I'd like to point out, that difference at the end of
25 year two is approximately 50 barrels a day. That's the

1 kind of rate that would get masked -- You'd be lucky to see
2 that difference.

3 So the point here is, if I look at these two
4 exhibits together, the one we just spoke about, Exhibit 16,
5 there's no difference between those two. I can't tell you,
6 I can't tell my bosses, I can't make any good reservoir
7 engineering decisions as to whether that well should be
8 stimulated or not.

9 I can't make any references as to what the
10 reservoir quality is. I am not in a position to determine,
11 was this well good or bad because the permeability was
12 such, or is it good or bad because it's damaged? I'm
13 basically working with blinders on.

14 If the test period is granted, referring to
15 Exhibit 15 here, I'll be in a position to see, that's one
16 of those two sorts of data, either the red or the blue, and
17 I'll be able to do a type curve match and compute the
18 permeability and skin.

19 Q. Tell us the essential components of the
20 requirements for the well. How do you set it up so that
21 you get the data that you need to run the analysis?

22 A. The basic requirement -- You know, we call it
23 rate-time analysis, but it's really just fancy decline-
24 curve analysis. And the basic requirement is that the well
25 has to be able to decline, meaning you have to be able to

1 bring the well on at a capacity rate or a very high rate,
2 such that within the first month, second month, third
3 month, it begins to decline, as opposed to artificially
4 imposing some lower rate, in this case the project
5 allowable, where the well wouldn't decline. It would make
6 that rate for a long time.

7 So the requirement is, the well has to be able to
8 decline.

9 Q. Once you establish initial rate for production,
10 do you adjust the choke setting on the well?

11 A. No, you don't touch it.

12 Q. You start it producing and you leave it alone?

13 A. That's correct.

14 Q. All right.

15 A. Yeah, anything you would do to the well to alter
16 its flow mechanically, imposes difficulty in the rate-time
17 analysis. It can be handled, but it makes it more
18 difficult.

19 Q. You --

20 A. Which gets to our intentions here. Our
21 intentions are to put this well on, to install a
22 submersible, to produce the well unaltered and get this
23 data so we can get the permeability and skin.

24 Q. If you're not provided the test period, what
25 happens? You'll then have to produce the well at the

1 constraints of the 561 a day?

2 A. Yeah, if the test period is not granted, we would
3 put the well on and we would produce it at 561 barrels a
4 day, and I would just watch the monthly production.

5 The question I'd be looking for, trying to answer
6 at that point, is, when does it fall off? When is it not
7 able to make 561 barrels a day?

8 Q. And now you've lost the ability to get the data
9 to determine permeability or skin effect?

10 A. Well, what I could do is, I could go in to my
11 reservoir model and I can start playing with parameters and
12 try -- and I can force it to say -- Let's take, for
13 example, if the well declined in the tenth month. I can go
14 in there.

15 But as Exhibit 16 shows, if that's the example of
16 what happens, if I'm watching this production rate and in
17 the eleventh month it declines, I've got two ways to answer
18 that question, and they're very different and critical to
19 me.

20 One is, I can say it has damage. And the other
21 one is, I can say it's just a little lower reservoir
22 quality than I anticipated.

23 Q. Well, stop for a moment. Can you then, if the
24 test period is not granted, use reservoir simulation to
25 bridge the gap, if you will, and provide you a unique

1 solution that can tell you whether it's a damaged
2 reservoir?

3 A. No. In fact, in the model I would have an
4 infinite number of combinations to get the answer.

5 But again, the two critical ones at the extremes
6 are, is the well damaged or is it not? Those are the two
7 critical answers, and I would have really no way of
8 knowing.

9 Q. Let's -- Have you tabulated and provide us a
10 display to show the Division the production forecast for
11 the test period and the overproduction?

12 A. Yes, that's --

13 Q. 17, I think it is, right?

14 A. Yeah. Yeah, it's the final exhibit. And what
15 this is is, it's an exhibit serving two purposes.

16 One is to show you that the requested test period
17 is in line with our expectations for the well. And the
18 second one is to discuss the overproduction again and how
19 we'll handle that.

20 What this is is -- The first column, of course,
21 is the months, 1 through 12.

22 The second column, labeled "Production if Test
23 Period is Granted", that is nothing -- that is the DEA-44
24 production forecast, identical to what you saw in previous
25 exhibits, except here it's monthly.

1 Our expectation is that this well will come on at
2 1600 barrels a day and decline to approximately 600 barrels
3 a day in the twelfth month. The initial rate of 1600 is in
4 fact -- then consistent with what we're requesting, the
5 1683 rate, during the test period.

6 The next column over is nothing more than the
7 project allowable so that we can compute overproduction.

8 The overproduction is shown in the next column.
9 And if we take, for example, month one, if we're able to
10 produce the well at 1600 barrels a day and the project
11 allowable is 561 barrels a day, we would be overproducing
12 by 31,000 barrels.

13 In month two, we would fully expect -- Well, the
14 well would decline to 1425 or something similar to that.
15 The project allowable is 561, and so we'd have 26,000
16 barrels of overproduction.

17 The final column is the cumulative
18 overproduction, and it's nothing more than a running total,
19 so that at the end of month two we're at 57,000 barrels,
20 and at the end of twelve months we would have accumulated
21 147,000 barrels of overproduction.

22 At the bottom of this exhibit I have year one
23 summaries, and I'll go through those briefly.

24 The total production of 352,000 barrels, that's
25 simply the -- our expectation of the well in year one.

1 That's the sum total of all those rates shown in the column
2 of our expectations.

3 The next -- The annual allowable of 205,000
4 barrels, that's nothing more than the daily project
5 allowable, 561 times 365. So it's the annualized
6 allowable. So the difference between those two numbers is
7 the overproduction, consistent with what you're seeing in
8 the cumulative overage column.

9 So what we are saying here is that we have a well
10 that we think will IP at 1600 barrels a day, and we're
11 asking for permission to produce this well at 1683 so that
12 we can get the data that would be similar to what you're
13 seeing in column one, so that we can perform the rate-time
14 analysis.

15 Q. At the end of the first year, if in fact there is
16 any overproduction, your plan would be to meet with the
17 area supervisor of the Division and work out a schedule for
18 making up the overproduction so that at the end of the
19 second year you would have made up the overproduction?

20 A. That is correct.

21 Q. All right. And if you haven't, then the well is
22 subject to shut in until it does?

23 A. That is correct.

24 Q. You're not asking that any overproduction ever be
25 canceled?

1 A. That is correct.

2 Q. Okay. Bass Enterprises Production has expressed
3 a concern with regards to the project, and I have shared
4 with you Mr. Carr's pre-hearing statement, did I not, Mr.
5 Schramko?

6 A. Yes, I have a --

7 Q. Do you have a copy of that before you?

8 A. Yes.

9 MR. KELLAHIN: Mr. Examiner, Mr. Carr's pre-
10 hearing statement files on behalf of Bass the following
11 statement. It says, Bass Enterprises Production Company is
12 concerned that the testing allowables sought by Phillips
13 will adversely affect its interests in offsetting tracts
14 and will therefore participate in the hearings to protect
15 these interests.

16 Q. (By Mr. Kellahin) Let me ask you a hypothetical,
17 Mr. Schramko. Let's assume the roles are reversed and you
18 are the reservoir engineer for Bass and you have the
19 offsetting acreage. How would you view the project from
20 that perspective?

21 A. Intuitively, I understand the nature of their
22 protest. They see us coming here and asking to produce the
23 well at 1683 barrels a day. I have offsetting tracts of
24 land that are undrilled, and it doesn't feel good.

25 But if you think it through a little further,

1 then I'm really at a loss as to why they are protesting.

2 On the other hand, if I'm Bass, what I see is, I
3 have undrilled acreage to the south of me, to the south of
4 the horizontal well. The way you're going to prove
5 reserves on that is to see a well drilled on our acreage,
6 in this case, a horizontal well, so that if this horizontal
7 well is successful and everybody can deem the well is
8 successful, then we've proved their acreage.

9 So if I'm Bass, you're -- Phillips is taking the
10 risk, they're proving the technology, the ability to drill
11 horizontally in this reservoir, and they're proving up my
12 reserves on my acreage. So to me, if I'm Bass, I see you
13 doing all the -- taking all the risk, and I'm reaping all
14 the reward.

15 Q. With regards to this project, has Bass committed
16 any financial resources to your effort?

17 A. No, none.

18 Q. So there's no cost component to them in the risk
19 you undertake to determine if this technology will work?

20 A. That is correct.

21 Q. Okay. Would you be concerned -- You deal with
22 drilling on federal leases. If you're the offset operator
23 with the undrilled tract and the other operator drills
24 either a vertical or horizontal well adjacent to you,
25 what's going to happen?

1 A. They're -- Within a short period of time, they
2 would get an offset drainage notification.

3 Q. Regardless of the ability of the well to produce
4 any portion of the reserves, you get the notice, right?

5 A. Yeah, regardless of what production rate our well
6 produces at, they're going to get that notification. The
7 fact that the well is there, they're going to get it.

8 So we -- I've heard and I understand that one of
9 their concerns is that they're going to get this offset
10 drainage notification. Well, they're going to get that
11 anyway, with or without the test period.

12 Q. Would you be concerned about the shifting of
13 allowables during the test period so that you could produce
14 at these test rates?

15 A. No, I wouldn't. Again, we're not proposing to
16 produce this well at high rates and not make up the
17 overage. The fact that we're willing to make up the
18 overproduction, there's no correlative-rights issue here.

19 Q. Are you satisfied that the reservoir is large
20 enough and contains enough recoverable oil that the 147,000
21 barrels of oil overproduction can in fact be made up?

22 A. Well, yes, as I -- I think I stated earlier that
23 that would represent five percent of the oil in place,
24 across the project area.

25 If you think about it from a drainage standpoint,

1 then in fact we're talking -- we could expand this problem
2 and say, Well, now we're talking about potentially six
3 tracts of land. That would be 6 million barrels of oil in
4 place. We're asking to pull out 150,000 barrels.

5 So for us to be -- What we're saying, then, is
6 we're pulling out 2 1/2 percent of the oil across our three
7 drill tracts and the three drill tracts just south of us.
8 So now we're talking about an overproduction of 2 1/2
9 percent instead of five, and so it's even a smaller issue
10 in terms of drainage.

11 Q. So if you're the Bass reservoir engineer, you're
12 not going to be concerned about drainage from the Phillips
13 project?

14 A. No, the fact remains, they're going to produce
15 the same volume of oil out of their tract whenever they
16 drill their well, because we'll make up the overproduction.

17 Q. In summary, what are your conclusions and
18 recommendations to the Examiner, Mr. Schramko?

19 A. Well, we have the three requests.

20 First, obviously, we're asking for permission to
21 drill the well and establish the 120-acre proration unit
22 needed to drill the well.

23 We're asking for the project allowable of 561
24 barrels a day, which is consistent with other horizontal
25 wells that have been drilled in New Mexico.

1 day allowable that you could use to make up the
2 overproduction; is that correct?

3 A. That would be correct.

4 Q. So are you really making up the overproduction if
5 you have excess capacity at the end of that second year?
6 Isn't there a portion that's not really being made up?

7 A. Let me answer the question another way, because
8 no, all overproduction would be made up.

9 Referring to the final exhibit so you can see the
10 numbers, at the bottom there where I say the annual
11 allowable is 205,000 barrels, so twice -- The allowable
12 that we'd be allowed to produce at and have no
13 overproduction over a two-year span would be twice that
14 number, 410,000 barrels.

15 What we are saying is, we will produce this well
16 until we have cum'd 410,000 barrels, and that's it. If
17 need be, we'll shut the well in for the balance of the two
18 years. So we won't produce one barrel more than 410,000
19 barrels during the two-year period.

20 Does that answer your question?

21 See, you are correct that if we produced the well
22 and at the end of 24 months we're making 300 barrels a
23 day -- The problem with that scenario is that we would have
24 in fact produced more than 410,000 barrels.

25 Q. Well, you're going to be cut back probably from

1 the 300 barrels a day that you would be able to make --

2 A. I estimate --

3 Q. -- but you still have the excess capacity of 250
4 or 260 barrels a day that --

5 A. Right, but that wouldn't --

6 Q. -- the well is capable of making.

7 A. Right. I estimated that for us to balance the
8 well out at the end of year two, we could produce the well
9 at approximately 150 barrels a day, for the balance of year
10 two. And at the end of that second year the overproduction
11 would be zero.

12 So that's one possible outcome of this. We
13 conduct the test, as we said, we contact the District
14 Office, and we agree to produce it at 150 barrels a day, or
15 whatever the number is exactly.

16 Q. What you're looking to determine with the test
17 period is, as you said, to determine permeability and skin
18 effect, and to determine if there's been any damage to the
19 formation, to the reservoir?

20 A. Skin is, in effect, that damage component.

21 Q. Can you not determine that from your initial
22 producing rate, being that you already have the thing
23 modeled? Can you --

24 A. Well -- No. The idea of what could happen -- one
25 is, I might have -- If we do this in a very simplistic way,

1 if I estimate the well will produce at 1600 barrels a day
2 and you tell me I go out on location and it produces at,
3 say, 1200 -- or let's say 800 because it will make the math
4 easier.

5 If it produces at 800 barrels a day, I can get
6 there in one of two very different ways. All I'd have to
7 do is go into my model and cut the permeability in half.
8 Okay? And that would reduce the initial production rate by
9 a factor of two.

10 Another way to get there -- and I can't tell you
11 the right now; I'd have to play with it a little bit -- is,
12 I could leave the permeability alone and I could start -- I
13 can go into any damage component and just start saying it's
14 damaged a little bit and see if that brings it down to 800.
15 Is it damaged a lot? And I might find out, yeah, if I
16 impart a lot of damage on it, I can have the permeability I
17 said and produce the well at 800 barrels a day.

18 So there are two very different ways of arriving
19 at the answer, and I need to know the difference.

20 Q. Well, don't you have some good permeability data
21 from your other wells?

22 A. Not really, not when you're talking about
23 reservoir modeling. We do have some permeability data.

24 But cored perms, for example, they are conducted
25 with air, air blown through the core, and those are

1 traditionally very different than what you would experience
2 with oil. That's the bulk of the data we have.

3 Now, it does put you in an order-of-magnitude
4 kind of range, and that's what we're using here. I'm
5 saying the permeability range is between 2 and 5
6 millidarcies. But that isn't very significant when you're
7 trying to get a general understanding of a well's behavior.

8 But it is significant when all of a sudden you
9 start trying to determine, why didn't this perform as
10 expected? Is the answer one millidarcy? Is it -- or is it
11 -- It could even be higher permeability than I said and
12 have a lot of damage.

13 If I can conduct a test, either a drawdown-
14 buildup or rate-time, then I'm in a position to answer the
15 question exactly, or at least close enough that we can make
16 good engineering decisions.

17 Q. Okay. Is it going to take that year period to
18 determine whether or not you have damage?

19 A. Realistically, yes. I mean, what we're talking
20 about is, we'd have twelve data points, and I'm going to be
21 using twelve data points to establish a unique trend.

22 You know, obviously, two data points doesn't
23 establish a trend. Three starts to. And the more data you
24 have, the more comfortable you get with the trend.

25 And then you interject on that production

1 problems that you might have in the field, power outages,
2 anything that could cause this submersible to go down.
3 It's going to tinker one or two of the months' data, on the
4 low side, probably.

5 So by having twelve data points, if during three
6 or four of those months there were some artificial problems
7 in the field, something related that kept the well from
8 producing at full rate, I can discard those four points and
9 conduct it with the remaining eight, in a sense.

10 Q. Once you have all the data points you need and
11 you've determined that there is some damage, what do you
12 do?

13 A. We'd go into it with coiled tubing and acidize
14 the well. The procedure would be, you'd run in and push
15 the coiled tubing out to the end of the well, and then
16 squirt the acid using special downhole tools, and then
17 bring the well back on.

18 I might add, it's a costly procedure, it's
19 \$50,000.

20 But the bigger component in my mind, it's a risky
21 operation. Coiled tubing is not meant to be pushed out in
22 horizontal wells, and the possibility remains that you
23 twist it off, in which case then you're faced with a major
24 workover. In the worst case, maybe even P-and-A'ing the
25 well, but I mean that's not really likely. But you could

1 be faced with a major workover.

2 And another part of this is that we get -- The
3 test period would give us some flexibility in actually what
4 submersible we put in the well. Right now I'm now sure
5 if -- Without the test period, you're not really sure what
6 sub to put in there.

7 So what will probably happen is, we'll put a sub
8 in there that will handle about 1500 barrels of fluid a
9 day, total, if the test period is not granted. And I would
10 do that because the expectation would be that the well
11 would make about 50 percent water, 50 percent oil, give or
12 take, and so that submersible size would cover that range
13 of applications.

14 But I can very easily foresee having to work this
15 well over to change that sub out, because our estimate was
16 off significantly and the existing sub can't handle it. If
17 the water cut is significantly different, we might need a
18 much larger sub or a much smaller sub.

19 And then you're working the well over and
20 possibly damaging the formation, and you get back into the
21 damage component. You're trying to avoid that at all costs
22 on horizontal wells. We're going to go to great lengths to
23 drill this well and not damage it. So I'm a great stickler
24 for not working these wells over unless you just flat out
25 have to.

1 Q. After the test period is over, can you actually
2 quantify the damage, and do you go in when there's minimal
3 damage and do a workover?

4 A. Well, once I can quantify that damage in terms of
5 the reservoir model -- I mean that might be a skin of --
6 well, in vertical terms, which you're probably more
7 familiar with, a skin of plus 5 is significant. When
8 you're working with horizontal models, a skin of plus 2 is
9 very significant. So it's slightly different terms, so I
10 say that so that you're clear.

11 I might go in to my model and put in a skin of
12 plus 1, and that matches and everything's fine and I've got
13 it pegged.

14 Then all I have to do in my model is say, Well,
15 what if the skin was zero? and see what the production rate
16 would be. Because see, what I would also get out of this
17 test is the actual permeability.

18 So in effect I'd be forecasting the well's
19 production, and I could say -- I could play the "what if"
20 game: What if there was no damage on this well? Meaning
21 what if the skin was zero? And then I could see what the
22 benefit is, and it would be pretty exact.

23 I mean, I'd say, well, it's currently producing,
24 say, 1200 barrels a day with a skin of plus 1, and if I
25 change it to 0, I can bring it up to 1600 barrels a day,

1 compute that, and it would probably make sense to go in and
2 acidize it.

3 So yeah, if we can run the rate-time test we'll
4 be in a great position. I'm not going to stand here and
5 say the numbers are exact, any more than I would say that
6 for a drawdown-buildup test. But they're certainly very
7 good numbers for telling you what the benefit is of
8 stimulating the well.

9 Q. What is the ultimate benefit of going in and
10 performing a workover on the well? Would it increase, do
11 you think, ultimate recovery?

12 A. You mean a stimulation job?

13 Q. Yeah, stimulation.

14 A. Well, the way you asked it -- I'd like to answer
15 that, because see, I have this feeling -- I should say it's
16 more than a feeling; it's an engineering assessment -- that
17 if you work over a horizontal well, you're obligated to
18 pump kill fluids in it. And it would be nothing more than
19 a brine, but you pump those in the well.

20 In the case of a horizontal well -- Well, any
21 kill fluids can be a damaging element. So any workover we
22 do, even if it's just to change a sub out, we're going to
23 have to pump kill fluids in the well. We want to avoid
24 that because you could damage the well and -- You know,
25 just going in with an acid job doesn't guarantee you're

1 going to clean it up. So there's no guarantees here.

2 But at least you'll know going into the project
3 that you will be putting acid on the formation, you will be
4 attempting to clean it up, you can do everything you can to
5 clean it up.

6 And generally speaking, you will get some gain
7 from it. Whether you would get everything would remain to
8 be seen.

9 So I can't really quantify the exact nature of
10 what the acid work would do. But I could certainly do
11 this: I'd be in a position to do an acid job, see what the
12 results are, and now that I've got everything pinned down,
13 I can see if I got that actual benefit. If I didn't, I
14 might think of another way to do the acid work and try it
15 again, if the potential gain is worth it.

16 Now, to that end -- I mean, that benefits both
17 the state and Phillips in the sense that if the well is
18 damaged it's just not going to perform. And that is the
19 key element in a horizontal well. That's the first issue
20 that always come up: Are you going to be able to drill it
21 without damaging it? Are you going to be able to complete
22 it without damaging it? Are you going to be able to keep
23 the well in a producing mode without damaging it?

24 So the test period provides us every opportunity
25 to do everything we need to do without imparting any risk.

1 Q. Why wouldn't you perform the stimulation or the
2 -- at the onset, when the well is drilled and completed?

3 That's --

4 A. Cost, risk. I mean, we do that all the time with
5 vertical wells. I mean, you know, I maybe have
6 permeability and skin on one percent of my vertical wells.

7 And that is the general answer. You drill it
8 before you even know anything, you perforate it and you
9 acidize it. It's very standard, because you're talking
10 about \$3000.

11 Here we're talking about a \$50,000 operation, and
12 that's insignificant, relative to the total cost of
13 drilling. But the bigger issue is this coiled tubing. You
14 don't just rig up a pump truck and pump down your well.

15 In this case you're working with coiled tubing
16 and, you know, the limitations of coiled tubing -- You're
17 reaching those limits, because as you cut that corner
18 through the curved portion of the well and start going out,
19 that coiled tubing is now rubbing on the entire length of
20 that curve, and there's all sorts of things that can
21 happen. They can get stuck. If there's any trash in that
22 well, that coiled tubing could get stuck. There's a number
23 of things that can go wrong, and then you're stuck with a
24 fishing operation on your hands.

25 So it's not something that I would -- I've had

1 this discussion with my folks in our office. I will not
2 acidize the well from day one. One way or another, we're
3 going to put the well on, see what it will do. And with or
4 without the test period, I'll have to make a call at some
5 point.

6 Without the test period, it will be an impossible
7 call, it will be a hip shoot to determine when -- Well, we
8 probably would not acidize it, because if the test period
9 is not granted, we're not going to come back and ask for it
10 in that sense.

11 So I'll just wait till the well declines. That
12 might be 10 months, 14 months. And then I'll attempt to do
13 what I showed you on that one exhibit. I'll be trying to
14 distinguish between two curves that are very difficult to
15 distinguish between, and I'll just make my best estimation.
16 And so it might be two years down the road before we'd
17 acidize it.

18 Q. What would the ultimate difference be if you did
19 acidize it two years down the road, as compared to maybe a
20 year down the road? I mean, what's going to be the
21 ultimate difference of doing that?

22 A. Oh, you'd probably be getting into economic-limit
23 questions.

24 I think the more significant question would be
25 that -- I guess the answer to your specific question would

1 be, I couldn't quantify it, and I would have to say
2 probably not a whole lot in terms of the ultimate recovery.
3 But I would add that there's a fair chance that maybe we
4 don't acidize it.

5 I mean, if the well is produced at 560 barrels a
6 day for 10, 12, 14 months, that pretty much meets our
7 expectations of the well. It would be a very logical
8 conclusion to say to yourself, I guess it wasn't damaged.
9 And so there would be that nagging interest that says,
10 wait, it's not damaged, when in fact maybe the reservoir is
11 in fact of higher quality than we estimated, and it is
12 damaged.

13 In which case, you would probably make the
14 decision, don't acidize because it's everything we thought
15 it might be.

16 And in that case, you might lose -- Oh, I'm hip-
17 shooting here a little bit, but I would say maybe upwards
18 of 100,000, 150,000 barrels of ultimate recovery, because
19 the well would decline differently, and the stimulated well
20 would, of course, recover more reserves.

21 And in the case of a horizontal well they would
22 be pretty high.

23 Q. Your opinion is that producing at that high rate
24 for the first year is not going to harm any -- It's not
25 going to cause excess drainage from any of the offset

1 tracts?

2 A. That's correct.

3 Now, in fairness, I'll say, you know, there is
4 movement of fluids in reservoirs, there is movement. And
5 there's the good possibility that some oil from Bass's
6 acreage could move towards ours. But over a two-year span
7 it's going to be identical.

8 And we're talking about such a relatively small
9 amount of oil, 2 1/2 percent -- In terms of a drainage
10 issue, it's 2 1/2 percent of the total oil that we're
11 asking to move, temporarily.

12 The key question, though, is, what would their
13 ultimate recovery be with or without this test period? And
14 it will be identical.

15 Whether they drilled it in the first month, the
16 12th month, 24th month or two years, five years down the
17 road, their ultimate recovery will be the same, with or
18 without the test period.

19 Q. The million barrels, is that -- That's original
20 oil in place per tract --

21 A. Correct.

22 Q. -- per 40-acre tract.

23 The recoverable is -- 600,000, did you say?

24 A. Well, that's the horizontal. A vertical would be
25 200,000, or approximately 20 to 30 percent of that million.

1 Actually, we have recoveries of a vertical well estimated
2 at about 26, 27 percent.

3 Q. And in a horizontal well, what was the --

4 A. About the same recovery, 25 percent.

5 If we had an water-coning or gas-coning problem
6 here that we were trying to solve, then it would be
7 reasonable for me to say the recovery from a horizontal
8 well would be higher as a percent.

9 In this case, you're not really combatting any of
10 those components, so you don't really have any real
11 positive aspect working for you in the horizontal well. So
12 it would be reasonable to say the recoveries would be the
13 same.

14 And of course, that's the basis of 600,000, 20 to
15 25 percent of approximately 3 million barrels.

16 Q. Did you mention that there were different
17 producing intervals in this well, or in the proposed well?
18 In the field?

19 A. In the field -- Of course, that was the nature of
20 our discussion back in 1993. We have -- Well, the vast
21 majority of the wells, all but about two or three of them,
22 were drilled to the Bone Spring and completed in the deeper
23 Brushy Canyon, and that's at about 7000 feet.

24 Okay, so we have Brushy Canyon pay straddled
25 around this field. That's about 20,000 to 30,000 barrels

1 of oil recovered per well in that zone.

2 We also, on occasion, find another zone in the
3 Brushy Canyon, about 800 feet higher than that, so
4 somewhere around the 6400-foot depth; again another 20,000
5 or 30,000 barrels of oil out of it.

6 Then this good Cherry Canyon zone, and nothing
7 higher than this.

8 So we're talking about three potential zones in
9 the Cabin Lake-Delaware Pool.

10 Q. Okay. This is by far the most prolific zone, the
11 target zone -- ?

12 A. Far and away, that's right. It represents
13 probably 90, 95 percent of the total recovery. The total
14 reserves that are taken out of this field will come from
15 that zone.

16 Q. The other zones that are potential will remain
17 unproduced in your tract?

18 A. That's correct. We have debated in our own shop
19 as to whether they're even economic to drill for. So
20 you're talking about drilling an incremental 1400 feet,
21 casing an incremental 1400 feet, cementing an --
22 completing.

23 By the time you add it up, producing 20,000 to
24 30,000 barrels of reserves is borderline economic anyway,
25 so -- In fact, in a number of wells we have only drilled to

1 this zone, for that reason.

2 So it's questionable. I would make the statement
3 that you're really not leaving behind economic reserves.
4 They are marginal at best.

5 Q. Is this all a single lease, this whole project
6 that we're -- ?

7 A. No, the acreage we're referring to where this
8 well will be drilled is the James E. That's federal
9 acreage. That would be Sections 11 and 12, 11 and our
10 portion of Section 12. To the north in Section 2 is the
11 James A; that is a state lease.

12 Q. No, what I'm referring to is the three 40-acre
13 tracts you're you going to drill on. Is that common?

14 A. No, that's one lease.

15 Q. That's one lease?

16 A. Yes.

17 Q. All commonly owned?

18 A. Yes.

19 Q. Okay.

20 A. Yes. Yes, commonly owned, and a hundred percent
21 Phillips.

22 Q. Do you anticipate you'll be able to take the well
23 out 2000 feet or so?

24 A. Yeah.

25 Q. Have you guys done a horizontal well previously?

1 A. Within our office we've drilled one. It was in
2 Texas, a different reservoir, shallower. But yeah, we're
3 confident that the technology is there to drill that far.

4 EXAMINER CATANACH: Okay. I think that's all I
5 have, Mr. Kellahin.

6 MR. KELLAHIN: Thank you, Mr. Examiner. That
7 concludes our presentation.

8 EXAMINER CATANACH: Ms. Trujillo, did you have
9 any questions of the witness?

10 MS. TRUJILLO: No.

11 EXAMINER CATANACH: You can go ahead and make
12 your statement at this time.

13 MS. TRUJILLO: I have a letter addressed to Mr.
14 Stogner from Wayne Bailey at Bass Enterprises Production
15 Company. It says,

16

17 Dear Mr. Stogner:

18 On behalf of Bass Enterprises Production Company,
19 this is to state Bass's objection to the Application
20 by Phillips Petroleum Company dated June 14th, 1994,
21 whereby Phillips has proposed the drilling of the
22 James E Well Number 9 as a high-angle/horizontal
23 directional drilling pilot project. Bass is the owner
24 of leases offsetting the entirety of the James E.
25 Well Number 9 wellbore, said Bass leases being located

1 in Sections 12, 13, 14 and 15 of T22S-R30E, within the
2 James Ranch unit.

3 Paragraph 5(e) of the above Application proposes
4 an exception to Division General Rule 502 to establish
5 a test period allowable. Bass hereby objects to the
6 requested test period allowable as being exorbitant
7 and unreasonable. Furthermore, due to the close
8 proximity of the proposed wellbore to Bass's leases,
9 the test allowable creates an undue hardship on Bass
10 to avoid competitive drainage and satisfies its
11 obligations of the leases offsetting the proposed
12 wellbore. According to the proposed test well
13 allowable, Bass cannot effectively protect its
14 leasehold from offset drainage, even with the drilling
15 of three vertical wells, and therefore Bass hereby
16 requests that Phillips' test allowables be limited to
17 561 BOPD.

18 This statement is not intended to limit Bass's
19 objection to the subject Application on other grounds
20 in the future. Bass has filed the appropriate notices
21 with the NMOCD in order to reserve its right to appeal
22 any order granted to Phillips as a result of the
23 subject Application and testimony presented at the
24 July 7th, 1994, hearing.

25 Signed, Wayne Bailey.

1 I have nothing further.

2 EXAMINER CATANACH: Okay, did you want to enter
3 that as an exhibit?

4 MS. TRUJILLO: I did. Unfortunately, I didn't
5 bring copies at this time. Could I submit them later this
6 afternoon?

7 EXAMINER CATANACH: Yes, you may.

8 MS. TRUJILLO: Okay.

9 EXAMINER CATANACH: Mr. Kellahin?

10 MR. KELLAHIN: Mr. Examiner, I think Mr. Schramko
11 as an expert witness and a qualified reservoir engineer has
12 sufficiently addressed the Bass concerns.

13 Mr. Bailey is a landman with Bass and is not a
14 technical expert. We have chosen not to present an
15 engineering witness to validate the contentions they have
16 made.

17 I believe the record is complete with Mr.
18 Schramko's conclusions with regards to their concerns.
19 Bass cannot simply sit there and not drill. We are
20 affording them the opportunity to learn by our experience.

21 And it escapes me as to why Mr. Bailey as a
22 landman would argue that they cannot effectively protect
23 their leases from drainage. We're giving them the chance
24 to learn by our effort, at our cost. And if he chooses not
25 to drill his leases, then correlative rights is simply the

1 opportunity, and he has lost that opportunity.

2 I have a -- Mr. Stogner gave me the original. I
3 will submit that to you.

4 If you would like to ask Mr. Schramko any
5 clarifying questions about the letter, he's certainly
6 available, and perhaps now is the time to do it.

7 EXAMINER CATANACH: I don't have any further
8 questions.

9 MR. KELLAHIN: All right, sir. That concludes
10 our presentation.

11 EXAMINER CATANACH: There being nothing further
12 in this case, Case 11,014 will be taken under advisement.

13 (Thereupon, these proceedings were concluded at
14 10:16 a.m.)

15 * * *

16
17
18
19 I do hereby certify that the foregoing is
20 a complete record of the proceedings in
the Examiner hearing of Case No. 11014
heard by me on July 7 1988.
21 David R. Catanach, Examiner
22 Oil Conservation Division
23
24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25


STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION COMMISSION

IN THE MATTER OF THE HEARING)
CALLED BY THE OIL CONSERVATION)
COMMISSION FOR THE PURPOSE OF)
CONSIDERING:) CASE NO. 11,014
)
APPLICATION OF PHILLIPS PETROLEUM)
COMPANY)
)

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS
COMMISSION HEARING

BEFORE: WILLIAM J. LEMAY, CHAIRMAN
WILLIAM WEISS, COMMISSIONER
JAMI BAILEY, COMMISSIONER



September 23, 1994
Santa Fe, New Mexico

This matter came on for hearing before the Oil Conservation Commission on Friday, September 23rd, 1994, at Morgan Hall, State Land Office Building, 310 Old Santa Fe Trail, Santa Fe, New Mexico, before Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

I N D E X

September 23rd, 1994
 Commission Hearing
 CASE NO. 11,014

	PAGE
EXHIBITS	3
APPEARANCES	4
OPENING STATEMENTS:	
By Mr. Kellahin	7
By Mr. Campbell	12
APPLICANT'S WITNESS:	
<u>KEN SCHRAMKO</u>	
Direct Examination by Mr. Kellahin	13
Cross-Examination by Mr. Campbell	69
Redirect Examination by Mr. Kellahin	85
Examination by Commissioner Bailey	86
Examination by Commissioner Weiss	88
Examination by Chairman LeMay	91
Further Examination by Commissioner Weiss	96
BASS WITNESS:	
<u>C. RONALD PLATT</u>	
Direct Examination by Mr. Campbell	97
Cross-Examination by Mr. Kellahin	123
Examination by Commissioner Bailey	140
Examination by Commissioner Weiss	141
Examination by Chairman LeMay	145
APPLICANT'S WITNESS (Recalled):	
<u>KEN SCHRAMKO</u>	
Direct Examination by Mr. Kellahin	149
Examination by Commissioner Weiss	152
Examination by Chairman LeMay	152
REPORTER'S CERTIFICATE	156

* * *

E X H I B I T S			
	Applicant's	Identified	Admitted
1			
2			
3	Exhibit 1	17	69
	Exhibit 2	22	69
4	Exhibit 3	23	69
5	Exhibit 4	24	69
	Exhibit 5	25	69
6	Exhibit 6	26	69
7	Exhibit 7	28	69
	Exhibit 8	38	69
8	Exhibit 9	40	69
9	Exhibit 10	40	69
	Exhibit 11	46	69
10	Exhibit 12	48	69
11	Exhibit 13	48	69
	Exhibit 14	53	69
12	Exhibit 15	54	69
13	Exhibit 16	64	69
14		* * *	
15	Bass		
16	Exhibit 1	102	123
	Exhibit 2	102	123
17	Exhibit 3	103	123
18	Exhibit 4	104	123
	Exhibit 5	105	123
19	Exhibit 6	106	123
20	Exhibit 7	107	123
	Exhibit 8	107	123
21	Exhibit 9	109	123
22	Exhibit 10	111	123
	Exhibit 11	112	123
23	Exhibit 12	115	123
24		* * *	
25			

A P P E A R A N C E S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

FOR THE COMMISSION:

RAND L. CARROLL
Attorney at Law
Legal Counsel to the Division
State Land Office Building
Santa Fe, New Mexico 87504

FOR THE APPLICANT:

KELLAHIN & KELLAHIN
117 N. Guadalupe
P.O. Box 2265
Santa Fe, New Mexico 87504-2265
By: W. THOMAS KELLAHIN
and
PHILLIPS PETROLEUM COMPANY
Odessa, Texas
By: ELIZABETH HARRIS

FOR BASS ENTERPRISES PRODUCTION COMPANY:

CAMPBELL, CARR, BERGE & SHERIDAN, P.A.
Suite 1 - 110 N. Guadalupe
P.O. Box 2208
Santa Fe, New Mexico 87504-2208
By: MICHAEL B. CAMPBELL

* * *

1 WHEREUPON, the following proceedings were had at
2 8:06 a.m.:

3 CHAIRMAN LEMAY: Good morning. This is the Oil
4 Conservation Commission, its second day, to consider Case
5 Number 11,014.

6 MR. RAND CARROLL: Application of Phillips
7 Petroleum Company for a non-standard oil proration unit, an
8 unorthodox oil well location, a high-angle/horizontal
9 directional drilling pilot project, special operating rules
10 therefor, a special project oil allowable and production
11 testing period, Eddy County, New Mexico.

12 CHAIRMAN LEMAY: Appearances in Case 11,014?

13 MR. KELLAHIN: Mr. Chairman, I'm Tom Kellahin of
14 the Santa Fe law firm of Kellahin and Kellahin.

15 I'm appearing today in association with Ms.
16 Elizabeth Harris. She's an attorney and member of the
17 Texas Bar and Phillips' in-house counsel, stationed in
18 Odessa, Texas.

19 We have one witness to present.

20 CHAIRMAN LEMAY: Thank you.

21 MR. CAMPBELL: Mr. Chairman, my name is Michael
22 Campbell. I'm with the law firm of Campbell, Carr, Berge
23 and Sheridan, appearing on behalf of Bass Enterprises
24 Production Company.

25 CHAIRMAN LEMAY: Thank you very much.

1 Before we start, I failed to introduce our new
2 Commissioner to the right. You had Gary Carlson yesterday.
3 We have Commissioner Jami Bailey today, representing the
4 Commissioner of Public Lands.

5 The other two Commissioners you'll recognize as
6 being the same.

7 Mr. Kellahin, you may begin.

8 First, let's swear in the witnesses. Those
9 giving testimony, please stand.

10 (Thereupon, the witnesses were sworn.)

11 CHAIRMAN LEMAY: Mr. Kellahin?

12 MR. KELLAHIN: Mr. Chairman, let me provide a
13 brief outline to you and the other Commissioners so that
14 you can see how we got here and what we're asking you to
15 decide today.

16 First of all, by way of comment, Ms. Harris is
17 making her last appearance before the Commission. She's
18 been here a number of years representing her company before
19 the Division. She has the distinct privilege of being
20 transferred to the Phillips London office. It's a major
21 improvement for her. I believe there's water in London, as
22 opposed to Odessa. She's pleased, and we're delighted with
23 her success.

24 CHAIRMAN LEMAY: We want to wish you every good
25 luck in your new assignment, and if we ever get over there

1 to do any kind of regulation in the North Sea, maybe we'll
2 see you in the proper forum in London.

3 Good luck to you.

4 MS. HARRIS: Thank you.

5 CHAIRMAN LEMAY: And thank you for your past
6 service before this Commission.

7 MS. HARRIS: Thank you.

8 MR. KELLAHIN: My second comment has to do with
9 my representation.

10 Mr. Campbell and Mr. Carr and I do a number of
11 cases, his firm and my firm, before this Division. There
12 are probably no more than four or five lawyers that
13 practice before you on a regular basis, and we go
14 considerably out of our way to avoid conflicts.

15 In this situation, however, I am now appearing in
16 a case for Phillips which is opposed by Bass, normally one
17 of my clients. I want you to be assured that the parties
18 are aware of the potential conflict, and they have waived
19 it in this matter.

20 Historically, I've represented Phillips in the
21 Cabin Lake area, and simply by happenstance the southern
22 exposure of this reservoir butts up against the Bass
23 interests, and there are some points in this case that are
24 of concern to them.

25 This case involves another one of those wonderful

1 little, unique, single examples of something to do in the
2 potash area.

3 The circumstances, as Mr. Schramko will outline
4 to you -- he is our reservoir engineer -- is that as
5 development has taken place towards the southern end of
6 current development in Cabin Lake -- this is Delaware oil,
7 40-acre oil spacing -- he has found the opportunity to
8 continue to develop his spacing units with the limitation
9 that the BLM Carlsbad is restricting his well location
10 because of their belief in the presence of mineralization
11 of potash.

12 He has determined that he has an unorthodox
13 surface location in a 40-acre tract and that in order to
14 access the adjoining two 40-acre tracts, he will
15 horizontally drill this well, so that he will intersect
16 three consecutive 40-acre tracts that are laid down on a
17 120-acre spacing unit.

18 His plan that he proposed to the Examiner, Mr.
19 Catanach, was that we would follow the convention of the
20 Division, we would honor the side boundary setbacks for the
21 producing lateral of the horizontal well so that in no
22 circumstance would we be closer than 330 feet to the outer
23 boundaries.

24 In addition, the producing allowable for the
25 horizontal well would be the special oil allowable for 40

1 acres, which in this pool is 187 barrels a day, times
2 three. And that is the convention of the Division for the
3 horizontal wells.

4 It is my understanding that none of those issues
5 are opposed by Bass, and all of those matters have been
6 approved by the Examiner.

7 The matter at issue and the part of the
8 presentation that we want to focus on is that, while Mr.
9 Schramko will lead you through the summary portion of what
10 I've just described, the substance of his presentation is
11 this, that he is recognized within his company as a rate-
12 time analysis expert, that his firm engineering conclusion
13 is that he needs the opportunity to conduct a special test
14 on this wellbore to determine its productivity, and so that
15 he will have reservoir data by which he can determine
16 whether or not this well is experiencing simply low
17 permeability or it has high permeability but is exposed to
18 some skin damage.

19 Now, he is a recognized expert in his company.
20 He's going to tell you in detail how he's analyzed the well
21 and what he proposes to do with the test.

22 The end result is that he originally asked the
23 Division Examiner for the opportunity not to increase the
24 allowable, but to have a special test period. He proposed
25 that for the first twelve months of production, that he be

1 allowed to produce this well up to a maximum daily oil rate
2 -- 1620, wasn't it?

3 MR. SCHRAMKO: 1683.

4 MR. KELLAHIN: 1683, 1683 barrels a day.

5 The purpose of the test, as he will tell you, is
6 to provide a sufficient drawdown of the reservoir that he
7 can have data separation so that he'll know early in the
8 life of the well what's happening.

9 If he is confined to the 561 barrels a day, which
10 is the depth bracket allowable times three, then his
11 concern is, he will not have the ability to produce the
12 well at capacity early in the life of the well, to realize
13 the differential by which he in his expert opinion can
14 reach some engineering judgments.

15 In order to not impair the correlative rights of
16 Bass, which owns the south portion, it will be Mr.
17 Schramko's testimony that once he has conducted the test,
18 that he will take the next year and balance any
19 overproduction that he's attained at the end of the first
20 year, so at the end of the second year he's balanced back
21 with the reservoir, and if Bass ever has a well offsetting
22 the property, then there's an opportunity to avoid any
23 uncompensated net drainage.

24 Bass presented a letter in opposition at the
25 Examiner hearing. It is our understanding and belief, and

1 Mr. Schramko's testimony, that in order to meet the Bass
2 concern he has re-examined his proposed test period, and
3 he's going to request that you modify the test to reduce it
4 to a six-month period.

5 It is our understanding that they were concerned
6 about the length of the test, and to accommodate their
7 concern, while we believe it's not necessary to do so,
8 we're going to reduce the test, and his testimony will be a
9 six-month period. The other parameters would be the same.

10 At the end of six months, then, he would balance
11 any overproduction in the subsequent six months so that at
12 the end of one year, as opposed to two, it will be balanced
13 in the reservoir.

14 It will be his testimony that there is sufficient
15 recoverable oil in this area that the magnitude of oil
16 produced during the test period is so small, so small, that
17 it will not have any effect on correlative rights.

18 His ultimate conclusion will be that in the
19 absence of the test, there could be at-risk recoverable oil
20 that is not otherwise recoverable, and his estimation under
21 the example he'll present to you, that could be 100,000
22 barrels of oil.

23 That's what we're here to do and what we're here
24 to show you.

25 Thank you.

1 CHAIRMAN LEMAY: Mr. Campbell?

2 MR. CAMPBELL: Briefly, Mr. Chairman, this is the
3 first notice that Bass has had of an adjustment of the test
4 period.

5 It is our view that the effort here by Bass to
6 obtain technical data, while otherwise laudable, comes at
7 the expense of impact on the correlative rights of Bass to
8 the south and perhaps to the east.

9 The technical data that was presented at the
10 Hearing Examiner's hearing by the same engineering witness,
11 we believe, is not the type of technical data by which we
12 can examine the correlative rights impact of offsets.

13 We have undertaken, Bass has, Mr. Platt will
14 confirm, engineering studies which demonstrate that the
15 test period now at six months and the overproduction during
16 that six-month period will not be made up, that these --
17 because of the reservoir characteristics, Bass will never
18 recover a drainage caused by this test.

19 That may be impacted as a matter of degree by
20 reducing the test period. But nonetheless, we will
21 experience an impairment of our correlative rights that we
22 cannot correct, even should we drill a well offsetting to
23 the south. Our studies assume that we will drill such
24 wells, and nonetheless, we don't think we'll be able to
25 recover.

1 So we will continue to oppose the Application and
2 believe that our data will demonstrate that the decision of
3 the Hearing Examiner denying this Application should be
4 sustained.

5 Thank you.

6 CHAIRMAN LEMAY: Thank you.

7 Mr. Kellahin, you may proceed.

8 MR. KELLAHIN: Mr. Chairman, we would call Mr.
9 Ken Schramko as our first and only witness.

10 KEN SCHRAMKO,
11 the witness herein, after having been first duly sworn upon
12 his oath, was examined and testified as follows:

13 DIRECT EXAMINATION

14 BY MR. KELLAHIN:

15 Q. Mr. Schramko, for the record, sir, would you
16 please state your name and occupation?

17 A. Yes, Ken Schramko, I'm a senior reservoir
18 engineer for Phillips in Odessa, Texas.

19 Q. Summarize your education for us, Mr. Schramko.

20 A. I obtained a BS in petroleum and natural gas
21 engineering from Penn State University in 1980. Since that
22 time, I've been employed exclusively by Phillips. I've
23 worked in eight different offices over the last 14 years.

24 Q. Describe for us the circumstances of your current
25 employment, insofar as it deals with Cabin Lake.

1 A. I've been in Odessa, Texas, for approximately a
2 year and a half, and since that time I've been responsible
3 for all reservoir engineering in New Mexico, with one of my
4 primary focuses being the Delaware formation.

5 Q. Have you appeared as a technical expert witness
6 in the field of reservoir engineering before the Division
7 Examiners with regards to hearings on prior occasions in
8 the Cabin Lake-Delaware Pool?

9 A. Yes, I have.

10 Q. In addition, have you conducted an engineering
11 study with regards to the drilling, completion, operation
12 and special test period for the well that's the subject
13 matter of this Application?

14 A. Yes, I have.

15 Q. This is identified as the James E Well Number 9?

16 A. That is correct.

17 Q. Were you the technical engineering witness before
18 the Examiner when the Examiner heard the Examiner-level
19 hearing in this case?

20 A. Yes.

21 MR. KELLAHIN: We tender Mr. Schramko as an
22 expert reservoir engineer.

23 CHAIRMAN LEMAY: His qualifications are
24 acceptable.

25 Q. (By Mr. Kellahin) Separate and apart from

1 appearing in this case, have you appeared before the
2 Examiner in any other case involving the Cabin Lake-
3 Delaware Pool?

4 A. Yes, I have.

5 Q. What was the purpose of that case?

6 A. It was in this same field. It was in October of
7 1993, I believe.

8 Q. Yes, sir.

9 A. The allowable in this field had been established
10 at 107 barrels per day, based upon the drilling of the
11 discovery well, the James A Number 2. That well was
12 drilled to a depth of approximately 6000 feet, and so the
13 depth bracket allowable for the field was 107 barrels a
14 day.

15 Q. What member of the Delaware formations was that
16 well initially tested and discovered in?

17 A. The Cherry Canyon, one single member in the
18 Cherry Canyon portion of the field.

19 Q. As a result of that initial well being completed
20 in that member of the Cherry Canyon, what happened in
21 establishing for the pool a depth bracket oil allowable?

22 A. What happened was, the well was completed in the
23 Cherry Canyon and the depth bracket allowable for that
24 completion, as stated by the NMOCD, is 107 barrels per day.

25 Q. What happened with regards to subsequent

1 development in the pool after the initial discovery well?

2 A. If you're looking at Exhibit 1, you'll see there
3 have been in excess of 30 wells drilled in this field. And
4 with the exception of one other well, all wells were
5 drilled deeper through the Brushy Canyon on into the Bone
6 Springs and were completed at depths ranging between 7000
7 and 8000 feet.

8 Q. Did Phillips make a request to the Division in
9 this October case to do anything about the allowable for
10 the pool?

11 A. Yes, we felt that the allowable in the pool
12 should have been 187. Phillips was the -- one of the early
13 discoverers of the Delaware. This field is generally
14 touted in that fashion. And we felt like we were impaired,
15 or this field was impaired, with an allowable based upon a
16 discovery well, when all other wells -- Had we known that
17 the deeper Brushy was productive initially, we would have
18 drilled to that depth initially.

19 So we were asking that the allowable be based on
20 the depth bracket of the deeper Brushy Canyon members.

21 Q. And what was the outcome of that Application?

22 A. That was successfully granted, the allowable was
23 granted, 187 barrels a day.

24 Q. As we look at your exhibits, you have proposed to
25 introduce Exhibits 1 through 16. Do those exhibits

1 represent your own work product?

2 A. Yes, they do.

3 Q. In each and every instance, then, this is
4 information that you have examined, prepared or made
5 interpretations from?

6 A. That is correct.

7 Q. Let's start with Exhibit 1 and have you identify
8 it and help us understand the information you've put on
9 that display, and then let me ask you some questions about
10 it.

11 A. Okay, this is a base map of the field, the Cabin
12 Lake-Delaware Pool. The field is located in Townships 21
13 and 22 South, Range 30 East, in Eddy County, New Mexico.

14 The Phillips-operated lands are shown in yellow,
15 the pool boundary is shown in an outline in red, and in the
16 southern portion of Section 11, you'll notice drill
17 locations N, O and P. That is the location of the proposed
18 horizontal well.

19 Q. That's its nonstandard spacing unit, those 40-
20 acre tracts?

21 A. That is correct.

22 Q. Let's leave that for a moment and have you tell
23 us in summary fashion the history of development in the
24 pool.

25 A. Okay. As I mentioned a moment ago, the discovery

1 well was the James A 2, which is located in Section 2, in
2 the southeast quarter. That well was drilled in 1988, and
3 as I mentioned a moment ago, we drilled and completed in
4 the Cherry Canyon zone.

5 And I should add, when I say Cherry Canyon zone,
6 that is the interval that we will be talking about relative
7 to the horizontal well.

8 Subsequent to that time, we have drilled -- I
9 believe it's 28 or 28 wells. And that brings us on up into
10 the present time.

11 Now, most of the wells were -- Well, all of the
12 wells, with the exception of one other, were drilled
13 through the Brushy Canyon. Those wells were perforated in
14 the Brushy Canyon, the deep pay at 7000 feet.

15 And it's only in the last two years that we've
16 begun moving uphole with the depletion of the Brushy Canyon
17 or with lower production rates, anyway, from the Brushy
18 Canyon. In the past couple of years, we've started moving
19 up, back into, or into this Cherry Canyon interval that is
20 real productive.

21 And so now we are at a point in time where
22 essentially all of our drillable locations have been
23 drilled, with the exception of these three locations, N, O
24 and P.

25 Q. What is the significance to you of the -- I guess

1 it's turquoise, the colored line that's identified as a
2 potash line? What's the significance to you of that line?

3 A. The potash line as shown on here is our best
4 approximation of where the potash line is. In Section 11,
5 south of which would be the measured potash, that would
6 coincide with areas where surface locations would not be
7 granted.

8 Where we know or have a real good handle on where
9 this line exists, in fact, is right there in location P in
10 the southern portion of Section 11. When this well, the
11 James E 9, was first brought forward, we attempted to
12 establish an orthodox location and drill the well
13 vertically. That would --

14 Q. For the -- Which spacing unit, Mr. Schramko?

15 A. Drill location P. That well would have been
16 located 330 feet from the east line and 990 from the south
17 line, and --

18 Q. Did Phillips, to your knowledge, attempt to
19 permit that standard vertical location in unit letter P?

20 A. Yes, they did.

21 Q. And with whom would they seek permit approval?

22 A. The BLM.

23 Q. And with what result in this case?

24 A. It was denied.

25 Q. What then did you do?

1 A. Following that, we went through several gyrations
2 with the BLM, attempting to establish where we could
3 position the well, with our thoughts at that time still
4 being, we might drill it vertically.

5 And what we found was, we attempted to move the
6 well north and then we tried to move it east, and we found
7 out that the only place open to us that was of use is that
8 wedge shown in the northeast corner of drill location P in
9 Section 11.

10 Q. Do you know whether that potash constraint or
11 limitation applies to unit letter N and unit letter O?

12 A. We have made no applications on those properties,
13 but we do have a well -- If you'll notice where the words
14 "potash line" are written on here, and then the green line
15 that comes down and touches, I guess, it would be drill
16 location K.

17 And drill location K, we had a well, the James E
18 7. It's not shown on this map, because we never drilled
19 it. We ran into -- In applying for a location at that
20 location, we were denied. So we know that the potash line
21 extends that far north.

22 So we're -- In summary, we're quite confident
23 that we know where the potash line exists through this
24 area.

25 Q. Having been unable to obtain a vertical location

1 at a standard position in unit letter P, what did you
2 decide to do?

3 A. Our first thought was, well, we know we have
4 reserves there, let's go ahead and -- well, these were just
5 internal discussions we had amongst ourselves.

6 Our first thoughts were, well, I guess we'll have
7 to drill a deviated wellbore.

8 And during the course of these discussions, we
9 realized that we had a continuing problem with drill
10 locations O and N. We're confident there are reserves
11 there.

12 I have run economics on drilling deviated wells,
13 starting up around Well Number 6 in Section 11, and
14 drilling to the south a deviated well and completing it
15 vertically in drill location O. That's an uneconomic
16 venture for us, as would drilling a deviated vertical well
17 in drill location N. Both of those are uneconomic
18 prospects.

19 So we were -- At the conclusion, we only had one
20 location left and that would be drill location P.

21 And shortly thereafter, we looked at the
22 information, and I came to the conclusion, well, we've got
23 one zone here that is a real strong contributor; that's
24 this Cherry Canyon zone. Why not drill it horizontally?
25 And here we are today.

1 Q. Let's turn to Exhibit Number 2. Identify that
2 display for us.

3 A. Exhibit 2 is simply a blow-up of the southern
4 portion of Section 11, highlighting drill locations N, O
5 and P, and providing the exact locations of the horizontal
6 well, along with the various distances that are pertinent
7 to the various boundaries.

8 The items of most significance are that the
9 horizontal section, which is shown as segment B to C,
10 honors the 330 setbacks, and therefore remains within the
11 drilling/producing window as we're describing it.

12 Q. Is this the same display that you presented to
13 Examiner Catanach?

14 A. Yes, it's identical.

15 Q. What's the significance of the red line?

16 A. The red line being the horizontal well.

17 Q. That is the anticipated or at least initial
18 projected path of the --

19 A. That's correct.

20 Q. -- horizontal well?

21 That's it's approximate length and azimuth?

22 A. Yes.

23 Q. All right. Now, what is the purpose, then, of
24 the drilling window, if you will, that is set back 330 from
25 each of the side boundaries of the spacing unit?

1 A. Well, what we're asking is that the well not --
2 We can't possibly drill a horizontal well exactly along the
3 red line as shown. We will have to make adjustments along
4 the way. So we would want to insure that the order gave us
5 the comfort we would need and the flexibility so that as
6 long as we honor the 330 setbacks we wouldn't be in
7 violation of any rule.

8 Q. All right, sir. Did the Division Examiner
9 approve this concept plan for the horizontal well?

10 A. Yes.

11 Q. Let's turn now to Exhibit Number 3. Identify and
12 describe that display.

13 A. Okay, this is a well plan of the well.

14 In summary, the well would be drilled vertically
15 to the kickoff point at a depth of 5124 feet. The curved
16 portion of the well would be drilled with a build angle of
17 12 degrees per hundred feet, which would bring us to a TVD
18 depth at which we would be horizontal at 5768 feet.

19 At that point we would set and cement 7-inch
20 casing, and we would proceed to drill the horizontal well
21 approximately 2166 feet.

22 I should add that all of the cementing and casing
23 would be done in compliance with Rule R-111-P.

24 Q. All right, sir. Let's turn to Exhibit 4. What
25 is this exhibit, Mr. Schramko?

1 A. Exhibit 4 is a two-inch neutron density log from
2 well James E Number 8.

3 Q. How is this of any importance to us?

4 A. Well, the James E 8 is located due north of drill
5 location P, so it is our nearest offset control. I'm using
6 it here as a type log, if there are any questions regarding
7 the actual formation that we'll be drilling into.

8 Q. So the record is clear about the footage location
9 on the log, which corresponds to the Cherry Canyon member
10 of the Delaware that we're seeking to access with this
11 well, could you identify that portion on the log for us?

12 A. Yes. If you'll go down through the log, starting
13 at the top, you'll notice various depths have been marked
14 in the margin, and you'll notice that the Cherry Canyon top
15 is at 4510 feet.

16 The Cherry Canyon -- well, the -- I've labeled it
17 as the top of the Brushy, which is at 5904. That is also
18 coincidental, then, with the bottom of the Cherry Canyon.

19 For clarification, the Delaware is broken up into
20 three main intervals, each of approximately 1000 feet. The
21 Cherry Canyon, then, is between 4500 feet and 5900, and the
22 interval that we're targeting is at the very deepest part
23 of the Cherry Canyon at 5768 TVD.

24 Q. As part of your engineering study of the
25 feasibility of the horizontal well, did you ask the

1 personnel at Phillips that had specialty in geologic
2 matters to assist you in any way?

3 A. Yes.

4 Q. As a result of that assistance, did they provide
5 you with any geologic interpretations with regards to the
6 position, size, shape of this sand member of the Delaware?

7 A. Yes, they did.

8 Q. Have you examined that information?

9 A. Yes.

10 Q. Did you incorporate it and utilize it in your
11 engineering analysis about the feasibility of the well?

12 A. Yes.

13 Q. Describe for us what you used.

14 A. The next two exhibits, Exhibit 5 and Exhibit 6
15 are geologic maps provided by our geologist.

16 Q. Let's look at Exhibit 5 and have you -- Exhibit
17 5, what is it, sir?

18 A. Exhibit 5 is a structure map of the Cherry
19 Canyon, the target interval.

20 Q. In what way did you utilize this in your work?

21 A. Our knowledge of this particular formation
22 suggests that we want to be as high structurally as we can.
23 There is bottom water, there is a water-oil contact, and it
24 is beneficial to be near the top of the structure, to be
25 away from the water.

1 Q. What then did you do about the direction of
2 drilling the horizontal well in view of this structural
3 component of the reservoir?

4 A. Well, in terms of a horizontal well, there was
5 really no other way to orient the well.

6 But as we look at the structure as it traverses
7 across drill locations N, O and P, you'll note that the
8 well stays near the top of the structure. Basically,
9 there's an anticline here with falloff to the east and the
10 west, and there's a fairway that runs in a northerly-
11 southerly direction, and N, O and P will encounter that
12 high.

13 Q. The severe surface limitation placed upon the
14 well by the BLM for its location in the northeast corner of
15 P allowed you to access the reservoir in such a way that is
16 consistent with structure --

17 A. Yes.

18 Q. -- and how you would want to access the
19 structure?

20 A. That is correct.

21 Q. Let's turn now to the next map. It's the
22 isopach.

23 A. This is a gross sand thickness of the same
24 target, Cherry Canyon interval, and it's in some ways
25 showing similar information.

1 Basically, you'll notice that the pay thickness
2 for the wells just north -- It ranges around 100 to 125
3 feet of gross thickness, so we -- By the contouring, we
4 fully expect drill locations N, O and P to encounter
5 similar types of reserves to what we've seen in some of our
6 better Cherry Canyon wells.

7 Q. Have you made any engineering assessments or
8 calculations with regards to your expectation of the
9 original oil in place that underlies these three 40-acre
10 tracts?

11 A. Yes.

12 Q. What is your conclusion about the oil in place
13 underneath those tracts --

14 A. We --

15 Q. -- in this member of the Delaware?

16 A. We have calculated the oil in place on each 40-
17 acre tract to be approximately 1 million barrels. So for
18 the three tracts here, we'd be talking about a 3-million-
19 barrel oil in place.

20 Q. Based upon your experience in this reservoir, do
21 you have an estimate of the percentage of that oil in place
22 that is recoverable?

23 A. Yes, approximately 25 percent.

24 Q. What's your anticipated total volume of
25 recoverable oil if this well is successful? Do you have a

1 range for us?

2 A. Horizontal.

3 Q. The horizontal well.

4 A. Our best approximation is 650,000 barrels of oil.

5 Q. All right, sir. Let's turn to Exhibit Number 7.

6 Identify the plot for us. What we are looking at?

7 A. Okay, we're now ready to start talking about the
8 performance of a horizontal well, and that begins by
9 discussing performance of a typical vertical well.

10 And what we have here is a production plot for
11 the James E Number 11. The black data on this plot is the
12 daily oil production rate, and the red data is the
13 cumulative oil versus time.

14 Q. All right. If you'll take Exhibit 1, find us the
15 location of this James E -- I'm sorry, what was the number?

16 A. Number 11.

17 Q. The Number 11 well.

18 A. It's in drill location D of Section 12. It's the
19 northwest quarter of the northwest quarter.

20 Q. Why did you select this vertical well as an
21 example of the performance of a vertical well to show the
22 Commission?

23 A. Only because it shows the -- better than some of
24 the other wells, it shows the initial production rate that
25 we typically see, and it also shows the standard decline

1 that we see.

2 As I mentioned earlier in my testimony, in the
3 last couple of years we have been recompleting wells to
4 this Cherry Canyon, so in some cases we don't have a lot of
5 data; I wouldn't have been in a good position to show you
6 the standard decline that we're seeing. This well shows
7 it.

8 Q. To what purpose did you put this information?

9 A. Okay, basically what we wanted to show was that a
10 typical vertical well will initially produce at rates of
11 approximately 200 barrels per day. We even have wells that
12 will IP at 300 barrels a day. But this is the range of
13 what we expect, 200 to 300 barrels a day from a vertical
14 well.

15 You can see from the decline -- The black X's are
16 the production decline that we expect.

17 Of most significance here, and the purpose for
18 this exhibit, is to show you that the red X's out in 1999
19 will reach 200,000 barrels of oil recovery.

20 That is our expectation of a vertical well, to
21 summarize, 200,000 barrels per well.

22 Q. What's the drive mechanism in the reservoir, Mr.
23 Schramko?

24 A. Solution gas drive.

25 Q. No concern on your part about disproportionate

1 gas withdrawals? The reservoir is not rate-sensitive as to
2 gas withdrawals?

3 A. That's correct.

4 Q. As part of your analysis, did you come to any
5 engineering conclusion about the potential drainage effects
6 between your proposed horizontal well and a typical
7 vertical well?

8 A. Ask me that one more time. The difference
9 between -- ?

10 Q. Yes, sir. Did you, as part of your engineering
11 study, make any engineering calculations or reach any
12 engineering conclusions about the drainage effect of a
13 vertical well versus a horizontal well?

14 A. Oh, okay. Oh, yes. Yes, I reviewed that, and I
15 think what you're asking me is, would I expect a horizontal
16 well to behave any differently than a vertical well, or
17 could we say three vertical wells?

18 Q. In terms of the distance in which they access and
19 deplete the reservoir?

20 A. Yes, I've made an assessment of that, and a
21 horizontal well will not behave any differently than
22 vertical wells.

23 Q. Did you make an engineering assessment or reach
24 any engineering conclusions about the estimated ultimate
25 recovery from a horizontal well, versus three vertical

1 wells, if each of these spacing units was to receive its
2 own vertical well?

3 A. Yes, I did.

4 Q. And what conclusion did you reach?

5 A. Basically that a horizontal well is going to
6 recover the same amount of oil, the same volume, as would
7 three vertical wells.

8 Q. Did you recommend to the Examiner a special
9 project daily oil allowable for the horizontal well?

10 A. Yes.

11 Q. And what was that recommendation?

12 A. That it be equal to 187 barrels a day times the
13 number of drill tracts contacted by the horizontal well.

14 Q. And what action did the Examiner take on that
15 request?

16 A. He granted that.

17 Q. Part of the Application dealt with your request
18 for a special test period?

19 A. Yes.

20 Q. What was the test period requested by you to the
21 Examiner?

22 A. We were asking for the ability to produce the
23 well -- for a moment I'll say at capacity rates for one
24 year, allow the well to decline, and at the end of one year
25 any accumulated overproduction would be made up during the

1 second year, either by shutting the well in or by reducing
2 production below the daily allowable limit, so that at the
3 end of 24 months overproduction would be zero.

4 Q. What was your engineering reason to request the
5 test for this well?

6 A. So that we could perform rate-time analysis,
7 which would take us down the path of being able to quantify
8 the damage and the permeability in the well and make
9 estimations or determinations as to whether we should
10 stimulate the well.

11 Q. What is the engineering concept that you
12 identified as a rate-time analysis? What is that?

13 A. Rate-time analysis is type-curve matching. It is
14 stated in many ways. It is decline-curve analysis, done
15 with type curves. It is a process of plotting your
16 production data on log log paper, overlying it on
17 appropriate type curves, type curve, the appropriate type
18 curve, obtaining a match and then calculating the
19 permeability of the skin.

20 Q. What if any experience have you had as a
21 reservoir engineer with conducting those type of tests,
22 analyzing the data and reaching engineering conclusions?

23 A. Before I answer my experience, I'd like to say
24 that Phillips Petroleum is generally regarded as the
25 industry leader in rate-time analysis, primarily through

1 the efforts of one employee that we've had, Mike
2 Fetkovitch, who is regarded -- I think this would go
3 unchallenged -- as the number-one industry individual in
4 rate-time analysis.

5 I have had the luxury of working for that man for
6 four years, and during that time I worked almost
7 exclusively on rate-time analysis projects.

8 Q. Can you use the horizontal well within the
9 limitations of the special 561-barrel-a-day oil allowable
10 and achieve or obtain reservoir data by which to conduct
11 accurate rate-time analysis?

12 A. No.

13 Q. Why not?

14 A. One of the requirements of rate-time analysis --
15 and for the sake of what I'm about to say, I want to change
16 the name. Let's call it decline-curve analysis for a
17 moment.

18 One of the requirements of decline-curve analysis
19 is that the production rate must decline. Therefore, if
20 the well has the capacity to produce at 1000 barrels a day
21 or 1600 barrels a day, but we hold it back to 561, that
22 means that there is going to be a constant rate period --
23 maybe six months, eight, ten, twelve months -- and all I'll
24 have is that constant rate period. I can't perform
25 decline-curve analysis or rate-time analysis on wells that

1 don't decline.

2 Q. If you're unable to do that kind of analysis on
3 this test and are required to stay within the limits of the
4 561 oil allowable on a daily basis, you can't run the test,
5 what's the problem?

6 A. The problem is, the only tool -- well, it's not
7 even a tool. The only thing I would do -- Of course, my
8 job would still be to evaluate this well.

9 I would monitor the production of this well, and
10 I'd be watching it until the day it began to decline.
11 Let's say for the sake of discussion that's in the 12th,
12 13th month.

13 The only thing I can do at that point is to go
14 into the models that I've used and that I'll be discussing
15 in a moment and attempt to match what I'm seeing.

16 And the problem, as I'll be showing in a moment,
17 is, there are, in effect, an infinite number of
18 combinations that could match behavior on a well such as
19 that.

20 At the extremes, I want to know, is the well
21 damaged, or is it not damaged?

22 And what I'll be showing you in a moment is, I
23 can't distinguish between those two. When that well
24 declines in the 13th month, the character of a damaged and
25 an undamaged well will look very similar, so similar that I

1 can't distinguish between the two.

2 Q. So what does that mean to you as an engineer?

3 A. It means I'm put in a position of trying to
4 answer the question, should we or should we not stimulate
5 this well, without the knowledge of knowing that it is
6 damaged.

7 Q. When you talk about a damaged well, what are you
8 saying?

9 A. During the drilling process, the fluids have
10 invaded the formation and caused a skin on the actual
11 reservoir itself that's limiting the flow into the
12 wellbore.

13 Q. And if you are able to recognize that the low
14 productivity of your well or a decline in production is
15 directly attributable to the skin damage, what then could
16 you do to correct that fact?

17 A. We can go in and acidize.

18 Q. What happens if the low productivity is not
19 contributed by -- not the result of skin damage, but simply
20 the result of low permeability?

21 A. Then you're describing a situation where the well
22 is not damaged. And what we would have -- If you make the
23 assumption that we go in and stimulate that well anyway,
24 then you've put at risk the well by pushing coiled tubing
25 out into the horizontal section, for whatever risk that

1 imparts on the well, you've acidized the well, you've spent
2 capital for nothing, because we've -- as your condition
3 stated, the well isn't damaged, so we would get nothing for
4 that. But we have put the well at risk.

5 Q. Based upon your engineering experience, is there
6 any alternative method that you can utilize in the absence
7 of the rate-time analysis?

8 A. The alternative, the standard alternative that is
9 used in the industry, is the drawdown-buildup test.

10 It has been my conclusion, and everyone in
11 Phillips is agreeing with me, that we are not going to run
12 a drawdown-buildup test, regardless of the outcome of this
13 hearing, primarily because this well is going to be run on
14 artificial lift.

15 We're going to have a submersible in the bottom.
16 And getting tools in and out of a well, conducting the
17 test, is very difficult. Obtaining the data is difficult.

18 So we have no intentions of running the drawdown-
19 buildup test. We will attempt to use whatever other
20 techniques are available to us.

21 Q. In the absence of approval by the Commission to
22 conduct the test, do you have an assessment or an
23 engineering opinion about the magnitude of recoverable oil
24 that may be at risk in the absence of an approval?

25 A. Yes, 100,000 barrels.

1 Q. Your original proposal was to run the test for a
2 twelve-month period?

3 A. That's true.

4 Q. What was the reason for utilizing twelve months
5 and then to make it up in the subsequent twelve months?

6 A. There's no magical answer as to how long one
7 needs to run rate-time analysis. The answer is determined
8 when you have gotten a substantial number of data points,
9 you've plotted them on log log and you've overlaid them on
10 a type curve, and you can make your engineering assessment
11 that, yes, I've got enough data. I can't tell you exactly
12 if that's twelve months, nine months or fifteen months.
13 There's no magical answer.

14 But we can make some qualitative statements. The
15 fewer data points I have -- Well, let me start another way.

16 If I only have one data point, one month, that,
17 of course, isn't -- I can't match that.

18 If I have two data points, that establishes a
19 straight line; I can't match that.

20 With a third data point, you're starting to get
21 there. But again, it wouldn't be a unique match.

22 I'm going to have to have upwards of at least
23 four or five data points to conduct -- to obtain the data
24 to make the match.

25 The other qualitative factor that I was starting

1 to talk about is, you run into production problems in the
2 field, the electricity shuts down, your submersible is
3 knocked out of operation for several weeks.

4 So any given month -- and this is a real event
5 out there with the shutdown of electricity -- any given
6 month can be wiped out as a good data point.

7 So out of twelve months, you might lose two or
8 three data points because of production problems. You
9 could lose a couple more related to a tank battery.
10 There's just no real right/wrong answer here.

11 But I'm being asked to determine how many do I
12 need, and when we first came forward to the Examiner we
13 felt like twelve was a good number to ask for.

14 Q. Let's go back to the modeling. If you'll turn to
15 Exhibit 8 and let's talk about the modeling aspects of your
16 engineering study. First, show us what you have presented
17 on Exhibit 8.

18 A. Okay, Exhibit 8 is simply the list of input
19 parameters for one of three models that we used to obtain
20 the expectations of the well. I won't review them in any
21 detail, but they are here for -- if there are any questions
22 regarding that input.

23 Q. Describe for us the type of model you selected to
24 use.

25 A. That's a -- Well, as I stated a moment ago, there

1 were three models that we ran. This one is the DEA-44
2 model. It's an out-of-house model that was created by
3 Maurer Engineering as an industry-concerted effort. Some
4 hundred companies went together, brought their -- pooled
5 their capital and had this model created by Maurer
6 Engineering.

7 Your question is, What type of model is it? It's
8 a single-cell tank model, is how it would be generally
9 referred to in the industry.

10 Q. Is a single-cell tank model suitable and
11 appropriate for the type of analysis that you're attempting
12 to undertake for the rate-time study?

13 A. Yes, it is. We're trying to show a reasonable
14 expectation. That is one of the uses of a single-cell tank
15 model.

16 Q. Is it necessary to go to any more complicated or
17 sophisticated model?

18 A. No.

19 Q. Why not?

20 A. The absence of data. As we go to the southern
21 portions of our field, there is no well control to the
22 south of Wells 8, so we would have no way to describe the
23 reservoir in any meaningful way, so that whether we gridded
24 it finely, gridded it big -- However we would grid it,
25 would be of inconsequential -- What would be important is

1 what permeabilities you decide to put in there.

2 What we're comparing it to here is a 3-D model
3 simulation. The statements I'm making are, a 3-D model can
4 only be as good as the data that's put into it. In this
5 case there would be little data, so we're stuck with a
6 single-cell model.

7 Q. But that's an appropriate model for use in this
8 purpose?

9 A. That's correct. As I stated, what we were using
10 the model for was reasonable expectations, what could we
11 reasonably think this well might do?

12 Q. When you're dealing in that engineering concept,
13 are you not dealing with simply a single-flow equation, if
14 you will?

15 A. That's correct.

16 Q. And so you don't need any more sophisticated
17 model than the single-cell model?

18 A. That's right.

19 Q. Okay. Let's look at Exhibit 9. What does this
20 represent?

21 A. Exhibit 9 is simply five pages out of the DEA-44
22 Manual. It provides background assumptions to what's in
23 that model, and it's only provided here as background if
24 there are any questions regarding that model.

25 Q. Let's turn to Exhibit 10. You've indicated

1 production forecasts from three reservoir models.

2 A. That's correct.

3 Q. What are you attempting to forecast?

4 A. The expectations of a horizontal well.

5 Q. All right. You're taking the input parameters;
6 the forecast is to see what happens for this horizontal
7 well?

8 A. That's correct.

9 Q. You've run the forecast through nine years, is
10 it?

11 A. Yes.

12 Q. And that is the vertical scale?

13 A. Yes, that's correct.

14 Q. As we move horizontally from left to right, the
15 DEA-44 model, what do those numbers represent?

16 A. If I could back up for just one second.

17 Prior to running the model horizontally, the
18 first step in any of these models is to try to model a
19 vertical well. Can I get this model to ensure that it will
20 tell me what a vertical well can do?

21 Each of these has a switch, that once I've
22 modeled the vertical, throw the switch to find the
23 horizontal parameters through the reservoir, and it gives
24 me a horizontal well forecast.

25 So the first step here was to model the vertical

1 well.

2 A while back I told you that -- and showed you an
3 exhibit that said that a typical vertical well will produce
4 200,000 barrels of oil.

5 So the first step was to define my parameters. I
6 input what we felt were basic flow parameters for this
7 reservoir, and within -- There was no tweaking of the data.
8 Essentially, I had a match from moment one. I had to
9 adjust the permeability from .4 -- no, .3 to .2, and we had
10 our match.

11 Q. What are you matching?

12 A. The production history.

13 Q. Of the vertical well?

14 A. That's correct.

15 Q. And which vertical wells did you use for your
16 history match?

17 A. Essentially, they're all within a certain fairway
18 in there. There are seven or eight wells that are all
19 producing with very similar rates, 200 barrels a day, and
20 we've got their reserves estimated at 200,000 to 250,000
21 barrels of oil.

22 So I wasn't really history matching each data
23 point; I was looking primarily for initial production rates
24 and ultimate recovery.

25 Q. Were you able to successfully history match all

1 three models on vertical wells?

2 A. Well, I should probably, before I answer that,
3 define the three models, because one of them is only a
4 vertical model.

5 Q. All right, sir, let's do that.

6 A. Okay. The first model, as I've already
7 described, is the DEA-44 model. As I said a moment ago,
8 that's an out-of-house model done by Maurer Engineering.
9 It has the ability to run a case for modeling a vertical
10 well, throw the switch and run it horizontal.

11 The second model, the forecast shown on Exhibit
12 10 here, is a Phillips in-house model, very similar in its
13 design to the Maurer Engineering model. It's a horizontal
14 model. You can model vertically and then model
15 horizontally as well.

16 The third model is a tad unique. It is also a
17 Phillips in-house model, but it's one that only models a
18 vertical well. However, through our efforts at Phillips we
19 have shown that a horizontal well can be equated to a
20 vertical well with very large negative skin.

21 Said another way, equated to a vertical well with
22 a very large frac job.

23 We can go through a mathematical manipulation to
24 take 2166 feet of horizontal length, convert that to a skin
25 which is equivalent to the vertical types of skin we're

1 used to.

2 In this case, that calculation came out to minus
3 6. If you're familiar with rate-time analysis, that would
4 be equivalent to a very large frac job.

5 So once that was done, then all we do is model
6 the well, after this conversion, if you will, as a vertical
7 well. And so the third column that you're looking at, is
8 that vertical model.

9 It was just another way of looking at the
10 problem. I wanted to investigate all three for
11 consistency, because I knew all those thicknesses are
12 available to me, so we did that.

13 Q. With what result, Mr. Schramko?

14 A. Well, I guess I started to answer my own
15 question. The results were very consistent.

16 Q. And what did they tell you?

17 A. At the bottom of Exhibit 10, we're seeing
18 ultimate recoveries ranging from 628 to 661.

19 In fact, if I might make a note here, I just
20 noticed something of a mistake in my exhibit.

21 At the bottom of Exhibit 10, where I say
22 "Ultimate Recovery (MBO)", does everybody see that? At the
23 bottom of the exhibit where I list ultimate recovery for
24 each --

25 Q. You're short an "M"?

1 A. No, that's correct --

2 Q. Is that correct?

3 A. -- but you'll also notice I labeled each of the
4 individual columns as "BOPD". That "BOPD" should be
5 scratched. I just --

6 Q. Yeah, we're talking about ultimate recovery.

7 A. It's ultimate recovery, MBOs.

8 So the answer to the question is, the well should
9 produce approximately 650,000 barrels of oil. That's a
10 reasonable expectation.

11 Q. How does that compare to what you would expect to
12 ultimately recover if you had the ability to drill three
13 vertical wells, one in each of the three spacing units?

14 A. Well, it's almost exact. As I stated, a typical
15 vertical well would do 200,000 barrels, plus or minus. So
16 if you added three of those up, you would have 600,000.
17 I'm calling them the same. So you'd recover 600,000 total
18 barrels if you had three vertical wells.

19 Q. Do you have any opinion as to whether there's
20 inherently any production advantage, then, to the
21 horizontal well in terms of total recovery, versus the
22 three vertical wells?

23 A. I would expect it to be the same.

24 There was one other point I failed to make, and
25 that is that -- rules of thumb in the industry. If I gave

1 you no information at all about a horizontal well except to
2 tell you what a vertical well would do, 200,000 barrels,
3 the experts in the industry, in the horizontal world, would
4 tell you, expect 2 1/2 times a vertical well for ultimate
5 recovery.

6 So I sort of had that knowledge also that we're
7 in order here. Two and a half times a 200,000-barrel well
8 would be 500,000 barrels, rule of thumb.

9 And so, again, I'm just leading up to the
10 consistency. To me, this all ties together in what we
11 would -- should reasonably expect from the well.

12 Q. Let's turn now to the details of the rate-time
13 process.

14 If you'll look at Exhibit 11, describe for us the
15 engineering significance of this type curve that you've
16 shown.

17 A. Okay, Exhibit 11 represents a family of type
18 curves, and on each of your exhibits there is one curve on
19 there that is highlighted in yellow.

20 Through a sequence of computations relative to
21 the length of this horizontal well, the height, the
22 wellbore radius, you can define which of the curves on here
23 is the one I would be using. Having gone through that, the
24 curve we can talk about is the one highlighted in yellow.

25 What that means is, the horizontal well that

1 we're describing should traverse along the path of the
2 curve that's highlighted in yellow.

3 Q. All right, sir. What purpose do then you utilize
4 that?

5 A. Well, once the production data has been obtained,
6 we would be plotting it on log log paper. We would be
7 attempting to overlay it on this type curve in an attempt
8 to obtain a unique match.

9 Once that match is obtained, we can select a
10 match point from anywhere, and using the equations shown at
11 the upper right -- t_D equals some stuff there, and q_D
12 equals some stuff, in the upper right -- we can calculate
13 the permeability and the effect of length, which is, in
14 effect, the skin damage.

15 So this is the rate-time process that I once
16 again went through.

17 Q. When we look at the application of the rate-time
18 process to the James E 9 horizontal well, under the
19 assumption that the Division approves the special test
20 period so that you can have additional rate early in the
21 life of the well, do you have an illustration that sets
22 forth that example?

23 If you look at Exhibit 12, can we not --

24 A. Yes, I --

25 Q. -- utilize that display --

1 A. Sure.

2 Q. -- for that --

3 A. Sure.

4 Q. -- purpose?

5 A. I wasn't sure I understood your question, but I
6 know where you're going.

7 Exhibit 12 shows us two behaviors from wells that
8 are represented identically, with two exceptions.

9 One of these, the red curve, represents a well
10 that has lower perm but is undamaged.

11 The blue curve represents the same well with
12 slightly higher perm, but it's damaged.

13 We can talk about the quantification of rate-time
14 analysis in great detail. But qualitatively, what we're
15 after in rate-time analysis is the ability to distinguish
16 between two curves, those two curves. The red one is an
17 undamaged well, the blue one is a damaged well. I need to
18 be able to distinguish between those two.

19 This exhibit is showing you that the undamaged
20 well should experience a steeper decline than the undamaged
21 well.

22 I'd now like to go on to the next exhibit.

23 Q. All right, let's put them side by side so that we
24 can see the comparison.

25 When you look at Exhibit 13 --

1 A. These are the same two wells. But, because we
2 were unable to produce the well at these wide-open rates,
3 we are artificially, then, we'll say, constrained by the
4 allowable of 561. Both of these wells would produce for
5 nine months at that constant rate.

6 In the tenth month they would both begin to
7 decline, identically. In the eleventh month they both
8 decline, again identically. In the first year there,
9 you'll notice that the two curves begin to separate.

10 In the absence of a special test period, this is
11 the type of data that I would have. I would be asked, Is
12 this well damaged or undamaged? And I'm saying that I
13 can't distinguish that red curve and blue curve.

14 The differences between them out in the second
15 year are approximately 50 barrels a day, and since we know
16 real field data isn't going to be nice and exact, it's
17 going to have erratic ups and downs in it, I'm not going to
18 be able to distinguish between those two at all.

19 So let me back up again to Exhibit 12.

20 I have the ability, if the special test period is
21 granted, to distinguish between a damaged and an undamaged
22 well.

23 Q. Show me using Exhibit 12 an illustration of the
24 data points that you would have available if you were
25 granted approval for a twelve-month test.

1 A. Okay. Using Exhibit 12, let's talk about the red
2 curve, and in the first month of production, the well
3 produces -- oh, that looks to be about 1275 barrels a day,
4 something just under 1300 barrels a day.

5 At the end of one year that well would have
6 declined to a rate of approximately 350 barrels a day. And
7 of course I would have twelve data points, ten in between
8 those two, describing the character of the well.

9 Q. Would that be sufficient data points for you as
10 an engineer with your expertise in this area, then, to have
11 a clear indication of whether you were looking at a well
12 that had high permeability and no damage, versus a low-
13 permeability well that was undamaged?

14 A. Most definitely. When we first started this --
15 Again, when we requested twelve months, I looked at that
16 and I said, you know, after twelve months the curve is
17 starting to smooth out. Much beyond one year -- If I can't
18 get it in the first year, I don't have it, I don't have my
19 match.

20 As you know, we've altered our request for six
21 months, and the thing that I went back and looked at was,
22 the real character was defined within the first six months.
23 Once you've nailed it down, you can see the first three
24 months really put you in line. That character is defined
25 by the first six months.

1 So realistically, we can perform this test in six
2 months if all production equipment will cooperate and we
3 can collect the data, which we fully expect we should.

4 Q. Did Bass employees express to Phillips employees
5 their concern about the twelve-month test period?

6 A. Well, maybe some history is in order.

7 I have been trying for about four weeks -- Let me
8 back up even a tad further.

9 Since the inception of this special test period,
10 the thought which I created -- I honestly felt like I
11 didn't understand their objection. I never expected an
12 objection, because if they are to drill a well south of us,
13 then they would find great use in this data.

14 So following the results of the last Examiner
15 hearing, I tried immediately or shortly thereafter to get
16 ahold of Bass, find out what their concerns were, what --
17 Let's talk about this.

18 I went over to their office, met with three of
19 their engineers and their landman, Wayne Bailey, and I
20 explained using these same exhibits what our intentions
21 were. And I asked them, What concerns do you have, what
22 problems do you have?

23 I never got what I would call any real feedback
24 to tell me what their concerns were. In roundabout ways
25 they talked about drainage, they talked about -- that,

1 that's about it.

2 I was asking -- The specific question I was
3 asking, is there something we can do to this special test
4 that would really address the concerns you have?

5 So I was trying for four weeks, right on up until
6 I caught my plane to come up here, to find out what their
7 concerns were.

8 I'm still not sure, other than I know that they
9 seem to have expressed that if we cut the test to six
10 months, made up the overproduction within six months, that
11 that would be satisfactory to them.

12 Q. Have you examined whether or not you could
13 achieve sufficient information -- If you reduced the test
14 period to six months, would you still have useful data by
15 which you could make judgments about the well?

16 A. Yes.

17 I want to go one step further and say that if the
18 test was to be reduced much less than six months, you're
19 getting into the point where, yes, we might be able to
20 conduct the test, but now you're into limiting the data
21 points to such a few number that probably in the end I'd be
22 unable to analyze it.

23 Again, the production data -- This is computer-
24 generated data. Real data has ups and downs and spikes.
25 You've got to be cognizant of those, know how to account

1 for that spiky behavior, and have enough data points so
2 that that spiky behavior can be seen through, so that you
3 can see trends and what's actually going on.

4 Six months is reasonable. We can live with that
5 and conduct a test.

6 Q. Turn now to Exhibit Number 14. Identify that
7 display for us.

8 A. Exhibit 14 addresses the flow velocity of fluids
9 in the reservoir, and it's our way of showing that a
10 horizontal well would not damage this reservoir.

11 Q. How does this tell you that?

12 A. Basically by addressing fluid velocity.

13 The elements that cause damage in a reservoir are
14 related to the flow movement, the movement of fluids
15 through that reservoir. The higher the rate of withdrawal,
16 the more likely you are to cause fine migration, cause
17 coning of water, gas, if that's an issue.

18 The issues that drive damage in a reservoir, that
19 we're trying to address in terms of could a horizontal hurt
20 this?, are related to fluid velocity.

21 So we're using fluid velocity here to show you
22 that in fact, jumping to the answer, the fluid velocity in
23 this horizontal well would be seven times less than, or 6.8
24 times less than, the flow velocity in a vertical well.

25 The movement of fluids in this horizontal well

1 are seven times less than in a vertical well, and therefore
2 less damaging.

3 Perhaps I should -- Should I go through the
4 specifics?

5 Q. No, sir, I think that's sufficient. Let's go on
6 to Exhibit Number 15.

7 And before we talk about it specifically, one of
8 the issues at the Examiner hearing was an attempt to
9 illustrate the potential recoverable oil that was at risk
10 in the absence of approval of the test.

11 Subsequent to that hearing, have you re-
12 investigated that concern?

13 A. Yes, I have.

14 Q. Have you attempted to quantify the potential
15 magnitude of recoverable oil that might be unrecovered if
16 the test period is not approved?

17 A. Yes, I have.

18 Q. In terms of that analysis, have you arranged your
19 conclusions in the form of an illustrative display?

20 A. Yes.

21 Q. And that's Exhibit Number 15?

22 A. (Nods)

23 Q. All right. There's a larger copy of that, and
24 let me display that.

25 A. Tom, I wonder, could we move it over here? I was

1 going to use a pointer.

2 Or I can work from there, I guess. It's probably
3 not --

4 Q. Let's try it over there by you and see if --

5 A. Either way it will work, I think.

6 Q. -- see if that blocks anybody's view.

7 A. I'm going to be talking about the various blocks,
8 and so I was going to use --

9 Q. All right, let's try it this way.

10 A. Yeah, I think that will work.

11 Q. Do you have a pointer?

12 A. Sure. Okay, this exhibit is put together to show
13 you that there are some conditions out there where this
14 test period could result in the recovery of 100,000 barrels
15 of additional oil, and I want to direct your eyes first to
16 the top right side where I'm outlining those conditions.

17 Q. It's captioned "Specific Analysis of Horizontal
18 Wells"?

19 A. That's correct.

20 Q. The first condition assumes what, sir?

21 A. That as we outline, we will drill the 2166-foot
22 horizontal well.

23 Q. With the expectation of what forecasted
24 recoverable reserves?

25 A. 628,000 barrels of oil.

1 Q. If that wellbore experiences some skin damage
2 that you might otherwise correct if you knew, have you made
3 an assessment of what might be the effective length of that
4 producing wellbore? Even though it might be 2166 feet
5 long, what would be its true effective length?

6 A. Of course, I could have made several selections
7 along here. The one that I chose is a condition where the
8 last 466 feet of the well, leaving 1700 feet of the well
9 open, the last 466 feet is so damaged it's noncontributing
10 at all. So that in effect I have a 1700-foot horizontal
11 well.

12 Q. Is there a reasonable engineering probability
13 that that could actually happen?

14 A. Yes, that's quite reasonable.

15 Q. And what would be the result, then, of that
16 occurrence for this well in terms of its recoverable oil?

17 A. The result would be a shrinkage of the drainage
18 area. It's easiest to visualize if you picture it as the
19 tip or the initial 466 feet.

20 If I've drilled the well out there, I expect the
21 tip to contribute oil from the tip. If in fact, the last
22 466 feet is not contributing, that means that my effective
23 tip is only 1700 feet long, and so there's oil out beyond
24 the horizontal well that I would not drain.

25 When I put this condition into the model and

1 asked it to predict how much recovery, the number was
2 526,000 barrels of oil.

3 Q. So under this example, how much recoverable oil
4 is at risk if in fact there's skin-damaged horizontal
5 wellbore?

6 A. The difference between those two, 102,000,
7 actually. I labeled it as 100,000 to round it off.

8 Q. As an engineer with expertise in this area, let's
9 have you give us a summary of how you would go about
10 analyzing this wellbore under the various risk components
11 of doing this work, with the test data information and, in
12 the alternative, without the test information. Have you
13 analyzed it in that fashion?

14 A. Yes, I have.

15 Q. Describe for us, without reading this entire
16 table, how you went through the process.

17 A. What I first want to say is that this is a
18 quantification of a thought process.

19 If I stand before you and say I wouldn't
20 stimulate an undamaged well, you have good reason to put
21 that statement and quiz me on that. How did I come to that
22 assessment? Why wouldn't I stimulate an undamaged well?
23 We do it all the time in vertical wells. We don't know
24 it's damaged; it's part of our typical completion in a
25 vertical well, stimulate it.

1 So now we're talking about a horizontal well, and
2 I'm going to say, I'm not going to stimulate this well
3 unless it is -- unless I know it is damaged.

4 What these numbers show throughout here where
5 you're looking at probabilities, wellbore conditions,
6 what's going on, is the quantification of that thought
7 process that helps me to arrive at the conclusion that I
8 wouldn't stimulate the well unless I know it's damaged.

9 Starting in the left side where it's titled,
10 "General Risk Analysis of Stimulations", all this is doing
11 is outlining several wellbore conditions, identifying the
12 possible outcomes and assigning a probability to what could
13 happen following a stimulation.

14 I've made a distinction between early in the
15 life, versus later in the life. The ideal time to
16 stimulate a well is early in its life when you've got all
17 the reservoir pressure you might have working for you to
18 clean the fluids out.

19 It's particularly significant in a horizontal
20 well. The point being that the probability of success, of
21 removing damage, is improved if I do it early in its life,
22 as opposed to a year or two or three years down the road.

23 The probabilities that are shown under the
24 General Risk Analysis of Stimulations are then applied to
25 the two situations that I might have: one, the test period

1 center is granted. And that issue is addressed in the
2 lower portion, if the test period is granted.

3 And I've also applied these same probabilities to
4 what happens if the test period is not granted, shown in
5 the lower right corner.

6 The answer that I'm attempting to arrive at as an
7 engineer is the risk assessment of what all can happen, and
8 that's the purpose of these probabilities. We might get
9 complete removal of damage, partial removal, we might do
10 nothing, we might damage the well. And there's this one
11 other item that hangs out there: We might actually lose
12 the well.

13 So we have a well that has this effective length
14 of 1700 feet, and I don't know it.

15 The strange thing is, that well with its
16 effective length of 1700 feet will come on at good rates.
17 They'll be strong, so strong that this well will produce at
18 the 561-barrel-a-day allowable for quite some time before
19 declining.

20 Q. Let me ask you something about the rate. What is
21 the practice of Phillips in the pool with regards to how
22 high you flow the well?

23 A. The allowable, is that -- ?

24 Q. Yes, sir. Separate the allowable. Forget the
25 allowable.

1 Is there any risk in the reservoir or to the
2 wells if they're produced at capacity?

3 A. No.

4 Q. When you say wide open, you're talking about
5 capacity?

6 A. Yes.

7 Q. Can you give us a range of choke settings? What
8 do you do in the field when you put a well on wide open?

9 A. Well, when you talk about existing wells, we're
10 talking about wells on pump jacks. So wide open would
11 simply mean keep the pump jack running 24 hours a day,
12 maximizing the stroke length and things of that sort,
13 pulling out the maximum amount of oil.

14 Q. For this example, what you're looking at is the
15 horizontal well as a flowing well?

16 A. No, this is -- We'll have a submersible in the
17 well. So this condition would be putting the submersible
18 in the well, turning the well on, allowing the submersible
19 to remove the fluids and leave the well alone.

20 The way to deal with it if in fact the allowable
21 is imposed and the well must honor that would be several
22 choices: You can put in a smaller sub to begin with, or
23 leave the larger sub in the well and shut it off, let it
24 run eight hours a day. Those would be your choices.

25 Q. What's the basis for the maximum rate in your

1 request of the 1683 barrels a day?

2 A. The basis is that that's our reasonable
3 expectation of what the well might do. I don't under any
4 stretch of the imagination believe the well could do any
5 more than that.

6 Q. So that's the ceiling cap for the test period
7 allowable on a daily basis?

8 A. Yes.

9 Q. Whatever that well will do, you want the
10 opportunity to do it in the first six months?

11 A. Correct.

12 Q. And if by happenstance or otherwise it exceeds
13 its allowable by the end of the six-month period, any
14 overproduction is going to be balanced by the end of the
15 second six-month period?

16 A. That is correct.

17 Q. All right. So based upon real-world experience
18 with this wellbore, you're going to make the appropriate
19 adjustments so that you balance at the end of the year?

20 A. That is correct.

21 Q. If that's approved, do you see any opportunity to
22 violate the correlative rights of Bass?

23 A. No.

24 Q. When you're looking at the test period granted
25 versus not granted and you've gone through your risk

1 analysis as you've outlined it for us on Exhibit Number 15,
2 what's the point -- When we get to the line in the block
3 that says "Test Period is Granted", there's a risk benefit
4 of 22,000 barrels; we get over into the other block, it's
5 not granted, there's a negative number of 20,000 barrels.
6 What significance is that to you as the engineer?

7 A. The significance is -- not so much the magnitude
8 of the numbers, really, but the fact that one is positive
9 and one is negative.

10 What it's in effect saying is that if the test
11 period is granted and the condition that I talked about a
12 moment ago, this effective length of 1700, is identified,
13 and I know that's the condition, then I'm going to -- then
14 there's only five conditions that can happen if I go and
15 stimulate it, and I've listed there: I can get complete
16 removal, partial removal, no change in the well's behavior,
17 I can cause damage, or lose the well. Those five outcomes
18 result in a positive incremental oil recovery, 22,000
19 barrels.

20 Conversely, if the test period is not granted, I
21 end up with a negative number, basically because I'm going
22 into what might be an undamaged well. That's really the
23 only difference between these two cases.

24 In the case where the test period is not granted,
25 I might be entering a well that's not requiring damage

1 [sic], and in that case, the only outcome can be negative
2 -- well, or no change.

3 So I could actually damage the well, and that can
4 be caused by precipitation of acid in the formation, any
5 number of reasons why, not to mention mechanical risks that
6 you're putting on the well.

7 Again, putting coiled tubing out in the well,
8 it's not a straightforward operation. We do it all the
9 time, but it happens where you push it out there and it
10 twists off and -- You can go so far as to say you could end
11 up P-and-A'ing the well. Small likelihood of outcome. But
12 when you multiply that small likelihood of outcome against
13 a very big reserve number of 526,000 barrels, it adds up.

14 It's no different than if I said to somebody, You
15 inherited a good well. Somebody comes along and says, Why
16 don't you stimulate it, and it will be an excellent well?
17 Well, you've already concluded in your mind it's an
18 excellent well. You know in the back of your mind that,
19 I'm happy with what I've got.

20 It's the old adage, Don't mess with a good thing.
21 In this case you're saying, Don't even think about touching
22 this good thing, because that well that I described, the
23 1700-foot effective length, that's a good well. 526,000
24 barrels of oil, we'd be happy with that.

25 I'm not saying Phillips is going to stand up and

1 say that's a poor well. The fact is, there's still another
2 100,000 barrels that might be recovered. If we can
3 identify it, we'll go in there and try to get it. If we
4 can't identify it, we'll live with that well.

5 Q. Well, and the problem is that you may have made a
6 mistake that you could otherwise avoid?

7 A. That's correct.

8 Q. Have you attempted to quantify the magnitude of
9 oil produced under the test period to see what effect that
10 has?

11 A. Yes.

12 Q. You've run a forecast of production, have you
13 not?

14 A. Yes.

15 Q. Let's turn to that. It's Exhibit 16. Describe
16 for us how you've organized or arranged the display, and
17 then let me ask you some questions about the details.

18 A. Okay. What you're looking at here is a twelve-
19 month production forecast, the first column being the same
20 reasonable expectations I've been talking about throughout
21 this hearing. I will say that that is the exact data
22 shown, relative to the DEA-44 model output. They're one
23 and the same, the difference being that earlier you were
24 looking at an average daily rate over the first year; now
25 you're looking at each of the monthly outputs.

1 So the first column is the actual production that
2 we could expect from this well over a twelve-month period.

3 The second column is straightforward. It's
4 labeled as the project allowable, 561.

5 The third column would be the monthly
6 overproduction that would result if the well was produced
7 at the rates that I described in the first column, honoring
8 the allowable shown in the second column.

9 So in the first month of production, if the well
10 is produced at 1600 barrels a day, with the project
11 allowable of 561, that well at the end of month one would
12 have 31,000 barrels of overproduction. The same for each
13 of the subsequent months.

14 And in the last column you're simply looking at a
15 cumulative number for each of the months. So by the end of
16 the second month, we would have a cumulative overage of
17 57,000 barrels.

18 Q. If you go down to the end of the twelfth month
19 and read to the far right column, the total magnitude of
20 overproduction under this illustration is 147,000 barrels
21 of oil?

22 A. That is correct.

23 Q. All right. And your plan was then to take the
24 next twelve-month period and to make that up, if you will?

25 A. That's right.

1 Q. All right. If we draw the line and delete the
2 last six months, take the test period back to a six-month
3 period, what is the potential cumulative overproduction in
4 barrels of oil?

5 A. 123,000 barrels.

6 Q. All right. And how would you propose to make
7 that up?

8 A. The well would be shut in immediately. In fact,
9 there is a slight -- In order for that well under these
10 conditions to make up all the overage before the end of
11 twelve months, it would have to actually be shut in before
12 the sixth month.

13 Q. Well, and you would have the ability to do that
14 as the engineer?

15 A. That's correct.

16 Q. All right. If it were less than that number, if
17 for some reason the well didn't perform that well and it's
18 not 123,000 barrels of oil, then you're seeking the second
19 six-month period in which to balance it?

20 A. That's correct.

21 Q. So there may --

22 A. Under any condition.

23 Q. There may be an opportunity where you could
24 continue to produce the well, taking the excess allowable,
25 applying it to the overproduction so that you eventually

1 balance?

2 A. Yes, there is a very likely outcome where if the
3 well begins to initially produce at only 1000 barrels a day
4 and then engages in its decline, that that well would be
5 overproduced only 40,000 barrels at the end of the six-
6 month period.

7 We're asking that instead of having to shut the
8 well in, which can -- Let me say, in other words, you don't
9 want to shut in good wells. You'd like to keep them
10 producing, even if it's at a small volume.

11 What we're asking for is the flexibility as the
12 operator -- We'll make it up, we just want to be able to do
13 it ourselves, because I can't lay out every possible
14 scenario.

15 If it's 40,000 barrels overproduced, one option,
16 one logical option that we would probably select, is to
17 produce the well at 40 percent of its capacity, something
18 like -- or I should say 40 percent of its allowable, 200
19 barrels a day. If the well is 40,000 barrels overproduced,
20 starting in the seventh month, if we produced at 200
21 barrels a day for the next six months, the overproduction
22 at the end of the year would be zero.

23 Now, the alternative is to say to us, No, shut
24 the well in. It's a possible outcome, but it's one that we
25 really don't want to do. We've got a good well on our

1 hands, its reserves to the state and to Phillips, it's a
2 good well, you just don't want to shut it in and let it sit
3 there for three or four months.

4 Your -- Everybody's best interests are best
5 served by letting that well produce at some small number.

6 But since there's so many combinations as to what
7 can happen, we're just saying, we're asking that Phillips
8 be given the discretion to make it up, the condition being
9 that at the end of twelve months the overproduction is
10 zero.

11 Q. Can you illustrate or quantify what the magnitude
12 is of 123,000 barrels of overproduction in this particular
13 reservoir? What does it mean?

14 A. Earlier I stated that the oil in place is 1
15 million barrels for each 40-acre tract.

16 So the project area for this horizontal well is
17 three tracts. That's 3 million barrels.

18 What we're asking for is the ability to
19 overproduce the well 123,000. The math is, that is four
20 percent of the total oil in place on the Phillips acreage.
21 We're saying that's a small, insignificant, almost
22 negligible amount of overproduction, such that drainage is
23 a nonissue.

24 MR. KELLAHIN: That concludes my examination of
25 Mr. Schramko.

1 We move the introduction of his Exhibits 1
2 through 16.

3 CHAIRMAN LEMAY: Exhibits 1 through 16 will be
4 admitted into the record without objection.

5 And Mr. Campbell?

6 MR. CAMPBELL: Mr. Chairman, Mr. Kellahin at the
7 start of his opening was more complimentary of my
8 experience over here than he should have been. I haven't
9 presented a case here in almost a decade, and Bill Carr was
10 on the other side of it, so bear with me if the need
11 arises.

12 But it's nice to be back here again.

13 CHAIRMAN LEMAY: Thank you, it's nice to have you
14 back.

15 CROSS-EXAMINATION

16 BY MR. CAMPBELL:

17 Q. Mr. Schramko, could you retrieve your Exhibit
18 Number 1, please?

19 A. Yes.

20 Q. This plat demonstrates the surface acreage
21 locations of a variety of wells relative to your
22 Application here, and it would appear that the subject area
23 is principally within the potash boundary, correct?

24 A. That is correct.

25 Q. Now, your plat does not show, does it, who is the

1 owner of the Section 14 acreage offsetting your proposal to
2 the south, does it?

3 A. The owner?

4 Q. Yes.

5 A. It is the James Ranch unit.

6 Q. Do you know that Bass is a lessee in that
7 Section-14 tract?

8 A. I'm hesitating to answer you. We do have people
9 here with our land group. If it's of significance that I
10 know -- I know Bass is the operator of the James Ranch
11 unit. That's as much as I'm willing to say.

12 When you say lessees and get into certain
13 terminologies of that sort --

14 Q. All right.

15 A. -- I don't want to answer and address those
16 questions.

17 Q. You can confirm, though, can you not, that the
18 Section 14 portion of the James Ranch unit is itself within
19 the exterior boundaries of the potash unit?

20 A. Yes.

21 Q. Exhibit Number 2, that is now in evidence, is
22 then a blow-up of the area of your proposed horizontal
23 well; is that correct?

24 A. Yes.

25 Q. And again, we do not -- you have not attempted to

1 illustrate ownership to the offset in Section 14; is that
2 correct?

3 A. I guess that's correct.

4 Q. Now, as I understand it, you have examined --
5 prepared to examine three models relative to the work
6 you've done here; is that correct?

7 A. Can I back up here a second to your question
8 regarding Exhibit 1? I don't know if you're asking me if
9 we failed in our labeling of this exhibit, but over in
10 Exhibit 12 we do list the operator as Bass Enterprises.

11 Q. No, I'm not --

12 A. That's not the issue that you're --

13 Q. I'm not suggesting anything --

14 A. Okay.

15 Q. -- nefarious --

16 A. Okay.

17 Q. -- there.

18 A. All right.

19 Q. You have prepared relative to your tract three
20 models, single-cell tank models to examine the effect of
21 your operations; is that correct?

22 A. That is correct.

23 Q. And the parameters of all of those models assumed
24 a drainage radius of only 660 feet; is that right?

25 A. That is correct.

1 Q. So that if one were to attempt to overlay the
2 drainage radius in your models over the surface acreage
3 illustrated on Exhibit 2, what -- Can you tell the
4 Commission what generally would be the shape of that
5 drainage radius used in your models?

6 A. Something on the order of an ellipse.

7 Q. An ellipse that would extend only slightly into
8 Section 14; is that accurate?

9 A. I suppose it's possible.

10 Q. You do not have an exhibit that would overlay the
11 drainage radius you used in all of your models over the
12 surface illustration demonstrated in Exhibit 2; is that
13 correct?

14 A. You're asking me if I do not have that exhibit?

15 Q. You did not --

16 A. That is correct.

17 Q. -- prepare such an exhibit?

18 A. That is correct.

19 Q. But if you were to prepare one, then you could --
20 it would be roughly an ellipse 660 feet from the centerline
21 of your horizontal well on Exhibit 2, correct?

22 A. That would be correct.

23 Q. And generally, if you were to overlay such an
24 ellipse, you would see, would you not, that the drainage
25 area you have utilized in all of your models extends only

1 slightly into Section 14, right?

2 A. That would be correct, you'd be referring to the
3 drainage area upon the depletion of this well.

4 When this well has produced its 628,000th barrel,
5 that drainage area could be over on that acreage.

6 Q. Now, from Exhibit -- Exhibit Number 9 is your --
7 you have simply provided as background for us to try to
8 explain the -- to try to understand what a single-cell tank
9 model is; is that right?

10 A. Sure.

11 Q. And as I read that Exhibit Number 9, a core
12 parameter of your reservoir studies using this closed-tank
13 model is that outside of this closed tank, outside of this
14 single cell, which we have defined to be 660 feet in an
15 ellipse, that there is a no-flow boundary outside of that
16 ellipse; is that correct?

17 A. That would be correct.

18 Q. So that applied to Exhibit Number 2, then, you
19 would assume -- your studies assume that there is no flow
20 into your single-cell model from acreage beyond a
21 relatively small portion of Section 14; is that correct?

22 A. Except to say that it was calibrated using a
23 vertical well --

24 Q. Right.

25 A. -- that does drain 40 acres, and that our

1 expectations would be that this horizontal well would
2 behave similar to three vertical wells.

3 Q. Right.

4 A. So when you say it's on a no-flow boundary, it is
5 in part an assumption, but it is also a determination.

6 Q. Well, but --

7 A. But if you're asking me if oil will move, yes,
8 oil can move.

9 Q. Yes, but with respect to the model you have used,
10 you have assumed there would be no movement of oil into
11 your ellipse from acreage outside of your ellipse; is that
12 correct?

13 A. Well, as I stated, it is -- it is in the model in
14 that fashion. You're calling it an assumption, I'm saying
15 it is part assumption and part a determination.

16 Q. Now, Exhibits 5 and 6, sir, are geologic maps; is
17 that correct?

18 A. Yes.

19 Q. And particularly Exhibit 6 is an isopach map
20 showing the thickness of the pay zone in the area that
21 we're examining; is that right?

22 A. It is the gross sand thickness, yes.

23 Q. And it would appear to me, again, that your
24 mapping here, or the mapping that was done here on Exhibit
25 6, does not demonstrate with any particularity the

1 thicknesses as you move south into Section 14, the James
2 Ranch unit; is that correct?

3 A. Yes, it was deliberately stopped there because of
4 well control. I think you can reasonably assume the lines
5 continue without there being well control down there.

6 Q. Right, that would be a reasonable geologic
7 assumption, would it not?

8 A. Sure.

9 Q. So can we conclude from your Exhibit Number 6
10 that the pay thickness in Section 14 immediately to the
11 south of your acreage would be approximately the same as
12 the pay thickness where you're proposing your horizontal
13 well?

14 A. That would be a reasonable assumption.

15 Q. Now, was it your direct testimony, sir, that you
16 do not understand the protest that Bass is making in the
17 case?

18 A. Yes.

19 Q. Do you understand that they are here to
20 demonstrate that this special test period and
21 overproduction will drain acreage in Section 14?

22 A. Sure.

23 Q. And you knew that back at the end of the first
24 Examiner hearing, did you not, on the basis of a letter
25 that was read into the record by representatives of Bass?

1 A. Did I know what?

2 Q. That Bass's protest was that your activity
3 presented them with potential drainage of their acreage?
4 You knew that then, did you not?

5 A. If you leave this concern to the words
6 "drainage", yes, I knew that. But that's the extent of
7 what I --

8 Q. All right. Did you attempt to modify or
9 supplement in any fashion the modeling that you had done in
10 the previous hearing, based upon your understanding that
11 Bass's concern was offsetting drainage?

12 A. Did I do additional model runs?

13 Q. Yes.

14 A. No.

15 Q. Now, you talked a bit about this issue of rate-
16 time analysis and it being an industry fact that Phillips
17 is a pioneer in that area?

18 A. That is correct.

19 Q. And it would appear to me, not being technically
20 astute, that the purpose of a rate-time analysis is to
21 examine reservoir performance. Generally, it's conducted
22 over an extended period of time; is that right?

23 A. Yes.

24 Q. You're examining a production decline as a
25 function of time; is that right?

1 A. Correct.

2 Q. And rate-time analysis is -- There's nothing new
3 about that in the oil and gas industry, is there not?

4 A. There's new inventions and techniques that come
5 out every day.

6 Q. The general core concepts of rate-time analysis,
7 decline-curve analysis, have not changed over time to any
8 real --

9 A. They've changed tremendously over time.

10 Q. It occurs to me that what you're asking to do
11 here is speed up in time your ability to analyze data that
12 you would otherwise have to wait for a period of time to
13 examine; is that a fair statement?

14 A. No.

15 Q. You are wanting by your Application today to
16 produce these wells at open flow absolute capability, are
17 you not?

18 A. Yes.

19 Q. And you first asked the Examiner to do that for
20 twelve months, correct?

21 A. Correct.

22 Q. You are now asking the Commission to do that for
23 six months; is that correct?

24 A. That's correct.

25 Q. And it's your purpose in doing that, as I

1 understood your direct testimony, to obtain data relative
2 to decline circumstances and production data sooner than
3 you otherwise would, correct?

4 A. No, it's the only way I can. Not sooner. The
5 only way.

6 Q. Wouldn't that analysis be applicable to every oil
7 well in the State of New Mexico?

8 A. What analysis is that?

9 Q. Your analysis that you should be entitled to an
10 expedited production in order to assess the data that is
11 yielded from that expedited production in a reservoir?

12 A. This is a horizontal well being drilled in
13 unusual circumstances. I don't think it should be compared
14 to every well in the State of New Mexico.

15 Q. Okay, but I thought you had indicated that the
16 horizontal well we're talking about here, you expect no
17 overall difference in performance than you would get from
18 three vertical wells. Did I misunderstand you?

19 A. No, you didn't misunderstand anything. I think
20 the difference here --

21 Q. Uh-huh.

22 A. -- is when we talk about vertical wells, when I
23 have drilled our last vertical well, I went into that with
24 a complete understanding of what my expectations were by
25 comparing it to offset production.

1 I was probably accurate in forecasting its
2 initial rate within plus or minus five, ten percent. I
3 would never stand here and say that on a horizontal well I
4 can make that same determination within five or ten
5 percent. What we have done here are expectations that we
6 think are reasonable.

7 Q. Have you ever participated at any prior hearing
8 at the Commission in which such an expedited overproduction
9 had been sought for purposes of retrieving test data?

10 A. No, I have not.

11 Q. And I think I heard you say that you personally
12 created this concept of seeking overproduction for an
13 extended period of time; is that --

14 A. I'm responsible for having thought through the
15 rate-time benefits, yes.

16 Q. I mean, this concept of overproduction for an
17 extended period of time at the start of production would
18 aid you in assessing rate-time effects, would it not, as an
19 engineer?

20 A. Yes.

21 Q. I mean, it would aid any engineer, would it not?

22 A. Yes.

23 Q. In any well?

24 A. Yes, but in some wells it wouldn't be as
25 necessary as with this one. In many wells, I couldn't

1 demonstrate 100,000 barrels of incremental potential
2 recovery.

3 Q. Well, would it be beneficial, in your
4 professional judgment, with respect to every horizontal
5 well?

6 A. I'd have to look at each individual circumstance,
7 but it is something I might consider.

8 Q. Does the existence of a potash boundary here have
9 any particular impact on whether you need it or not, or is
10 it just the horizontal nature of the well?

11 A. The element is present. Given our choices, we'd
12 rather drill three verticals. We're obligated to drill a
13 horizontal if we are to recover the reserves that are out
14 under drill locations N and O.

15 Q. And you're not expecting any real difference in
16 ultimate recovery due to the fact that this is a horizontal
17 well versus three vertical wells, are you?

18 A. Could you ask that again?

19 Q. You're not expecting any real differences in
20 ultimate recovery due to the fact that this is a horizontal
21 well versus three vertical wells?

22 A. That's correct.

23 Q. Now, could you turn to Exhibit Number 16, if you
24 would, sir? This is a summary table of your expected
25 overproductions if you -- if Phillips is granted the

1 Application; is that right?

2 A. That's correct.

3 Q. And this is the same exhibit you introduced in
4 the Examiner's hearing?

5 A. That's correct.

6 Q. And all we would be looking at here relative to
7 your modification today of the test period from twelve to
8 six months, we can then look at the overproduction that
9 would occur in six months rather than in twelve, correct?

10 A. That would be correct.

11 Q. Now, do I read the table correctly to appreciate
12 that at the end of six months, you anticipate you're going
13 to be 123,000 barrels overproduced?

14 A. Correct.

15 Q. Versus your expectation of being overproduced
16 147,000 barrels at twelve months?

17 A. That is correct.

18 Q. So again, not being an engineer, it would appear
19 to me that approximately 84, 85 percent of the
20 overproduction that will occur if this Application is
21 granted will occur in the first six months; is that right?

22 A. Yes.

23 Q. Now, I think you testified at the Examiner's
24 hearing that you -- There is an oil-water contact in your
25 acreage; is that right?

1 A. That is correct.

2 Q. And have you determined how close to the oil-
3 water contact the horizontal borehole will be?

4 A. Twenty-five feet.

5 Q. Is that -- That's relatively close in terms of
6 your business?

7 A. Relatively close? In terms of --

8 Q. Where you would want to be or where you --

9 A. It's where it's going to be. I'm not sure I
10 understand the question.

11 Q. Well, do you anticipate that your well is going
12 to produce water, sir?

13 A. That we can't be sure of. I really don't know.

14 Q. I mean, your models don't have any water flow
15 criteria in them, do they?

16 A. That's correct, they are not two-phase, which is
17 what I think you're asking me.

18 Q. That's probably --

19 A. They're single-phase.

20 Q. That's probably what I'm asking.

21 Would the presence of water or your -- If you
22 encounter water and produce water relative to your
23 horizontal production here, would that affect ultimate
24 recovery, in your view?

25 A. With that limited amount of information you just

1 gave me, I can't answer that question.

2 Q. Well --

3 A. The well will be the well, and I will analyze
4 what we get. To make a gross assessment of whether water
5 would damage ultimate recovery or not, without any other
6 information, I couldn't say.

7 Q. Okay. Well, you've prepared here a risk
8 analysis, Exhibit Number 15?

9 A. Yes.

10 Q. And that risk analysis, I assume, does not
11 contemplate that you're going to encounter water, does it?

12 A. No, that would be correct.

13 Q. Okay. So --

14 A. It doesn't consider whether I would or would not.

15 Q. So if there was an oil-water contact point 25
16 feet from your wellbore, as you say, out in the real field,
17 when you begin producing, that -- there is a possibility
18 that you're going to produce a significant amount of water
19 in this well, isn't there?

20 A. It's a possibility.

21 Q. And that might affect, mightn't it, the risk
22 analysis that you've undertaken here?

23 A. I think you're asking me if I can still perform
24 rate-time analysis if a substantial amount of water is
25 produced?

1 Q. Oh, no, even I know that you can still --

2 A. Okay.

3 Q. -- produce -- you can still do a rate-time
4 analysis if you're producing water.

5 What I'm saying is, if you're producing water,
6 might that change the risk analysis you've assumed here in
7 your study?

8 A. No.

9 Q. May I have just a minute, Mr. Commissioner?

10 Now, you mentioned a couple times that there's a
11 submersible pump in this well.

12 A. Correct.

13 Q. Is that to pump the oil?

14 A. Pump the fluids, whatever fluids --

15 Q. Isn't it a fact that you have a submersible pump
16 in this wellbore, sir, to pump the water?

17 A. It's going to pull all the fluids.

18 Q. And you would expect it to pull water within 25
19 feet of the wellbore, would it?

20 A. No, I would not.

21 Q. Do you recall any testimony in your prior -- in
22 the prior Examiner's hearing on the question of whether you
23 expect to encounter water here?

24 A. No, I don't.

25 MR. CAMPBELL: That's all I have, Mr. Examiner.

1 CHAIRMAN LEMAY: Thank you, Mr. Campbell.

2 Mr. Kellahin?

3 MR. KELLAHIN: A couple points on redirect, Mr.
4 Chairman.

5 REDIRECT EXAMINATION

6 BY MR. KELLAHIN:

7 Q. Mr. Schramko, can you approximate for us the cost
8 of this horizontal well versus the cost of a single
9 vertical well?

10 A. The cost of this well would be \$1.8 million
11 horizontally.

12 A typical vertical well can be drilled and
13 completed and put on line for about \$650,000.

14 Q. When you're dealing with a horizontal well that
15 costs potentially \$1.8 million, is it of significance to
16 you as an engineer whether or not you recover all the
17 recoverable oil that that well will produce?

18 A. Most definitely, it's significant.

19 Q. Does the 100,000 barrels of oil that potentially
20 is at risk under your illustration pose a significant
21 amount of oil in terms of the profitability of that
22 expensive oil?

23 A. Most definitely.

24 Q. Would you afford to Bass the opportunity to
25 conduct the same type of testing procedures for their well,

1 should they ever decide to drill a horizontal well in their
2 unit area?

3 A. Yes.

4 MR. KELLAHIN: No further questions, Mr.
5 Chairman.

6 CHAIRMAN LEMAY: Thank you, Mr. Kellahin.
7 Commissioner Bailey?

8 EXAMINATION

9 BY COMMISSIONER BAILEY:

10 Q. In the fairway, there are about seven to eight
11 wells that have produced consistently very close together,
12 the same types of figures for the production rates and
13 initial production.

14 If this well is located also within the fairway
15 with all three of the quarter-quarters within that area,
16 wouldn't it be very obvious at the initial production
17 whether or not it was skin-damaged or not?

18 A. No. I can say it this way: If that's the only
19 parameter you give me, is the initial production rate, two
20 possibilities: The permeability is higher than we
21 estimated. And if I double the permeability -- that's
22 going from .2 millidarcies to .4 millidarcies -- I would
23 expect twice the initial production rate initially.

24 So if you tell me the initial production rate is
25 1600 barrels a day, that could be a well that has

1 permeability of .4 and lots of damage. Or it could be a
2 well that has the exact permeability that I've put in this
3 model with no damage. Both are fair and possible.

4 Q. Do you plan on taking cores of this well as
5 it's --

6 A. No. Horizontal cores? No.

7 Q. Several other questions.

8 Within the fairway for those seven to eight
9 wells, was the reservoir very homogeneous, isotropic, in
10 its character, would you say?

11 A. Is the reservoir homogeneous?

12 Q. Yes.

13 A. We have seen a recent core in the James E 16
14 which is in Section 12. It's -- On any of these diagrams,
15 it's shown as a dry hole. We just drilled it this year, a
16 few months ago. We saw a core in that, and it is very
17 homogeneous, extremely homogeneous, more homogeneous than
18 any core I've ever seen.

19 Q. What type of water cut do you have for the other
20 wells within Section 11?

21 A. Less than 50 percent, approximately. Probably in
22 the range of 30- to 50-percent water.

23 Q. Because of the problems that Phillips encountered
24 with the potash line cutting through that particular
25 section, would that same restriction apply to any well

1 locations in the section just to the south?

2 A. I would think so. Again, I'd like to emphasize
3 that the potash line that I drew is our approximation.

4 The BLM does not provide us with the exact
5 location of where that line is, which is why we end up
6 going through these multiple gyrations of where to locate
7 wells.

8 So I'm drawing that based upon wells that I know
9 we've either applied on and been denied, and then I'm
10 connecting points. And we also have the general map that
11 -- I'm not sure who puts it out, but that gives you the
12 general trend of where the potash line is. So the
13 combination of the two tells us that, yeah, the land to the
14 south of us should have the same potash dilemma.

15 COMMISSIONER BAILEY: Thank you.

16 CHAIRMAN LEMAY: Commissioner Weiss?

17 COMMISSIONER WEISS: Yes, I have a couple
18 questions here.

19 EXAMINATION

20 BY COMMISSIONER WEISS:

21 Q. Who's the potash operator? Do you know?

22 A. We notified two potash companies in the area.
23 One was Mississippi Potash and the other was Western Ag
24 Minerals.

25 Q. And they wouldn't deal with you, huh?

1 A. Wouldn't deal with us?

2 Q. Yeah, or is it the BLM or is it the --

3 A. BLM.

4 Q. -- potash that says you can't do that?

5 A. That's correct, BLM.

6 Q. I see.

7 On Exhibit 9 -- Prior to that, I think you have
8 some assumptions that you put into Exhibit 9, and that
9 would be the permeability on Exhibit 8?

10 A. Okay.

11 Q. Where did those numbers come from?

12 A. We have cores, as I mentioned, in the James E 16.
13 These are whole cores, in the James E --

14 Q. That's a dry hole, isn't it?

15 A. Pardon?

16 Q. That's a dry hole?

17 A. Yes, dry hole in the sense that we didn't case it
18 and put it on, but there was pay encountered, there was 12
19 feet of producible hydrocarbon pay. That wasn't adequate
20 enough for us to justify casing, so while it was a dry
21 hole, there was commercial pay.

22 We also have cores from four wells, three or four
23 wells, up in the -- Section 2, and those cores, analyzing
24 the data, would suggest these levels of permeability.

25 Aside from that, that's all the core data, all

1 the permeability data that we had.

2 Q. Okay. Well, then, if we use those numbers, I
3 guess looking at Number 9, Exhibit 9, on equation (6-8) at
4 the very end --

5 A. Equation (6-9), okay.

6 Q. I think that's a steady-state flow equation, and
7 it includes skin there in the denominator.

8 A. That's correct.

9 Q. And it also includes permeability in the -- the
10 two different permeability -- or just one permeability in
11 the numerator, so I guess --

12 A. The other permeability is in there. That's the
13 beta term, the vertical perm.

14 Q. Okay.

15 A. In the numerator of that equation there's a B,
16 beta.

17 Q. Okay.

18 A. Oh no, excuse me, that's not it. The beta is in
19 the denominator, excuse me.

20 Q. B, Okay.

21 A. That's B. Beta is in the denominator.

22 Q. So you've got -- I take it, then, that you have
23 to have -- you have to know the horizontal permeability
24 before you can solve for skin; is that right?

25 A. In this case, we input the parameters and said,

1 Give me a forecast.

2 Q. And that's how you solve for skin?

3 A. No, I haven't solved for skin.

4 Q. I thought that's what this was all about, skin
5 damage.

6 A. What this is about is getting a rate-time
7 analysis so I can determine the exact skin once the well is
8 drilled.

9 For the time being, what we've assumed in the
10 model is a skin of -- it's a horizontal skin, it's a skin
11 of .5, which can't be related to a vertical skin.

12 Horizontal skins are different. We've assumed a
13 .5. That's a number that's reasonable.

14 COMMISSIONER WEISS: I have no other questions.

15 EXAMINATION

16 BY CHAIRMAN LEMAY:

17 Q. Okay. What's the GOR, roughly in --

18 A. Most of the wells are --

19 Q. -- the wells in Section 11?

20 A. -- approximately five --

21 Q. Pardon?

22 A. Excuse me. About 500.

23 Q. 500?

24 Back to the risk -- Let me try and phrase it a
25 little differently than legal counsel for Bass did.

1 Is there a possibility of coning with higher
2 withdrawal rates? Is that an additional risk? You can
3 cone water in that well, it would be 25 feet from the --
4 what amounts to an oil-water contact with some water being
5 produced already?

6 A. I would say no, based upon the exhibit where I
7 addressed fluid velocity, and I'd like to go into that
8 maybe in a little more detail

9 What I'm saying is, if this well, this horizontal
10 well, produces at 1600 barrels a day, and compare that to a
11 vertical well that's producing at 300 barrels -- and let's
12 call it fluid instead of oil, fluid -- that the fluid
13 velocity within the vertical well is seven times more than
14 a horizontal well.

15 What that's saying to me is, I could produce this
16 horizontal well at seven times higher than what we're
17 talking about. That would be roughly 10,000 barrels a day.

18 If all things are right, then that well would not
19 pull fluids any harder than a vertical well would. So I'm
20 not at all concerned about the fluid -- the movement of
21 fluids through the reservoir, the possibly of producing at
22 1600 barrels a day, being a damaging thing.

23 Q. The nature of being a horizontal well reduces the
24 risk of coning --

25 A. That would be true.

1 Q. -- given different rates of fluid withdrawal?

2 A. That would be true, especially since in vertical
3 wells they are typically completed with hydraulic fracture,
4 which grows down into the water.

5 In this case, we're taking a chance -- we'll
6 drill it horizontally -- there's the chance that we
7 completely stay away from the water and have a 100-percent
8 oil well. It's possible.

9 It's also possible -- And thinking back to a
10 question I was asked earlier, I think I did allude to this
11 around the same issue in my original testimony, was that,
12 yeah, the well could produce 25 percent water, 50 percent.
13 We don't know what the answer is going to be.

14 There's no -- There's very little data that you
15 could put here that and say that this flow rate is going to
16 cone water.

17 So we're saying we'll drill the well, see what we
18 can get. I can still perform rate-time analysis, whether
19 or not it makes water or not. So the water isn't really of
20 concern to me.

21 Q. Okay. My last question concerns that make-up
22 table I think you have, which is Exhibit 16.

23 What would happen -- And we all know how risky
24 drilling is. What would happen if you came in, say, with
25 your highest production being 700 barrels a day, like month

1 nine? You'd still be over the top allowable rate, but
2 you'd be falling -- We've had this problem come up.

3 Everyone says, I'll make up the production. But
4 they're assuming they'll make up top allowable production,
5 when in essence over time the well would fall below the top
6 allowable. And by getting that early production you
7 wouldn't be making up enough oil, considering the decline
8 curve from that point.

9 A. My statement to that would be, okay, if the well
10 came on at 700 barrels a day, within about -- judging from
11 the numbers I'm looking at here, within about the 13th or
12 14th month, we would be at the allowable rate.

13 So beyond that point, of course, the well would
14 be producing less than the 561 allowable.

15 And I think what you're asking me is, there would
16 be -- by virtue of producing the well wide open, that well
17 would naturally go below the allowable, and in a natural
18 set of events would make it up so that I don't have to shut
19 the well in; is that correct? Is that what you're alluding
20 to?

21 Q. Yeah, and it's -- It's more when you're when
22 you're competing in the reservoir with another well. I'm
23 saying you're getting your oil early.

24 A. My statement would be that we are going to
25 produce the same cumulative oil in the first year, whether

1 the test period is granted or not.

2 And while there is the issue of competition,
3 we're saying that the amount of overproduction is so small
4 that the movement of fluids across these lease boundaries
5 are negligible, and that Bass has every opportunity to get
6 in there and compete, whether or not they opted to do the
7 special test period.

8 If for some reason they chose not to do a test
9 period, they're still going to get the same recovery
10 whether we had the test period or not.

11 Q. I guess that's the item of disagreement. They
12 feel that fluids will be migrating across their lease line
13 to your well that they will not recover, and you're saying
14 that will be negligible or that they will recover their
15 share of oil under their lease, whether you get the
16 increased allowable early or not.

17 A. If it's safe to say that Bass is waiting on us to
18 drill our well, which is -- would seem to be a fair
19 assessment, because they've known we were going to drill
20 this well for a number of months now, they could have
21 rushed out there and drilled one -- I think it's safe to
22 maybe say that they're going to wait on the results of our
23 well, see what we get, start the ball rolling to put their
24 own well in.

25 That's going to be six months down the road.

1 That's at a point in time in which, in the worst case,
2 we're shut in.

3 So when I think of the movement of fluids, they
4 would be in a position -- if the conditions were that for
5 six months we've produced and now we're shut in, and the
6 seventh month they're at TD and they start producing, now
7 all of that oil that moved in our direction is now moving
8 back towards them, because we're shut in, in the worst
9 case.

10 Q. Do you have a drilling island to do that, to
11 protect their correlative rights? Well, I guess the best
12 thing is to ask them that question.

13 A. Yeah.

14 CHAIRMAN LEMAY: That's all I have.

15 Any additional questions of the witness?

16 COMMISSIONER WEISS: One more.

17 FURTHER EXAMINATION

18 BY COMMISSIONER WEISS:

19 Q. Did you plan to core this well?

20 A. No.

21 COMMISSIONER WEISS: That's all I have.

22 CHAIRMAN LEMAY: Additional questions?

23 You may be excused, thank you.

24 Let's take a 15-minute break.

25 (Thereupon, a recess was taken at 10:05 a.m.)

1 (The following proceedings had at 10:20 a.m.)

2 CHAIRMAN LEMAY: We shall resume.

3 I assume that concludes your presentation, Mr.

4 Kellahin?

5 MR. KELLAHIN: That concludes our direct case,
6 yes, sir.

7 CHAIRMAN LEMAY: Thank you.

8 Mr. Campbell?

9 MR. CAMPBELL: Mr. Chairman, we would call Ronnie
10 Platt as Bass's first and only witness.

11 I'd like to distribute, if I might, copies of the
12 exhibits we intend to utilize. I'm giving Counsel a
13 colored set.

14 C. RONALD PLATT,

15 the witness herein, after having been first duly sworn upon
16 his oath, was examined and testified as follows:

17 DIRECT EXAMINATION

18 BY MR. CAMPBELL:

19 Q. Would you please state your name, sir?

20 A. My name is Ronnie Platt.

21 Q. And where do you reside, Mr. Platt?

22 A. In Austin, Texas.

23 Q. By whom are you employed?

24 A. I've been employed in this matter by Bass
25 Enterprises Production Company.

1 I am a consulting petroleum engineer and
2 president of Platt, Sparks and Associates, a consulting
3 engineering firm.

4 Q. We all know that you testified at length
5 yesterday and moved through your qualifications and
6 educational and professional background, but Ms. Bailey was
7 not at that hearing, as I understand.

8 Could you summarize quite briefly your
9 professional background and expertise?

10 A. Yes, I graduated in 1962 with a bachelor of
11 science in petroleum engineering from the University of
12 Texas, employed immediately after graduation by Standard
13 Oil Company of Texas, through name change became known as
14 Chevron.

15 I was with Chevron in various capacities
16 throughout west Texas, New Mexico and other mid-continent
17 areas, for about 14 years, resigned in 1976, established a
18 consulting petroleum engineering practice. I've been
19 engaged in the practice of consulting petroleum engineering
20 work since that time in 1976.

21 I formed Platt, Sparks and Associates in 1980 as
22 a consulting engineering firm with -- I was the only
23 employee. It's now a staff of 34, with offices in Austin
24 and Midland, Texas. And we serve a wide variety of clients
25 from major oil companies, state government, federal

1 government, foreign governments, individuals, banks, a
2 large variety and a large number of clients.

3 Q. And your expertise and qualifications have been
4 tendered to this Commission and Hearing Examiners before
5 here in New Mexico on numerous occasions, have they not?

6 A. Yes, I've testified previously before those.

7 Q. And on all of those occasions, your credentials
8 have been accepted by the Commission and your expertise
9 recognized?

10 A. Yes.

11 MR. CAMPBELL: I would tender Mr. Platt as an
12 expert petroleum engineer for purposes of the hearing.

13 CHAIRMAN LEMAY: He is so qualified.

14 Q. (By Mr. Campbell) You have familiarized
15 yourself, have you not, Mr. Platt, with the Application
16 that Phillips has filed in this proceeding?

17 A. Yes, sir.

18 Q. And what is your understanding of the protest
19 that Bass is making with respect to the overall Application
20 and effort of Phillips in this matter?

21 A. Bass is concerned about the capacity, authority
22 being granted to the well, to produce extended, in fact,
23 large volumes of oil in excess of the allowed production,
24 that that will have adverse impacts on the offsetting Bass
25 acreage, that would cause drainage.

1 Q. Does Bass pose other objections at all to the
2 overall effort of Phillips, aside from the overproduction
3 and time limit matter?

4 A. No, the three times allowable to account for the
5 three 40-acre units, I think, is reasonable for a
6 horizontal well to avoid the vertical wells.

7 So the 561 allowable that was requested and
8 approved by the Examiner, I think, is reasonable for a
9 horizontal well.

10 What Bass is objecting to is the authority to
11 produce in excess of that top allowable.

12 Q. What have you been asked to do, Mr. Platt,
13 specifically with respect to that issue?

14 A. To make a reservoir engineering study to assess
15 the impact on the offset Bass acreage, by authority that
16 would allow the well to produce at capacity, so I've looked
17 to see what the impact would be on the offsetting Bass
18 acreage.

19 Q. We will move through the elements of your study
20 and your background to that study.

21 But could you summarize for the Commission before
22 we do that, what the general nature of your findings has
23 been?

24 A. Yes, I have looked to see the impact on the
25 offsetting Bass acreage, primarily the offsetting acreage

1 to the south in Section 14, that immediately offsets the
2 proposed horizontal well.

3 The results of my study showed that that area
4 will be drained substantially during the first year of
5 production by the capacity allowable rates as -- or
6 capacity production rates, as proposed by Phillips. There
7 will be substantial oil drainage from the offsetting Bass
8 acreage.

9 I've looked at it both for their requested
10 capacity production, and then since Bass doesn't have a
11 well, I've looked at it, at just the 561, and there would
12 still be drainage at the 561, because Bass doesn't have an
13 offset. But the drainage is substantially increased by
14 capacity production versus the 561 allowable production.

15 So I've looked at it both ways to see what is the
16 difference, recognizing that there would be drainage
17 without an offsetting well in that first year under either
18 case. I've looked to see what the increased drainage would
19 be under the proposal.

20 Then I've looked at it beyond, in the year two
21 and year three, under proposed make-ups, to see if Bass is
22 balanced, as far as looking at the reservoir oil drainage.

23 Q. And have you made certain conclusions based upon
24 your study relative to whether balance will occur here if
25 the Application is granted?

1 A. It will not occur. The oil that's drained in the
2 first year, a very small portion of that is made up in
3 subsequent years.

4 Q. Let's begin to move through your exhibits, Mr.
5 Platt. Could you identify and substantiate Exhibit Number
6 1?

7 A. Exhibit Number 1 is just a plat that shows in
8 yellow and identifies the Bass acreage with the yellow
9 color. This is the Bass acreage that offsets the proposed
10 horizontal well in Section 11.

11 Bass is primarily concerned about the direct
12 offsetting acreage in Section 14. Bass has ownership
13 position in the north half of that Section 14, to the
14 acreage immediately to the south.

15 Bass also has acreage offsetting the proposed
16 horizontal well to the east, and that's shown in this plat.

17 Q. Would you examine Exhibit Number 2?

18 This Exhibit Number 2, I would suggest to the
19 Commission, is the same exhibit as Plaintiff's Exhibit 16,
20 I believe.

21 COMMISSIONER WEISS: This one is marked 17.

22 MR. CAMPBELL: 17, excuse me.

23 THE WITNESS: I might explain that the 17 was the
24 exhibit number in the July Examiner hearing, and I just
25 simply copied it out of that Examiner hearing. It was 17

1 in that hearing. I believe it's a different number in this
2 hearing, but it's the same document.

3 Q. (By Mr. Campbell) All right. Now, have you
4 utilized, then, what is marked as Bass Exhibit Number 2 in
5 connection with your studies here?

6 A. That's correct.

7 Q. So you're using the overproduction figures
8 calculated by Mr. Schramko?

9 A. Yes, and I used the "Production if Test Period is
10 Granted" column to -- I used that as the production rate
11 schedule for the well for the first twelve-month period.

12 Q. Could you retrieve Exhibit Number 3 --

13 A. Yes.

14 Q. -- and explain to the Commission what that
15 exhibit demonstrates?

16 A. This is just a graph that I've prepared of the
17 data that was on the prior Exhibit 2, Bass Exhibit 2. This
18 just shows the daily capacity rate or daily production
19 rate, as opposed to the 561-barrel-a-day allowable. So
20 this just shows by month the period of overproduction that
21 was represented by the prior Phillips exhibit.

22 Q. All right. Now, all of us just found out this
23 morning from Mr. Schramko or Mr. Kellahin that the test
24 period now proposed by Phillips would be six months rather
25 than twelve; is that correct?

1 A. Yes.

2 Q. That changes nothing in your analysis except as a
3 matter of degree; is that a fair statement?

4 A. That's right. It would -- As you see, on this,
5 most of the overproduction on this exhibit, the next
6 exhibit, occurs in the first six months, or over 80 percent
7 does.

8 Q. Would you retrieve the Bass Exhibit Number 4 and
9 explain that to the Commission, if you would?

10 A. Exhibit Number 4 is just simply showing the
11 overproduction that occurs each month, so the bottom line
12 with the triangles is the monthly overproduction. That's
13 the barrels of overproduction in excess of the allowable
14 each month under the Phillips proposal.

15 Then the top line is just summing that up. It's
16 a cumulative figure that shows -- and this shows also -- If
17 you look at six months, you've accumulated over 80 percent
18 of the overproduction in the first six months. So this is
19 just simply plotting to show the cumulative versus time.

20 Q. And Exhibits 3 and 4 are plotting on the basis of
21 Phillips's calculations of overproduction; is that right?

22 A. Yes, and it's the exhibit that was presented in
23 the Examiner hearing and the hearing today.

24 Q. Could you retrieve Bass Exhibit Number 5, Mr.
25 Platt?

1 A. Yes, Exhibit 5 is a plat that I've drawn on, and
2 this yellow area here is not Bass acreage. I've used --
3 possibly should have used a different color. But the
4 yellow here, I've highlighted an area that I've done a
5 simulation on so I can look at reservoir -- portions of the
6 reservoir with this horizontal well producing and see where
7 the oil comes from. And this yellow is the area that I've
8 used in the reservoir simulation.

9 Q. How does the area that you used in your
10 reservoir-simulation modeling differ from the acreage that
11 Mr. Schramko used for Phillips?

12 A. It's larger. I believe what he used was just a
13 660-foot radius from the horizontal borehole, and it would
14 more or less parallel the horizontal borehole.

15 What I've done is expand that to let the
16 reservoir simulator tell me where the no-flow boundary is,
17 rather than imposing them 660 from the well, to impose a --
18 fix a no-flow as an input.

19 Q. All right. Your modeling, then, will show the
20 impact on the Bass acreage to the south, with some
21 specificity; is that correct?

22 A. Yes.

23 Q. Could you retrieve and identify Exhibit Number
24 6 --

25 A. Yes.

1 Q. -- and explain this to the Commission?

2 A. Yes, Exhibit 6 is the input data that I've used
3 for the area on Exhibit Number 5. This is -- The name of
4 the software is called an Eclipse 100. It's developed by
5 Intera. It is a software we've used over about the last
6 eight to ten years to do multiphase three-dimensional
7 modeling of various phases of fluid flow in the reservoir.

8 In this, we've used as a black oil three
9 dimensional. I show the grid size, I have a later exhibit
10 to show the grid size. The grid size is just to impose the
11 number of cells within the area that I've shown on Exhibit
12 5.

13 The other parameters, as you'll see, that I've
14 used for the top of sand, the net sand thickness, porosity,
15 permeabilities, pressure, water saturations, gas
16 saturations -- I've used Phillips data. I haven't varied
17 it. I've simply input their data, and that's -- In this
18 record today that's on their Exhibit Number 8.

19 So I've used Phillips' data for all of the
20 reservoir parameters. Basically all I've done is just
21 increased the size of the reservoir that I'm modeling to
22 look at a larger area, rather than just fixing it 660 feet
23 from the well.

24 Q. Could you then turn to Exhibit Number 7, Mr.
25 Platt and explain the nature of that exhibit?

1 A. Exhibit Number 7 is a detail of the area that's
2 shown on Exhibit Number 5, and on this I've shown the grid
3 that has been placed on the area.

4 And then I show regions, and I've color-coded
5 those. I've identified in the computer and identified
6 certain cells as Regions 1, 2 and 3.

7 The Region 1 -- so that I can look at simulation
8 results in a reservoir area -- Region 1 would be the
9 Phillips tract, the Phillips lease.

10 Region 3 would be the Bass tract in Section 14,
11 the offset tract to the south.

12 And Region 2 would be a strip to the east. That
13 would also be Bass acreage to the east.

14 But I'm looking primarily at the offsetting area
15 to the south, the Region 3, to see what oil moves from that
16 by producing the well at the proposed Phillips rates or the
17 estimated Phillips requested production rates.

18 And using the Phillips reservoir parameters, I've
19 investigated that to see what is the oil movement under
20 that proposal.

21 Q. Would you retrieve and explain Bass Exhibit
22 Number 8?

23 A. Exhibit Number 8 is a summary of the simulation
24 results. So I've run the model with the reservoir
25 parameters that are shown on Exhibit 6, which are --

1 they're the Phillips reservoir parameters.

2 And then I've used the Phillips production
3 schedule. I've run the model for a one-year period. This
4 shows from September, 1994, to September, 1995. And in
5 that one-year period I then look at what the model shows is
6 the current oil in place in these three regions that were
7 shown, and compare it to the original oil in place, and
8 that tells me how much oil is moved out of that region.
9 And then I compare that with the production.

10 And then this simply tells whether or not there's
11 been oil moving in or out of those various regions.

12 What this shows in this simulation, as it's
13 identified at the top, is under Phillips -- I call it
14 Special Allowable Case, but it's really a special
15 production case, but this is their request, as I understand
16 it.

17 So I produced the Phillips horizontal well for
18 twelve months, based on the production schedule they
19 submitted as an exhibit. And at the end of twelve months
20 this shows that the Phillips tract has drained 82,180
21 barrels from other regions of the simulation.

22 And this identifies where that comes from. Most
23 of it comes from the Bass Region 3, which is the Section 14
24 to the south. Those are so identified at the note at the
25 bottom.

1 But this shows that there's substantial movement
2 of oil to the Phillips tract with the well producing at the
3 requested capacity production rates during this -- This
4 Exhibit 8 shows what happens in the first twelve months.

5 Q. Knowing now that Phillips seeks to shorten this
6 proposed test period from twelve months to six months, and
7 not having concluded relative to that recent adjustment,
8 can you explain to the Commission what effect a shorter
9 test period might have relative to this issue in Exhibit
10 Number 8 of migration of movement from the Bass tracts to
11 the Phillips tract?

12 A. I haven't run that case, since I just heard of it
13 this morning, so I haven't had an opportunity to run it.

14 But since most of the overproduction and most of
15 the large withdrawals from the reservoir -- and that's what
16 the simulator matches, withdrawals and movement of oil to
17 match those withdrawals -- since over 80 percent occurs in
18 the first six months, I wouldn't anticipate much change.
19 There will be some change. The drainage, I anticipate,
20 would be less, but I would anticipate very small change.

21 Q. Could you then retrieve -- identify and explain
22 Bass Exhibit Number 9?

23 A. Yes, Exhibit Number 9 is a summary of the
24 simulation results where I've done -- run the simulation
25 with the Phillips well producing at the top allowable rate

1 and not at capacity.

2 Q. And as I read the chart, then, after the end of
3 twelve months there would be drainage, assuming no special
4 production is permitted, drainage from the -- into the
5 Phillips well from other tracts, Regions 2 and 3, of about
6 60,500 barrels; is that correct?

7 A. That's correct.

8 Q. Almost 60,000 of which come from Region Number 3
9 in the south?

10 A. Yes.

11 Q. And again, what impact would you expect if you
12 ran your model at six months rather than twelve months?

13 A. Again, a very slight change.

14 But what this shows in Exhibit Number 9 is that
15 because I do not have any -- in the simulation -- and I've
16 estimated, in fact, there would not be an offset -- there
17 would not be an offset producing well to the south. Even
18 if the Phillips is restricted to the 561 allowable rate,
19 there would still be drainage of oil from the south, even
20 at the 561-barrel-a-day rate.

21 So I did that to recognize that, to see what
22 drainage it would be if the special production is denied.
23 And there would still be drainage, due to the fact that
24 Bass would not have in place in this potash area an offset
25 well in the first twelve months.

1 So there would be 60,000. So I've looked at
2 trying to see what additional drainage would be caused by
3 granting this special production authority.

4 Q. All right. And does Bass Exhibit Number 10,
5 then, show that incremental difference?

6 A. Yes.

7 Q. Could you retrieve it and explain the conclusions
8 there to the Commission?

9 A. Yes, the Exhibit 10 just summarizes. It looks at
10 the difference between Exhibit 8 and 9.

11 One, I show the proposed special allowable case,
12 and those are the numbers shown on Exhibit 8. And then I
13 look at the regular allowable, cumulative drainage at the
14 end of twelve months, and that's from Exhibit 9. And then
15 I've just looked at the difference.

16 So the incremental oil drainage, that would be
17 the additional drainage that would result by the draining
18 of the special capacity production authority.

19 Q. All right. Now, all of these prior exhibits, 8,
20 9 and 10, are premised on the assumption that Bass does not
21 drill an offset well or wells to the south; is that
22 correct?

23 A. That assumes that Bass is unable in the first
24 twelve months to have a competing well. That's recognizing
25 several factors.

1 One, it is in the potash areas, as shown on the
2 Phillips Exhibit 1, I believe, in this hearing. So it
3 would be down, it would take some time. So I would assume
4 that Bass would not have a competing well in the offsetting
5 acreage during the first twelve months of the Phillips.

6 So I've looked at -- but I've considered that in
7 both cases.

8 Q. Now, have you also examined in your modeling the
9 prospect of what drainage would occur, even assuming that a
10 -- that Bass were to drill a well?

11 A. Yes, sir.

12 Q. Could you retrieve and explain Exhibit Number 11?

13 A. Yes, on Exhibit Number 11, I've looked beyond the
14 first twelve months and looked at the next two-year
15 periods, and to look to see what is the drainage. And this
16 again would be the cumulative drainage at the end of these
17 additional time periods. And I've shown it by region, and
18 then I've identified the time periods at the top.

19 Q. Now, let me try to understand what Exhibit Number
20 11 assumes with respect to when Bass would be able to place
21 a well to offset production in the Phillips tract.

22 Your exhibit assumes that because of potential
23 difficulties caused by the presence of this acreage in the
24 potash area, that it would be a year -- approximately a
25 year before Bass could place a well to offset the Phillips

1 well; is that a fair -- is that what you have done?

2 A. Yes, this assumption is that after the first
3 twelve months Bass has a well producing, and I've assumed
4 that it is a horizontal well that's capable of producing
5 the top 561 barrels a day.

6 So I've made that assumption that that well is in
7 place, then, at the end of the twelve-month period, that
8 Bass has at that time an offsetting well capable of
9 producing the top allowable of 561.

10 Q. All right. Then could you, based on that
11 assumption, outline to the Commission what your modeling
12 has shown?

13 A. Yes, Exhibit 11 shows both -- the cumulative
14 drainage for each of the time periods.

15 The first two columns to the right of where I've
16 identified regions show drainage with special allowable and
17 regular allowable, as of the end of the first twelve
18 months.

19 Moving to the next two columns, show the
20 cumulative as of September, 1996, for both the special
21 allowable and the regular allowable.

22 And then the last two columns show the cumulative
23 as of 1997. So that would be the end of the third year,
24 for both the regular and special.

25 Then the next exhibit, to look at them as I did

1 on the others, you would look at the incremental or the
2 additional advantage that's given by producing under the
3 special production authority requested.

4 Q. All right. So Exhibit Number 11, then, is
5 showing the gross differentials, based, A, on the
6 assumption that Bass has a well in the offset acreage, and
7 under two cases, one being that their request for special
8 treatment is granted, the other being that it is not; is
9 that correct?

10 A. That's correct.

11 Q. All right. Would you turn, then, to -- Well,
12 let's step back just to make sure we're clear here.

13 Could you summarize for the Commission what those
14 cases show in 1995, 1996 and 1997, relative to whether the
15 Application is granted or not?

16 A. Well, under -- If you follow across on the
17 special allowable, the -- on Region 1, which is the
18 Phillips tract, under the special allowable, it's the
19 82,180 drainage at the end of the first twelve months.

20 At the end of 1996 under this special allowable,
21 it's increased, it's at 98,000.

22 And then the drainage advantage basically stops.
23 There's only a slight gain at the end of the third year.
24 It goes to 99,236. That's under the special allowable.

25 Q. And that's flow into the Phillips well?

1 A. Yes.

2 Q. What effect do you see, then, for example, on
3 drainage in Region 3, Bass's acreage to the south?

4 A. The Bass to the south, under the special
5 allowable the loss is the 79,676.

6 At the end of the second year it's increased to
7 the 94,403.

8 Then at the end of the third year it's reduced
9 slightly to 93,786.

10 And then for any time periods after that, it
11 stays at about that same cumulative drainage. After that
12 there's no more net drainage off of the tract. The wells
13 are -- After the end of the third year -- it actually
14 happens during the third year -- both wells are then
15 producing at capacity, so there's essentially no other
16 migration of fluids between the regions.

17 Q. So you concluded that, contrary to Mr. Schramko,
18 that a balance would not occur between those tracts?

19 A. That's right. And this is using the Phillips
20 reservoir parameters.

21 Q. Could you retrieve, then, Bass Exhibit Number
22 12 --

23 A. Yes.

24 Q. -- and explain -- summarize this to the
25 Commission, if you would?

1 A. Yes, this again is showing the incremental. This
2 would be the difference. What I've followed through or
3 explained on Exhibit 11, I was tracking through the special
4 allowable case and showing the drainage that the special
5 allowable caused to the Bass.

6 This is showing the incremental. It's comparing
7 the difference each year between the special allowable case
8 and the 561. So this shows how that incremental changes
9 with time.

10 So looking at Region 3, which is the Bass tract
11 in Section 14, it shows the loss of 21,071 barrels. And
12 this would be the additional drainage that would be
13 suffered in the twelve months, as I previously identified
14 to you, the special production authority versus regular
15 allowable. The special would permit an additional 21,000
16 barrels to move to the Phillips tract.

17 At the end of the second year, it doesn't balance
18 up. There's even some additional oil migration in the
19 early part of that twelve-month period, and some slight
20 make-up in the second year. But the net is still greater
21 at the end of the second twelve-month period.

22 So at the end of 24 months, the cumulative
23 incremental drainage is still in favor -- In fact, it
24 increased slightly, a slight amount higher, so it didn't
25 make up.

1 Then at the end of the third year, there --
2 During that second -- latter part of the second year and
3 the third year, there is some make-up. You'll see the
4 number reduces down to 18,000. But then it stays at that
5 amount, because at that period of time, during the third
6 year, the wells are on capacity and there's not any change.

7 So there is some slight make-up that occurs. It
8 goes from 21,000 to 18,000. But this granting of the
9 special allowable enables the tract to have an undue
10 advantage that can't be made up.

11 Q. Now, how would you explain, Mr. Platt, the
12 proposition that there would be an increase in drainage
13 from Region 3 -- you said a slight increase -- after
14 Phillips shut in its production to the north? Why would
15 that occur?

16 A. One, I was curious as to why, so I went in and
17 looked at the model to see why. I thought I knew why, and
18 it confirmed it in the model.

19 What happens is, after the first year of
20 production without any offset, and producing at this very
21 high rate of over 350,000 barrels of oil are withdrawn in
22 the first twelve months, it draws the pressure down in that
23 region. Now, this is using the permeabilities of Phillips.

24 So that even when that well is curtailed in year
25 two, or beginning the second period of time, oil is

1 continuing to flow into that region, due to that large
2 pressure drawdown and the large withdrawals over 350,000
3 barrels of oil in that first twelve months.

4 So the oil continues to move in, even though
5 they're curtailed. And then it takes a while for the
6 reservoir to adjust and then for the regions to balance
7 out. And so that's why the oil continues to flow in during
8 that period.

9 And I might point out that the production
10 assumptions I've used for the second six-months period, I
11 assume that Bass's well would come on and produce at 561
12 barrels per day, as an offset horizontal well. I assumed
13 that the Phillips well in that second period would be
14 reduced to 158 barrels a day, in order to make up the
15 approximate 147,000 barrels of overproduction in the next
16 twelve months.

17 So that second twelve-month period, I've got
18 Phillips producing at 158 and Bass at 561. But because of
19 the large withdrawals, even though it's curtailed to that,
20 oil is continuing to migrate into the region --

21 Q. Now --

22 A. -- the region being the offsetting Phillips, in
23 response to the previous large withdrawals.

24 Q. It is the case, is it not, as with prior
25 exhibits, that Exhibits 11 and 12 of Bass are based on a

1 twelve-month test period, as opposed to the six-month
2 period that Phillips has recently adjusted to; is that
3 correct?

4 A. Yes, sir.

5 Q. What impact, if any, would you expect on your
6 calculations, considering a six-month test period versus a
7 twelve-month period?

8 A. I think there would probably be some slight
9 revision, and it would be downward. I think it would show
10 less drainage, but a very slight amount.

11 But I think the overall impact shows that the
12 granting of a special allowable -- or special production
13 authority to accumulate a large volume of overproduction in
14 excess of allowable creates a drainage from the offset
15 tract that's not made up.

16 Q. All right. You have examined and heard Mr.
17 Schramko testify with respect to the risk analysis
18 presented here. I think it was Phillips Exhibit Number 15?

19 A. I'm not sure of the number, but I've heard the
20 testimony, the risk analysis, yes.

21 MR. KELLAHIN: It's 15.

22 Q. (By Mr. Campbell) Have you as a professional
23 engineer engaged in any similar type of risk assessment,
24 Mr. Platt?

25 A. I have been involved in risk assessments and risk

1 analyses, yes.

2 Q. Now, can you tell from the calculation -- from
3 Mr. Schramko's testimony or that exhibit, whether there is
4 any parameter of his study that contemplates water
5 production?

6 A. As I understood his testimony, there was not.

7 Q. All right. And you can confirm that water has
8 been produced from all of the wells in this landscape; is
9 that accurate? Or most of the wells?

10 A. Apparently -- Yes.

11 Q. Knowing --

12 A. Water production is anticipated with the wells.

13 Q. All right. And would production of the oil at
14 the rates requested here, in your opinion, contemplate the
15 potential of water coning for this well?

16 A. I really don't know. I haven't done a detailed
17 study on water coning.

18 But the fact that the wells do produce water,
19 you're close to an oil/water contact, you're asking to
20 produce the wells at capacity -- Water coning is by nature
21 rate-sensitive. It responds -- The higher you produce the
22 well, the greater the risk of water coning. And so it is a
23 rate-sensitive phenomenon.

24 I have not made a unique study of this to see at
25 what rates it would cone, but that is a generally

1 recognized reservoir engineering proposition that water
2 coning is rate-sensitive. And I would have some concern,
3 since these wells produce water, there is a recognized oil-
4 water contact in the reservoir, and asking the wells to
5 produce at capacity and produce very large volumes of oil
6 in a short period of time, to me there would be -- you
7 would have to analyze and assess risk with that also.

8 Q. In contemplating that prospect of water coning
9 might well occur, what impact would that have on ultimate
10 recovery, realizing that you have not done a full study in
11 this area?

12 A. Most of the time, if you do cone water into a
13 well -- this is based on my experience -- that will reduce
14 the ultimate recovery. Even though you may curtail the
15 rate later, you've pulled water in that saturates the area
16 with water at a higher water saturation, it tends to reduce
17 the permeability. Even though you curtail the rate, that
18 cone does not ever go totally away, so you've reduced the
19 permeability in the area of the well, which has an impact
20 on ultimate recovery.

21 Q. In your opinion, is there any method whereby Bass
22 could make up the underproduction that is contemplated as
23 occurring here, the drainage that's occurring as a result
24 of the Phillips Application?

25 A. I have looked at what I assume is the -- trying

1 to look at the minimum amount of drainage that might occur.
2 And that's assuming Bass is able to get a well on in twelve
3 months, a horizontal well completed and producing, and
4 that.

5 So I've looked at -- If Bass is not able, then
6 its drainage is even greater. So I've tried to look at it,
7 assuming Bass is successful in getting a well in there in a
8 relatively short period of time to offset this well.

9 Q. In your opinion, if the requested special
10 production test period is denied, will the ultimate
11 recovery from the pool be reduced?

12 A. I don't believe so.

13 Q. Would you then summarize your conclusions for the
14 Commission?

15 A. The results of my study indicate that the
16 granting of authority to produce at capacity, to produce a
17 very large volume of oil in excess of the allowable rate,
18 recognizing that that allowable rate is already a three-
19 times allowable rate, in my opinion, will cause drainage of
20 oil from the offsetting tracts.

21 And even if that is made up in later periods of
22 time, due to declining capacities of the wells, which the
23 reservoir simulator recognizes, the reservoir underlying
24 the tract does not recover that oil that's been previously
25 drained. Some very small portion comes back, and that's

1 what the simulator shows.

2 MR. CAMPBELL: Mr. Chairman, I would move for the
3 admission of Bass Exhibits 1 through 12.

4 CHAIRMAN LEMAY: Without objection, Bass Exhibits
5 1 through 12 will be admitted into the record.

6 MR. CAMPBELL: And then that concludes my direct
7 examination of Mr. Platt.

8 CHAIRMAN LEMAY: Thank you, Counselor.

9 Mr. Kellahin?

10 CROSS-EXAMINATION

11 BY MR. KELLAHIN:

12 Q. Mr. Platt, you'll have to bear with me. I'm a
13 first-time listener to your presentation, and I've been
14 reviewing your exhibits as you've presented them.

15 Let's see if I can understand the modeling
16 situation.

17 In yesterday's presentation, your presentation
18 was specific about a geologic interpretation that Mr.
19 Hillis presented.

20 When we look at the application of reservoir
21 simulation in this case, did you attempt to have a Bass
22 expert like Mr. Hillis who, as a geologist, gave you a
23 geologic interpretation of this specific area so that you
24 could model what he believed to be the geologic parameters
25 for this area?

1 A. No.

2 Q. Do you have any engineering opinions with regards
3 to the original oil in place that underlies any of these
4 tracts in this specific area?

5 A. I have looked at the parameters of Phillips, and
6 to me those appear reasonable, so I don't have a
7 significant challenge of the estimates of oil in place as
8 presented by Phillips --

9 Q. Do you have --

10 A. -- based on those parameters.

11 Q. I'm looking at Exhibit Number 8 that you
12 presented.

13 A. Yes.

14 Q. When I add up in the first column the three
15 regions, it appears to be about 8 million barrels of oil?

16 A. Yes, 8 1/2.

17 Q. And that was within the container, if you will,
18 that you put into your simulator?

19 A. That's correct.

20 Q. Do you have any major points of difference
21 between you and Mr. Schramko about the selection of the
22 model that was utilized?

23 A. The model that he utilized?

24 Q. Yes, sir.

25 A. I don't have any disagreement of the model he

1 selected in order to do some engineering calculations about
2 skin damage on the well, to look at -- design a stimulation
3 job.

4 I don't have any problems with using the model
5 for that purpose to do some engineering calculations of
6 skin damage.

7 I don't think that's a model that will tell you
8 anything about regional migration or tract damage. Well,
9 it doesn't, in fact. That's just a fact. It doesn't tell
10 you anything about drainage from regions.

11 Q. The purpose to which he applied his model, do you
12 concur that he appropriately applied his model for his
13 purpose?

14 A. Well, I'm not sure what all his purposes were,
15 but I would -- I think to look at fluid flows and to look
16 at the potential of skin, he may be able to look at total
17 oil and water. But if he were looking to test rate
18 sensitivity, he has only one mobile phase; he only lets oil
19 flow in the model. He doesn't have any gas flow or any
20 water flow in his model. And if you were looking at other
21 parameters, you may want to consider the two-phase flow in
22 the model to look at the effects of that, and I don't
23 believe that was considered.

24 The model was simplified to only have, as I
25 understand it, one phase, oil.

1 Q. Are you recognized, Mr. Platt, as an expert in
2 your industry in rate-time analysis?

3 A. Not uniquely. I have done rate-time analysis,
4 but I don't hold myself out as a renowned expert.

5 Q. Okay, based upon --

6 A. I'm familiar with it, and I've --

7 Q. Yes, sir.

8 A. -- done some work in it.

9 Q. Based on your experience, do you have any quarrel
10 with Mr. Schramko's engineering judgment that he needs some
11 time of production test in order to arrive at reservoir
12 data to let him know whether or not this is a low-
13 permeability undamaged well, versus a high-permeability
14 well that's experiencing skin damage?

15 A. I think I followed all the question, but I think
16 he's not different than any other engineer that wants all
17 the data he can, as much data as he can, to try to do some
18 engineering-type calculations. I don't fault him with
19 trying to get as much data as he can. I don't think he
20 looked at the impacts on offset tracts in acquiring that
21 data.

22 And then, I think the need to acquire the data,
23 based on his simulation, is based on, to me, a lot of
24 assumptions about what he thinks he's going to find in this
25 well, as to what is the capacity of the well and what is it

1 going to produce at, and what rates will this horizontal
2 well produce at. And then he's made some assumptions on
3 those, and then based on those assumed producing rates or
4 assumed permeabilities or assumed skin, he then shows if
5 those assumed conditions are encountered, it may or may not
6 show him something in some time periods.

7 Q. You used lots of his input parameters and
8 assumptions when you put that information into your model,
9 did you not?

10 A. Not the skin -- not -- I used the parameters that
11 are shown on Exhibit -- Whatever.

12 MR. CAMPBELL: 8.

13 THE WITNESS: 6 is mine.

14 Q. (By Mr. Kellahin) All right. When we look at
15 Mr. Schramko's Exhibit 16, that is his production forecast
16 where he's telling you what he is forecasting his
17 horizontal well to be expected to do?

18 A. Yes, sir.

19 Q. All right. When you have all this information in
20 your model, what was the initial production rate that you
21 started the Phillips well at?

22 A. I produced at this same production schedule. It
23 produced at this schedule. I put that in. I produced the
24 well at that rate.

25 Q. I'm not making myself clear. His initial rate

1 was 1600 barrels of oil a day.

2 A. I understand.

3 Q. Did you start at that rate?

4 A. Yes.

5 Q. And did you let your model then flow and forecast
6 what its performance would be, independent of what Mr.
7 Schramko did on this table?

8 A. I input the production in there, the production
9 schedule that's shown on that. I produced that volume of
10 oil out of the horizontal well, as he had forecast.

11 The only time I let the modeling is when -- for
12 that period -- first twelve months, I produced essentially
13 that volume of oil.

14 Q. All right. My question was -- and I'm not sure I
15 made myself clear -- for the sake of understanding, did you
16 put 1600 a day initially in the well and, independent of
17 the rest of the schedule, let that model flow to see what
18 it would do?

19 A. Not for the first twelve months. I produced
20 during the first twelve months the production that Phillips
21 exhibit said they would produce in the first twelve months
22 if this authority is granted.

23 Q. All right.

24 A. So I produced that volume of oil to see what that
25 would do.

1 Q. You did not take his input parameters, start at
2 1600 barrels a day and let it flow to see what it would
3 ultimately produce or forecast to be produced on your
4 model?

5 A. No, I did that in late years to see when it got
6 below the 561.

7 Q. Okay. So we've got the Phillips well in your
8 model, you match his production, or you input his
9 production levels at the end of each of these months for
10 the twelve months?

11 A. That's correct.

12 Q. All right. What did you forecast to be the
13 ultimate recovery for the Phillips well under those
14 assumptions without the Bass well?

15 A. I didn't run it out to the full ultimate
16 depletion. I ran it for the three years, and then I made
17 another special run recently just to run in year four, to
18 see if there was any net migration across the tracts, and
19 at that time both wells were producing at capacity.

20 But I didn't run it out to some assumed
21 abandonment conditions and look at the total ultimate.

22 Q. Okay, so --

23 A. I would have cums at the end of those time
24 periods --

25 Q. I understand.

1 A. -- from each of the wells.

2 Q. I'm just trying to see what you did or did not
3 do.

4 So you did not run the model to show what the
5 ultimate recovery would be from the Phillips well without a
6 Bass well in the reservoir?

7 A. No, except for the first twelve-month period.
8 After the first twelve months, I have a competing Bass well
9 in. And that's true in all of my runs; I have a competing
10 Bass well at the end of twelve months.

11 Q. I understand both engineers agree there's going
12 to be fluid migration in the reservoir.

13 My point is, I wanted to find out if you have
14 investigated what is going to be the net effect on ultimate
15 recovery.

16 A. I haven't run it out to ultimate, but I've run it
17 out to the end of the third year, and I have another one at
18 the end of the fourth year.

19 The Phillips well produces in that period of time
20 in the neighborhood of -- over 600,000 barrels of oil, is
21 the cum production at the end of those periods.

22 Q. When we look at your Exhibit Number 8, we're
23 dealing with about 8 million barrels of oil in place.

24 Under the special test allowable, if granted,
25 under the assumption of a year, Region 1, then, has 82,000

1 barrels of oil? Is that the way to read this?

2 A. It has acquired 82,000 barrels of oil from other
3 regions that's moved into it.

4 Q. Okay, it's about one percent of the original oil
5 in place, within the container that you have modeled here?

6 A. One percent of the total reservoir, yes, that's
7 modeled.

8 Q. All right. And then when you modeled it again,
9 using the 561 rate for the Phillips well, without the
10 special period?

11 A. 60,000.

12 Q. All right. So when I look at Exhibit Number 10,
13 the 21, or 21.6, 21,000 barrels of incremental oil is the
14 additional oil within this time frame that accrues to the
15 benefit of Region 1, which is the Phillips spacing unit?

16 A. Yes, it's the additional benefit that they enjoy
17 by drainage, the requested special production over what
18 they would get with just the 561. So that's the additional
19 drainage they would have in that first twelve months.

20 Q. Okay. I'm confused about the size of area,
21 Region 1 and 2 on Exhibit 7.

22 When we look at your color display, is that
23 equivalent for region 1? Is that the 120-acre spacing
24 unit?

25 A. I'm sorry, I lost you. Exhibit 7 and 5 go

1 together. Exhibit 5 is the -- what I've -- Exhibit 5 is
2 the reservoir simulation, then I've just simply shown the
3 grid in detail that I've imposed in that area in Exhibit 5.

4 Q. All right, I don't have that exhibit. Tell me
5 quickly, Region 1, is that the south half of this section?
6 How big an area is that?

7 A. Region 1 is -- Region 1 is the area -- it's the
8 area that's depicted -- Well, I can give you dimensions,
9 but it's shown on Exhibit 5.

10 Q. Okay. Is it -- It's 40 acres high and --

11 A. I can give you the exact dimensions.

12 Q. -- a section wide?

13 A. Well, let me get -- I can give you a footage.
14 It's shown on the map, and then if you want an exact -- Let
15 me get --

16 Q. All right, I'm sorry, Mr. Platt, I have found
17 this.

18 A. Okay.

19 Q. I'm looking at Exhibit 5, and it appears that the
20 area you've simulated is simply to take a laydown 160 for
21 the Bass acreage, which is, you know, four 40s in a row,
22 and for the Phillips acreage it looks like four 40s in a
23 row.

24 A. Yeah, this -- It's shown on 5, that's the area
25 that I've simulated, yes.

1 Q. All right. On Exhibit 10, then, as of September
2 of next year, at the point where you say Bass may have a
3 well, the net uncompensated drainage, if you will, at that
4 point is 21,000 barrels of oil?

5 A. Well, actually the net uncompensated drainage is
6 82- -- is over 80,000 barrels.

7 Q. And the difference attributable to the special
8 test would be the incremental 21,000?

9 A. That's correct.

10 Q. All right. Where's the display that shows us the
11 time sequence where you put the Bass well on production
12 after the end of the twelve months?

13 A. I don't know that I have exhibits. I just
14 testified to that. I have the actual simulation.

15 But that's the production that I put the Bass
16 well on and limited it to 561 barrels a day, beginning at
17 the beginning of year two.

18 Q. All right. What's the basis for your assumption
19 that the Bass well will only come on at 561?

20 A. Well, I limited it -- I didn't assume that it
21 would come on at that. I limited it to the top allowable.

22 Q. Okay. Did you try to run your program to see, if
23 Bass was provided the opportunity for a special allowable
24 equivalent to Phillips's, what would happen under that
25 circumstance?

1 A. No, I did not run that case.

2 Q. The case you've run, then, is Mr. Schramko's
3 production forecast on Exhibit 16 for which, at the end of
4 the first year, then, you're going to restrict his well to
5 158 barrels of oil a day?

6 A. Yes.

7 Q. And at that point in time, it is competing with
8 the Bass well, which comes on at 561, and you hold 561
9 constant through the period of time that you've described?

10 A. I hold that as a top allowable rate. It either
11 produces at capacity or 561 after that period of time. And
12 there is a period of time it begins in the beginning --
13 into year three, where neither well will make the 561, so
14 it's produced at capacity.

15 Q. Okay. Did you run that hypothesis to its
16 conclusion so we could see what the ultimate oil recovery
17 is under that set of circumstances for the Bass well and
18 the Phillips well?

19 A. I didn't -- As I've testified, I haven't run them
20 out to the ultimate final depletion. I ran for a four-year
21 period of time to look at regions and cumulative
22 productions and migration of oil in the reservoir, and then
23 I didn't run out the additional time steps to the ultimate
24 depletion.

25 But after the end of year three, these wells were

1 then declining at capacity. The allowables were not
2 impacted on the wells, they...

3 Q. I was trying to find out if you had analyzed in
4 terms of ultimate recovery for any of the wells what the
5 net effect would be of granting the test.

6 A. I haven't run it out to the ultimates, but I have
7 made comparisons between the productions at the end of the
8 periods.

9 The -- I run out for four years, and the Phillips
10 well produces about 30,000 barrels more oil in that four-
11 year period, with the draining of the proposed special
12 allowable, than the -- When I say "special", under the
13 special production authority it produces about 30,000
14 barrels more in that four-year period than under the
15 normal, regular allowable than the well declining at
16 capacity.

17 And at the end of year four, the Bass offset
18 hypothetical well and the Phillips well are all at
19 capacity.

20 At that period of time, I've got cumulative
21 production from the Phillips wells and -- well, the
22 Phillips well -- in the neighborhood of 650,000 barrels.
23 But there's -- It has accumulated production of about
24 30,000 more under the special production case.

25 And I believe that that would probably carry it

1 through to final depletion, that incremental difference.

2 Q. You haven't run the calculation to see what that
3 total number would be for either well?

4 A. No, just to year four, and at that time we've got
5 wells declining at capacity.

6 Q. All right. You and Mr. Campbell had a brief
7 discussion about potential water coning in the reservoir?

8 A. Yes, sir.

9 Q. Are you aware that the convention in the pool is
10 for the operators to fracture-stimulate these wells, and in
11 doing so, are highly likely to communicate with the water
12 leg that's lower in the reservoir?

13 A. Fracture stimulation is a normal completion
14 procedure. Whether or not it allows communication with the
15 aquifer, it may vary in wells as to where the source of the
16 water being drawn into the wells is coming from.

17 Q. Did you have any quarrel with Mr. Schramko on his
18 velocity calculation, the velocity information he shows
19 where a vertical well is likely to have almost seven times
20 greater velocity than the horizontal well?

21 A. I didn't have an opportunity to go through those
22 calculations in detail, so I just really can't comment on
23 those.

24 I haven't had an opportunity to study those.

25 Q. What's the basis for your assumption that the

1 Bass well comes on at the end of a twelve-month period?

2 A. In visiting with Bass about offset well, as to
3 what is the earliest possible date they could forecast,
4 after Phillips makes a successful completion how soon could
5 they have a well in the reservoir, and that was about the
6 earliest they could forecast being able to have a well
7 permitted in this potash area, drilled and on production,
8 and that's based on discussions with Bass.

9 And I think that's making some very broad
10 assumptions, very optimistic assumptions, if you look at
11 the generalized potash outline of --

12 Q. Do you know whether or not they've obtained the
13 approval of a surface location for drilling in any portion
14 of Section 14?

15 A. I don't know, I don't know.

16 Q. Have you attempted to run your model under your
17 assumptions, but put the Bass well in the reservoir earlier
18 than twelve months?

19 A. No.

20 Q. Does it make a difference in whether or not the
21 overproduction is equalized, if you will, between the
22 project areas, if instead of allowing the Phillips well to
23 continue to produce at 158 barrels of oil a day, that at
24 the end of the twelve-month period it is simply shut in?
25 Do you know what the effect of that would be?

1 A. I haven't run that case, but it would still show
2 oil moving in.

3 Most of the migration starts because of the large
4 withdrawal in the first twelve-month period.

5 Q. Does the effect -- Are these numbers affected by
6 the size of the container that you have modeled?

7 A. They could be, but I've looked at that and I
8 believe I've got a large enough container to account for
9 most of the regions, or most of -- to include enough grids
10 where oil movement is occurring in response to the
11 withdrawals.

12 Q. Okay. Do you see what I'm looking for? I'm
13 looking for a boundary effect --

14 A. Yes.

15 Q. -- for the size of the container that you've
16 selected.

17 A. Yes, what I tried to do was to go to a large
18 enough grid so that I would not impose some artificially
19 assumed no-flow-boundary.

20 I was trying to go out large enough in that, and
21 the only exception I made was in an east direction.

22 Q. The assumed boundary on the east is the one
23 that's shown on Exhibit Number 5 where it approximates the
24 section line?

25 A. Yes, sir. It's slightly over into the Bass

1 acreage to the east.

2 Q. Mr. Schramko's assumption, I guess, his best-case
3 assumption, was the initial productivity of his well was
4 about 1600 barrels of oil a day.

5 Based upon your work, do you have any other
6 number to suggest to us about the highest expected rate for
7 the horizontal well?

8 A. No, I just simply assumed that it would produce
9 at 16- --

10 The production as forecast by Phillips, I just
11 simply assumed that was the production schedule, rather
12 than trying to generate some other schedule. I just used
13 what Phillips said they thought they would produce out of
14 the well.

15 Q. All right.

16 And so that's the only case that you ran in terms
17 of what initial rate, as well as subsequent rates for the
18 Phillips well, is the schedule they proposed?

19 A. Yeah -- Well, the other case was assuming the
20 well produced only 561 a day until its capacity was not
21 561.

22 MR. KELLAHIN: Okay. Thank you, Mr. Chairman.

23 CHAIRMAN LEMAY: Thank you, Mr. Kellahin.

24 Questions for the witness?

25 Commissioner Bailey?

EXAMINATION

1
2 BY COMMISSIONER BAILEY:

3 Q. In view of the restrictions for drilling
4 locations because of the potash factors here, I'm looking
5 for the realistic ability of Bass to produce oil in the
6 north half of the north half of this section.

7 Given the costs that Phillips gave us, that it
8 would -- a horizontal well is about three times the cost of
9 a vertical well, I'm looking for a location, even, that
10 Bass could choose in order to drain this portion of the
11 section.

12 Have you any thoughts on that kind of a question?

13 A. Yes, Bass is very concerned about that and is
14 working on how that might be developed, since there does
15 appear to be the potential of the reservoir extending into
16 that area and how are those reserves developed.

17 And so I've assumed that Bass is able to work
18 with the BLM and the potash and somehow get a well drilled
19 over there, somehow, from an island, an offset or a long-
20 lateral-reach well.

21 So I've sort of made assumptions to see what the
22 minimum drainage would be, assuming that could be
23 accomplished.

24 If that's not accomplished, the drainage would be
25 even more.

1 Q. Okay. Does Bass have any experience drilling
2 horizontal wells in this area?

3 A. Bass has drilled numerous wells that are lateral
4 wells. Bass has done extensive drilling in the area of the
5 potash and has deviated wells long distances, over 2000
6 feet, to reach bottomhole locations.

7 So they have had directional drilling experience,
8 considerable.

9 COMMISSIONER BAILEY: Okay, that's all I have.

10 CHAIRMAN LEMAY: Thank you, Commissioner Bailey.
11 Commissioner Weiss?

12 COMMISSIONER WEISS: I have a couple questions.

13 EXAMINATION

14 BY COMMISSIONER WEISS:

15 Q. What does Eclipse do with the vertical
16 permeability in a 2-D model?

17 A. Oh, it's a 3-D model.

18 Q. But I only saw the XY grid blocks, I didn't see
19 any Z grid blocks.

20 A. No, we have a Z. The Z, we just have one cell in
21 that direction, but we put in the thickness. So we have a
22 vertical thickness in there. It just is one cell thick,
23 but we have a dimension in that direction.

24 Q. Doesn't it have to flow from one cell to the
25 other in order to use the permeability?

1 A. No, it handles the flow within the cell there,
2 based on the vertical permeability there. The Eclipse
3 model will handle that.

4 We have a 40-foot-thick reservoir section, and
5 within that 40 foot Eclipse we'll handle the vertical and
6 horizontal components of fluid flow.

7 Q. Okay. And then the oil drainage in Region 2
8 didn't reflect production from that Well 48 in Section 12,
9 did it?

10 A. No, the -- I can explain. I put in basically a
11 no-flow boundary to assume Well 48 keeps the drainage from
12 encroaching any further onto the well in the east section.
13 That's basically how I got the limits on that side.

14 I assumed that that well would have performance
15 as such that it would keep it from encroaching in that
16 section.

17 Q. And then how much water was produced with the oil
18 in your calculations?

19 A. I used the Phillips parameters in which they have
20 no water movement. So I didn't produce any water.

21 I used the same reservoir parameters on this to
22 just look at oil movement in the regions, assuming that
23 there was not any water coning or water production.

24 I was looking primarily at where was oil going to
25 move under using the same parameters Phillips was using?

1 Q. I guess I don't understand how you did that with
2 initial water saturation of 50 percent. Seems to me like
3 the well would have to produce water.

4 A. I didn't have it a mobile phase. I didn't allow
5 it to flow, so that just reduced the pore volume in there,
6 and it was not a mobile phase.

7 Q. Okay. So then the pressure differences in these
8 grid blocks are not realistic, are they?

9 A. I believe they are, under the -- To account for
10 the oil withdrawal, they would be realistic --

11 Q. Yes, yes.

12 A. -- pressures, yes.

13 Q. Oh, yes --

14 A. Yes.

15 Q. -- no question.

16 A. Yes. But I did not -- I tried to stay with the
17 Phillips characterization of the reservoir as much as
18 possible and look at just oil flow under their proposal,
19 because their proposal did not give me a water production
20 schedule either. So they didn't have a mobile water phase.
21 So therefore I was trying to model their oil phase.

22 COMMISSIONER WEISS: That's all the questions I
23 have. Thank you.

24 CHAIRMAN LEMAY: Thank you, Commissioner Weiss.

25 I -- It may be difficult for you to answer for

1 Bass, because I understand you're a consultant, but -- Go
2 ahead.

3 COMMISSIONER WEISS: I had one other question,
4 but that was the most important one.

5 Q. (By Commissioner Weiss) When was the last time
6 Bass got a permit in the potash area?

7 A. I would have to defer that to somebody else. I
8 may be able to find that out for you from some of the Bass
9 people that are here.

10 CHAIRMAN LEMAY: I had the same thing.

11 COMMISSIONER WEISS: Yeah, everybody's --

12 THE WITNESS: I'm not sure what year.

13 CHAIRMAN LEMAY: We're all worried about Bass
14 protecting their correlative rights because of the BLM.

15 I mean, that's not even the subject of this
16 hearing.

17 It may come up at some point in our careers.

18 THE WITNESS: Bass is very concerned about how to
19 do that also.

20 But I was trying to look at the just issue in
21 this hearing, and assuming we could get around that other
22 problem, I'm not -- and that may not be --

23 COMMISSIONER WEISS: Perhaps the Commissioner
24 could --

25 THE WITNESS: -- but I was --

1 COMMISSIONER WEISS: -- some Potash.

2 EXAMINATION

3 BY CHAIRMAN LEMAY:

4 Q. Well, maybe I could phrase this question as to
5 what you would recommend, being familiar with the
6 situation.

7 Would you recommend or do you think Bass would be
8 interested in doing the Phillips-type decline curve?

9 In other words, your general testimony as I've
10 interpreted it has been, it's okay if Phillips wants to do
11 this, but we don't think we need this type of analysis on
12 our acreage if and when we can get our horizontal well
13 drilled?

14 A. Bass doesn't see any need to conduct that type of
15 test on their well. At least, it doesn't have any plan to
16 do that type of testing in order to deplete the well.

17 And then Bass is concerned, since Bass doesn't
18 plan that type of testing procedure, at least at this time,
19 in my discussions with them, for their well, and the time
20 delay, the granting of this special exception for the
21 offsetting well is very detrimental to Bass.

22 Q. Well, then, even if you would adjust the time
23 frame, any incremental allowable, would it be your
24 testimony that there would be uncompensated net drainage
25 with any increase in allowable granted them, even though it

1 was made up?

2 A. Yes. At least under the six months. Now, it's
3 just an order of magnitude. If it's only one month, then
4 it would be reduced even more.

5 But I think the authority to produce in excess of
6 the allowable -- to allow the wells to produce at capacity
7 is giving them an advantage, that causes drainage from the
8 offset.

9 Q. And that's Bass's main concern. There is no
10 level of uncompensated drainage that would be acceptable?

11 A. We would prefer there would be none, but Bass has
12 realized -- And that's why I ran the case at the 561. Even
13 if the special production is denied, there's still going to
14 -- there's going to be some drainage that Bass can't
15 offset, even under that case. And that's why I looked at
16 the additional drainage, to see --

17 Q. Yeah, but that would be fair under the rules of
18 capture. I mean, Bass supposedly should be able to protect
19 themselves.

20 A. That's it, theoretically they should --

21 Q. Theoretically they should.

22 A. -- if they were able to just go and drill a well,
23 that's it.

24 Q. Normally that would be the case.

25 One more question, for curiosity --

1 A. Yes.

2 Q. Would it be possible -- I mean, what is the
3 maximum horizontal distance effectively that can be drilled
4 at this depth to be able to connect 40-acre units together?
5 How far can you go out there horizontally with technology
6 today that may be as economically feasible?

7 A. There have been wells drilled over 12,000 feet
8 laterally in other areas.

9 Now, the unique drilling experience in formations
10 in this particular area, that may not apply. But in my
11 experience there have been -- I've been involved in
12 California and other -- and some of the Austin chalk wells
13 that have been drilled for very long lateral distances,
14 some over 4000 and 5000 feet. Some of the long-lateral-
15 reach wells that reach some of the offshore properties in
16 California are up to 10,000 to 12,000 feet of lateral
17 projection to reach some of the offshore reserves from
18 onshore.

19 So the technology is there to drill very long
20 distances laterally.

21 Now, again, you'd have to address the specific
22 formations encountered here to see how far you could go in
23 this situation. But I'm trying to answer generally in
24 experience. The technology is there to drill a very long
25 distance.

1 Q. With your experience with this formation, how far
2 would you recommend they could drill and be effective
3 laterally?

4 A. I don't know. I think it's reasonable to assume
5 that you can go through three of the units. How much more
6 than that, I don't know. I'd have to do a study. I just
7 would be reluctant to respond without looking at that
8 specific study.

9 CHAIRMAN LEMAY: Thank you very much. That's all
10 the questions I have.

11 Additional questions of the witness?

12 MR. KELLAHIN: No, sir.

13 CHAIRMAN LEMAY: Okay. Let's leave the record
14 open for a couple weeks for draft orders and --

15 MR. KELLAHIN: I know we're a little short of --

16 CHAIRMAN LEMAY: Do you want to sum up?

17 MR. KELLAHIN: No, sir, I think I prefer to
18 utilize my time to, with your permission, recall Mr.
19 Schramko --

20 CHAIRMAN LEMAY: Fine.

21 MR. KELLAHIN: -- for a few comments --

22 CHAIRMAN LEMAY: Sure.

23 MR. KELLAHIN: -- and then let Mr. Campbell and I
24 prepare draft orders on the topic for you.

25 But in lieu of a statement of opinion, I simply

1 would like to recall Mr. Schramko.

2 To expedite the process, Mr. Chairman, let me
3 have the flexibility to simply give him a narrative
4 question, if you will, or invite a narrative answer.

5 CHAIRMAN LEMAY: Okay.

6 KEN SCHRAMKO (Recalled),

7 the witness herein, after having been first duly sworn upon
8 his oath, was examined and testified as follows:

9 DIRECT EXAMINATION

10 BY MR. KELLAHIN:

11 Q. Mr. Schramko, you've had an opportunity to listen
12 to Mr. Platt's presentation and express his concerns for
13 Bass about your project. Has anything he has described for
14 the Commission caused you to re-evaluate your position or
15 change your conclusions?

16 A. No, nothing.

17 Q. What is your assessment of his intentions about
18 the fact that there's going to be net uncompensated
19 advantage, if you will, or drainage, the advantage to
20 Phillips at the expense of Bass, if the test is granted?

21 A. I was looking for some statement that said that
22 the ultimate recovery from the Bass acreage would be
23 reduced.

24 What we've seen so far is that there would be
25 movement of oil, which we don't deny, that there would be

1 this -- and he quantified it for us at 20,000 barrels of
2 oil, because of the test period.

3 My contention is that ultimate recovery would be
4 the same, and by stopping short in his model at three or
5 four years, he didn't follow this process out to its
6 logical completion, in which case he would have likely
7 seen, but we can only speculate since he didn't make the
8 runs, that the recoveries would have been the same.

9 Q. Any other comments or observations you want to
10 make to the Commission before we conclude?

11 A. Yes, two.

12 I don't compare myself to other engineers who are
13 in here asking for big things, engineers wanting lots of
14 data. I sit here as a rate-time analysis expert,
15 recognized within Phillips Petroleum, telling you this is
16 special circumstances, this is a special case, where
17 granting this special test period can in fact, because
18 we're talking about a horizontal well, recover additional
19 oil. That's one point.

20 Second one is, I want to make sure that I was
21 clear in my usage of the model that I selected. I had
22 really just one objective, and I didn't hear anything from
23 Mr. Platt's testimony to refute that.

24 My objective was to show that this horizontal
25 well could produce at a rate of approximately 1680 barrels

1 a day.

2 Once I had that accomplished within my model, to
3 show that the rate is 1680 barrels a day, all that served
4 was the basis for me asking for the magnitude of the
5 special test period.

6 From this point forward, I don't need to know
7 anything else about the well, other than the basic flow
8 parameters, thickness, porosities, things of that sort, to
9 calculate permeability and skin.

10 In other words, the rate-time analysis that I
11 will perform isn't dependent upon what's going to happen,
12 will we cause skin? That's why I'm running the test. In
13 other words, I will tell you what permeability is, I'll
14 tell you what the skin is, if we run the test.

15 I think there was some confusion about that
16 because I heard several individuals alluding to the fact
17 that perhaps I needed certain things to happen from this
18 point forward in order to be able to perform rate-time
19 analysis. That's not the case. It stands alone. The
20 model for was obtaining an expectation.

21 Once that expectation is done, now I can perform
22 rate-time analysis, and in fact determine exactly what
23 permeability and skin are, as opposed to what I've put in
24 the model at this point to estimate what it might be.

25 That's all I have.

1 MR. KELLAHIN: Thank you, Mr. Chairman.

2 CHAIRMAN LEMAY: Thank you.

3 Questions of the witness?

4 MR. CAMPBELL: No, sir, but I'd like to use about
5 two or three minutes just to summarize our case. But the
6 Examiners --

7 CHAIRMAN LEMAY: We have a couple questions here
8 quickly.

9 So Commissioner Weiss?

10 EXAMINATION

11 BY COMMISSIONER WEISS:

12 Q. Am I clear here that you can get skin out of a
13 steady-state flow equation?

14 A. Yes.

15 COMMISSIONER WEISS: Thank you.

16 EXAMINATION

17 BY CHAIRMAN LEMAY:

18 Q. This is more of an economic. We've been talking
19 about, Mr. Schramko, the net uncompensated drainage, and I
20 think you were at least inferring or I understood your
21 testimony to be that ultimately that would be made up and
22 that Bass wouldn't be handicapped because maybe at the end
23 of the life they'd get a little each year and they'd
24 finally make it up.

25 But even granting that scenario, would you agree

1 to some economic loss because of time, use of money, it
2 would take a while to make that extra production up toward
3 the end of the reservoir?

4 A. I find something a little unusual here, and that
5 is that his models started at 561 for the Bass well. Under
6 that condition, I would agree, there's going to be a
7 movement of oil in our direction.

8 Why wouldn't Bass want to bring their well on at
9 1680 barrels a day like we're going to do? That's a
10 condition that he didn't run. And had he done that, the
11 movement would have been less significant than 20,000
12 barrels, far less significant. It would have had to have
13 been. But we can only speculate on what the actual numbers
14 would have been.

15 Q. I thought I asked him that very question, if he
16 would recommend that. But his answer was that he wouldn't,
17 so that's probably the reason. Whatever his reasons were.

18 A. In a drainage -- In a competitive environment is,
19 I guess, what I'm alluding to.

20 Q. Oh, I see.

21 A. We're competing for oil, but -- is free to move
22 across, and we're giving them the authorization to produce
23 at 1680. I'm at a loss unless you believe it would damage
24 the reservoir, and I heard nothing in them to suggest that
25 it would. Why wouldn't you want to produce it at 1680?

1 Q. I guess what you're suggesting is that, assuming
2 we would grant your request, that then he might change his
3 mind on wanting to get that advantage?

4 A. I think that's a fair statement.

5 CHAIRMAN LEMAY: All right, I'm sorry. I'm just
6 trying to get where you're coming from.

7 That's all I have, Counselor.

8 MR. KELLAHIN: That completes my rebuttal.

9 CHAIRMAN LEMAY: Thank you.

10 Mr. Campbell?

11 MR. CAMPBELL: I'll waive closing, Mr. Chairman.

12 CHAIRMAN LEMAY: Okay.

13 Anything else in the case?

14 MR. KELLAHIN: No, sir.

15 What's the time frame for your -- our submittal?

16 CHAIRMAN LEMAY: Can you get a couple -- two
17 weeks? Would that give you enough time to give us some
18 draft orders?

19 MR. KELLAHIN: Let us try for that, and we'll
20 call you if we're --

21 CHAIRMAN LEMAY: If you have a problem let me
22 know and we can leave it open longer.

23 MR. KELLAHIN: All right, sir.

24 CHAIRMAN LEMAY: And Elizabeth, good luck to you.

25 MS. HARRIS: Thank you.

1 CERTIFICATE OF REPORTER

2


3 STATE OF NEW MEXICO)
 4 COUNTY OF SANTA FE) ss.

5

6 I, Steven T. Brenner, Certified Court Reporter
 7 and Notary Public, HEREBY CERTIFY that the foregoing
 8 transcript of proceedings before the Oil Conservation
 9 Commission was reported by me; that I transcribed my notes;
 10 and that the foregoing is a true and accurate record of the
 11 proceedings.

12 I FURTHER CERTIFY that I am not a relative or
 13 employee of any of the parties or attorneys involved in
 14 this matter and that I have no personal interest in the
 15 final disposition of this matter.

16 WITNESS MY HAND AND SEAL October 9th, 1994.

17 
 18 _____
 19 STEVEN T. BRENNER
 20 CCR No. 7

21 My commission expires: October 14, 1994

22

23

24

25