

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING)
CALLED BY THE OIL CONSERVATION)
DIVISION FOR THE PURPOSE OF)
CONSIDERING:) CASE NO. 11,038
APPLICATION OF MERIDIAN OIL, INC.)
_____)

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

August 18, 1994

Santa Fe, New Mexico

11/100

This matter came on for hearing before the Oil Conservation Division on Thursday, August 18, 1994, at Morgan Hall, State Land Office Building, 310 Old Santa Fe Trail, Santa Fe, New Mexico, before Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

I N D E X

August 18, 1994
 Examiner Hearing
 CASE NO. 11,038

	PAGE
APPEARANCES	3
APPLICANT'S WITNESSES:	
<u>VAN GOEBEL</u>	
Direct Examination by Mr. Kellahin	4
Examination by Examiner Catanach	13
<u>MIKE DAWSON</u>	
Direct Examination by Mr. Kellahin	14
Examination by Examiner Catanach	25
<u>TOM MULLINS</u>	
Direct Examination by Mr. Kellahin	31
Examination by Examiner Catanach	53
REPORTER'S CERTIFICATE	65

* * *

E X H I B I T S

	Identified	Admitted
Exhibit 1	-	-
Exhibit 2	-	-
Exhibit 3	6	13
Exhibit 4	17	25
Exhibit 5	37	53
Exhibit 6	37, 49	53
Exhibit 7	12	13

* * *

A P P E A R A N C E S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

FOR THE APPLICANT:

KELLAHIN & KELLAHIN
117 N. Guadalupe
P.O. Box 2265
Santa Fe, New Mexico 87504-2265
By: W. THOMAS KELLAHIN

* * *

1 WHEREUPON, the following proceedings were had at
2 10:36 a.m.:

3 EXAMINER CATANACH: At this time we'll call Case
4 11,038, the Application of Meridian Oil, Inc., for downhole
5 commingling, Rio Arriba County, New Mexico.

6 Appearances in this case?

7 MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin of
8 the Santa Fe law firm of Kellahin and Kellahin, appearing
9 on behalf of the Applicant, and I have three witnesses to
10 be sworn.

11 EXAMINER CATANACH: Additional appearances?
12 Will the witnesses please stand to be sworn in?
13 (Thereupon, the witnesses were sworn.)

14 MR. KELLAHIN: My first witness, Mr. Examiner, is
15 Mr. Van Goebel.

16 VAN GOEBEL,
17 the witness herein, after having been first duly sworn upon
18 his oath, was examined and testified as follows:

19 DIRECT EXAMINATION

20 BY MR. KELLAHIN:

21 Q. Mr. Goebel, for the record, please state your
22 name and occupation.

23 A. I'm Van Goebel. I'm with Meridian Oil, I'm a
24 landman.

25 Q. And where do you reside, sir?

1 A. Farmington, New Mexico.

2 Q. On prior occasions have you testified and
3 qualified as an expert landman before the Division?

4 A. Yes, I have.

5 Q. Summarize for us what has been your involvement
6 in this Application that's before the Examiner.

7 A. Okay. We are divided into area teams at
8 Meridian. This is the Area 3 team, made up of Mike Dawson,
9 our geologist, Tom Mullins, our engineer, and myself as the
10 landman. My worked together in putting this project
11 together for the Klein/Vaughn area commingle Application.

12 Q. As part of that work, have you made yourself
13 familiar and knowledgeable about the leasehold position in
14 what you've characterized the Klein/Vaughn area?

15 A. Yes.

16 Q. Do you also know the offset operators to that
17 project area?

18 A. Yes.

19 MR. KELLAHIN: We would tender Mr. Goebel as an
20 expert petroleum landman.

21 EXAMINER CATANACH: Mr. Goebel is so qualified.

22 Q. (By Mr. Kellahin) Let's find a display in the
23 book, Mr. Goebel, that will serve to illustrate what we've
24 identified as the project area. Where may we turn and find
25 that display?

1 A. Okay, Under Exhibit 3 is a map showing the -- a
2 portion of the State of New Mexico. The project area is 50
3 miles southeast of Bloomfield.

4 Q. Why is it called Klein/Vaughn?

5 A. The reason it's called the Klein/Vaughn area is
6 that we have a number of overriding interest owners in our
7 leases. Family members were named Klein and Vaughn, so the
8 wells were named after these family members.

9 Q. As you understand the project from a landman's
10 point of view, what is Meridian trying to do?

11 A. In this area, we have existing Dakota wells which
12 are approaching their economic limit. The configuration of
13 the wellbores will not allow dual completions. The
14 Mesaverde formation and the Gallup formation in this area
15 are considered marginal.

16 And if we're allowed to commingle these wellbores
17 with all three formations, this will aid in lifting the
18 fluids associated with the Dakota formation, allowing us to
19 have ultimate recovery, and also allow us to produce the
20 Mesaverde and Gallup formations, which otherwise may not be
21 produced if they had to be completed on their own.

22 Q. How large an area are we dealing with when we
23 talk about the Klein/Vaughn area?

24 A. Okay, under the overview map on the second is a
25 foldout map indicating the Klein/Vaughn area. And --

1 Q. When we fold that out and look at that area, how
2 is the Klein/Vaughn designated?

3 A. It is designated by the sections with the
4 hashmarks. It contains 4800 acres.

5 Q. Why are you asking the Division Examiner to give
6 you an areawide approval for this commingling procedure, as
7 opposed to coming to him on a case-by-case downhole
8 commingling application?

9 A. Okay, we feel that due to the nature of the
10 current Dakota wells, with them approaching their economic
11 limit, that if we're unable to have a commingle order
12 covering this area, that as the wells reach that point, we
13 would have in place a mechanism to allow us to commingle
14 without having to go to hearing each time and that we could
15 present our evidence to the Aztec office once that was in
16 place.

17 Q. When you go through the Division procedures with
18 regards to downhole commingling, we're going to show the
19 Examiner a bunch of the technical information. What are
20 you specifically asking him to delegate to the district
21 office, then, for the final commingling for these wells?

22 A. What we would ask to be provided would be the
23 allocation formula and what would be considered the project
24 economic parameters that would then enable us to go forth
25 and commingle.

1 Q. Your concept, then, is to present to this
2 Examiner all the technical data, among which is to
3 establish an economic threshold below which, then, when
4 production from these wells hits that number, we would go
5 to the district office and process these applications?

6 A. That's correct.

7 Q. So you're going to submit to him proof of the
8 economics?

9 A. Yes.

10 Q. If he's persuaded, then, you would go to the
11 district for each of these wells, show them that economic
12 benchmark, and then work out the allocation?

13 A. Yes.

14 Q. When we look at the locator map, the foldout map
15 that you just referred to --

16 A. Yes.

17 Q. -- all right, what kind of wells are shown on
18 this map?

19 A. Okay, on this particular map, the foldout map
20 shows a variety of different type of wells. At the left-
21 hand corner of the map, lower left-hand corner, is an
22 indication of what the symbols represent for the types of
23 wells. So you'll see in there, we've got Dakota wells,
24 Chacra wells, Pictured Cliffs wells.

25 Q. Okay, let's go to the next display. We're still

1 behind the information shown on Exhibit 3 tab?

2 A. Yes.

3 Q. And we're continuing through that section?

4 A. Yes. Now, what we have next are formation-
5 specific plats. The next one is indicating in the
6 Klein/Vaughn area the Mesaverde wells or formation
7 completions.

8 Q. All right, the Mesaverde wells within the
9 Klein/Vaughn area are going to be designated with the
10 Mesaverde well symbol. It's the circle with the gas well
11 symbol in it?

12 A. Yes.

13 Q. All right. The next display?

14 A. The next display indicates where Gallup wells
15 would be located, or production. You'll see on the map
16 there in Section 33 we've indicated a Gallup which has been
17 completed with the Dakota well, the 28 E.

18 Q. There's only one Gallup well in the area?

19 A. Yes.

20 Q. Do you recall from memory how many Mesaverde
21 wells we have in the Klein/Vaughn area currently?

22 A. No.

23 Q. I believe you told me there were seven. Do
24 you --

25 A. Yeah, there would be about seven.

1 Q. All right. And --

2 A. And we also are planning to do additional
3 projects.

4 Q. I meant currently existing now.

5 A. Current would be about seven.

6 Q. The next display is the Dakota?

7 A. Yes, it shows the Dakota completions in the area.

8 Q. And how many actual Dakota completions do you
9 currently have in the project area?

10 A. We have approximately 20 or so.

11 Q. All right. So that's been the formation or
12 reservoir that's been more fully developed in the project
13 area?

14 A. Yes.

15 Q. When you look at the Klein/Vaughn area, how is
16 that ownership arranged?

17 A. Okay, in the Klein/Vaughn area it is composed of
18 two federal leases.

19 If you go to the very last page under this
20 exhibit, what I have provided there is a breakout of the
21 burden owners, the overriding interest owners and the
22 royalty owners.

23 We have two federal leases, and the royalty and
24 overriding interest owners are common under both of those
25 federal leases.

1 Also indicated under each federal lease would be
2 the sections that are covered, so that in these leases
3 Meridian would have a 100-percent gross working interest,
4 all depths, and we have a 68.25-percent net, all depths,
5 which would include the royalty owners and the overriding
6 interest owners.

7 There are 12 overriding interest owners.

8 Q. Let's deal with each of the three reservoir
9 pools.

10 In the Dakota -- Let's start with the Gallup,
11 that's the easiest one. In the Gallup, what's your spacing
12 in the Gallup for gas?

13 A. It's undesignated, but we're using 160-acre
14 spacing.

15 Q. For any Gallup gas well spacing within that 160,
16 are you going to have common ownership?

17 A. Yes.

18 Q. When we go to the Mesaverde, you've got 320 gas
19 spacing with an optional infill well?

20 A. Yes.

21 Q. In each instance, are the proposed or current
22 Mesaverde spacing units configured so that you would have
23 common ownership if it's commingled with the Gallup and/or
24 Dakota?

25 A. Yes.

1 Q. And the same would be true, then, of the Dakota?

2 A. Yes.

3 Q. There are no circumstances or incidents where the
4 spacing unit for any of these wells will include a
5 difference of ownership as you move to any of the three
6 reservoirs?

7 A. No, that would not occur.

8 Q. If you'll turn to the tab that's marked Exhibit 7
9 and look behind that, there's a certificate of mailing?

10 A. Yes.

11 Q. It shows what appear to be oil and gas operators?

12 A. Yes, this would be the mailing for the offset
13 operator notification.

14 Q. Have you or others under your control verified
15 the accuracy of the notice list of offset operators?

16 A. Yes, we have.

17 Q. And does this appear to be accurate and reliable?

18 A. It appears so.

19 MR. KELLAHIN: That concludes my examination of
20 Mr. Goebel, Mr. Examiner.

21 We would move the introduction of Exhibit 3 and
22 Exhibit 7.

23 EXAMINER CATANACH: I'm sorry, Exhibit 7 and what
24 other one?

25 MR. KELLAHIN: Three.

1 EXAMINER CATANACH: Exhibit 7 and Exhibit 3 will
2 be admitted as evidence.

3 EXAMINATION

4 BY EXAMINER CATANACH:

5 Q. Mr. Goebel, the interest ownership within any
6 given spacing unit within this area would be common,
7 despite the difference in proration unit size?

8 A. Yes, it would.

9 Q. And their actual percentage in each of the
10 formations would remain the same, right?

11 A. Yes, they would.

12 Q. The way I understand it, you would have us
13 establish a procedure where you would submit to the
14 district office a proposed allocation formula for the well?

15 A. Yes.

16 Q. And some economics to show that you've reached
17 the economic limit, so to speak, of the well?

18 A. Yes, that's what we're proposing.

19 EXAMINER CATANACH: Okay. I have nothing else of
20 this witness, Mr. Kellahin.

21 MR. KELLAHIN: Call at this time Mr. Mike Dawson.
22 Mr. Dawson is a geologist.

23 Give him just a moment, he's got a rather large-
24 size three-well cross-section that he'd like to use.

25 (Off the record)

1 As we have approached the economic limits of the
2 Dakota, we are looking for ways to extend the life of these
3 wellbores and to efficiently produce the remaining reserves
4 in the Gallup and Mesaverde formations, both of which are
5 economically rather risky and perhaps marginal in this
6 area.

7 So we've tried to arrive at a plan to officially
8 recover those reserves and extend the life of the wells.

9 Q. Let's start with the Gallup. You've got a single
10 Gallup well in the Klein/Vaughn area?

11 A. Yes, sir.

12 Q. How successful is that well?

13 A. Extremely marginal. We're getting a sustained
14 rate of 40 to 50 MCF a day and a couple of barrels of oil.

15 Q. Have you mapped the Gallup in this area to know
16 whether or not that was going to be a typical result of
17 Gallup wells in this area, or otherwise?

18 A. We would project that that would be typical. The
19 Gallup has a layer-cake stratigraphy. It's an extremely
20 homogeneous unit through this area, sequence of sandstones,
21 siltstones and dark shales, and it's very, very easy to
22 trace individual beds throughout.

23 So the result that we had in our one attempt
24 should provide the expected result for the other wells.

25 The one caveat to that is that for the Gallup

1 formation to produce commercially, natural fracturing is
2 required. It's a very, very tight formation, so...

3 Natural fracturing is -- appears to be a somewhat
4 random process. We may do better or worse, depending on
5 the degree of natural fracturing that we tie into.

6 Q. Would you recommend to management the drilling in
7 this area of a Gallup well as a Gallup-alone test?

8 A. No, sir, not in any case.

9 Q. How, then, would you as a geologist recommend we
10 exploit any opportunity for any Gallup production in this
11 area?

12 A. Our best and perhaps only option to recover those
13 Gallup reserves would be in existing wellbores, and of
14 course those would have to be the Dakota wellbores that we
15 referred to earlier.

16 Q. When we look at the existing wellbores, are there
17 any current wellbore limitations that are a challenge for
18 you and Mr. Mullins to deal with?

19 A. Yes, sir, our Dakota wellbores are 4-1/2-inch
20 casing, not large enough for a dual completion. We can
21 complete both the Gallup and Dakota and commingle. We are
22 able to do that.

23 Q. Let's move to the Mesaverde. Describe for us in
24 a geologic sense what your opinions are about the Mesaverde
25 and the potential in the project area.

1 A. The Mesaverde here, the productive part, the only
2 part of it with productive potential, is the Point Lookout.

3 In this area, the Cliffhouse and the Menefee are
4 both water-productive. There have been some successful
5 completions in the Point Lookout only. We are right on the
6 edge of the Blanco Mesaverde field, on the southwest edge,
7 so there are some risks in terms of producing water in a
8 Mesaverde completion.

9 Also, we're in an area where the total pay in the
10 Mesaverde, the total gross pay and net pay, are somewhat --
11 because of the inconsistent stratigraphy, is somewhat of a
12 risk, so that it would be very risky to go in and develop
13 it with dual drills in particular, on a 160-acre basis.

14 Q. Describe for us the Dakota reservoir in the
15 project area.

16 A. The Dakota consists of several individual
17 sandstones. Normally in our completions, we complete every
18 sandstone that looks even modestly prospective. And as I
19 say, we've witnessed pressure depletion, and we feel like
20 we're late in the life of the Dakota reservoir within this
21 particular leasehold.

22 Q. Let's look behind Exhibit Tab Number 4. If
23 you'll look at the first geologic display behind that tab
24 section, does that represent your work product?

25 A. Yes, sir, this is just intended as an index map.

1 It illustrates three or four points that I'd like to bring
2 up.

3 The purple outline outlines the same area that
4 Mr. Goebel earlier described, the Klein/Vaughn leasehold.

5 I've put a couple of different symbols on to
6 indicate wells that I think are probably key to our
7 Application.

8 The open red gas well symbols represent three
9 existing Dakota-Mesaverde commingle wells in our area.

10 The red gas well symbols with the green interior
11 represent wells that have been -- in which the Dakota has
12 been temporarily abandoned and the Mesaverde completed.

13 Then the third symbol, which is the green gas
14 well symbol, is the single Gallup completion in this
15 immediate area. And again, the Dakota was temporarily
16 abandoned.

17 I've denoted a three-well cross-section that
18 would typify the stratigraphy in this area, and that's what
19 I've brought forward here on the chalk board.

20 Q. Let's have you do that now. If you'll go to the
21 cross-section and use the pointer, show us those items on
22 the cross-section that are of significance to you as a
23 geologist.

24 A. I start at the bottom here, at the top of the
25 Dakota.

1 I've highlighted in yellow the sandstones based
2 on the gamma-ray response and greater than 30 ohmmeters
3 resistivity. This nicely portrays the individual sandstone
4 units for which I've put names.

5 And in general, every sandstone unit has been
6 completed in every well, so there may be some remaining
7 reserves. But because in all but one of the sections in
8 our leasehold here we have four wells per section, we think
9 that we probably have efficiently drained the Dakota up to
10 the point at which we are today.

11 The next item that I'd like to show you relates
12 to the Gallup. This is the top of the Gallup. I show this
13 just so you'll have a feel for the relative position.

14 The Gallup in this area would average about 6000
15 feet, the Dakota more like 6700 feet. And if you'll
16 notice, perhaps a little hard to see from your vantage
17 point, but individual beds are very consistent through this
18 whole section. We have the same zones exhibited here with
19 the shading on the resistivity.

20 And just to repeat myself, natural fracturing
21 would be required in that type rock unit in order to
22 achieve commercial production.

23 Of the remaining potential in our area, we feel
24 like this Point Lookout has the most potential. Intrinsic-
25 ally, in terms of virgin reservoir conditions, it does not

1 have the same kind of potential that the Dakota did before
2 we developed it, but --

3 Q. In this area the Point Lookout is part of the
4 Dakota?

5 A. It's part of the Mesaverde group. This is the
6 top of the Mesaverde here. I've denoted the Cliffhouse
7 sandstone. It's water-productive, it has fair matrix
8 permeability, but produces only water. And I've shaded
9 that in blue, as well as the prominent Menefee sands.

10 The log response and the limited testing in the
11 area suggests that all of these will produce only water.

12 Once we get below the top of the Point Lookout,
13 though, we see enhanced resistivity. I've shaded here the
14 resistivity response greater than 30 ohmmeters as an
15 indication of productivity.

16 This probably -- From here to here, that interval
17 probably represents the best remaining asset that we have
18 in that area.

19 Q. Mr. Dawson, if you'll look at the next display
20 behind your Exhibit Tab 4, it's your Point Lookout sand
21 isopach. Is that what you have?

22 A. Yes, sir.

23 Q. Describe for us the conclusions from that map.

24 A. If you'll look at the symbology, I've indicated
25 with gas-well symbols, open in the center, the three

1 existing area Mesaverde-Dakota commingles.

2 I've indicated with a red dot individual
3 Mesaverde completions, some of which are actually dual
4 completions.

5 Then I've indicated with the gas-well symbol and
6 the green dot in the center, Mesaverde completions in which
7 the Dakota has been temporarily abandoned.

8 From that pattern of the red symbols, you get an
9 accurate portrayal of the local edge and the extent of the
10 Blanco-Mesaverde field.

11 To the southwest of these symbols, the Point
12 Lookout is wet. And of course, as in the case of our area
13 of concern, both the Cliffhouse and Menefee are also water-
14 productive.

15 I've tried to make a gross sandstone map here
16 using a resistivity cutoff, which is more or less an
17 accepted procedure for the Mesaverde in the San Juan Basin,
18 and what you see is sort of the sporadic nature of the
19 occurrence of what you might consider gross sandstone. And
20 I've done that to indicate that the reservoir in this area
21 is not particularly consistent or homogeneous, and in some
22 drill blocks we would expect to have very, very marginal
23 results. Others, perhaps, we could expect a little better
24 results.

25 Q. Turn to the next display, the structure map.

1 Identify and describe its significance.

2 A. This is a structure map on a marker bed just
3 below the Huerfanito bentonite and the Lewis shale. It
4 depicts a very gentle northeast dip of about 80 feet per
5 mile. You see general folding in there on this contour
6 interval. Perhaps it looks -- it would lead you to believe
7 that it's a little more deformed than it actually is.

8 This actually represents a very flat surface with
9 a very moderate dip. We don't have any evidence of
10 faulting or any severe structural deformation in this
11 leasehold.

12 Q. Let me direct your attention to the project area
13 and to existing wells.

14 When we look at existing wells and start with the
15 Dakota existing wells, what's the plan, then, to attempt to
16 obtain additional Mesaverde and Gallup production out of
17 those existing Dakota wells?

18 A. Our plan would be to temporarily abandon the
19 Dakota, move uphole, and complete the Gallup and the
20 Mesaverde, and of course test them in order to set
21 ourselves up for the proper allocation, then to re-enter
22 the wellbore and remove the bridge plug, temporary bridge
23 plug, and commingle all three formations potentially.

24 Q. Does that plan change if we're dealing with an
25 existing Mesaverde well?

1 A. Yes, sir. In a Mesaverde-only completion, we
2 wouldn't have the options of adding Gallup and Dakota.

3 Q. So what's your plan for existing Mesaverde wells?

4 A. We would just produce them as they are until we
5 reach that economic limit.

6 Q. No requests to deepen those wells and to
7 commingle those?

8 A. No, sir. Since most of our wells, our existing
9 wells here, are 4-1/2-inch casing, we wouldn't have a large
10 enough casing size to deepen.

11 Q. When we get into that portion of the project area
12 that you're going to drill new wells, describe for me the
13 plan for new wells.

14 A. First of all, there's only one section, that
15 being Section 30 on the -- If you'll refer to your index
16 map on the left-hand side, in which the Dakota has not been
17 fully developed.

18 In that section, our plan would be to set the
19 wells up with 5-1/2-inch casing that would allow us to at
20 least initially make a dual completion with Mesaverde
21 and/or Gallup with the Dakota. So that would be how we
22 would initially set up the well for the new-drill
23 situation.

24 Q. The new well drill would include commingling of
25 the Gallup with either the Dakota or the Mesaverde

1 portions?

2 A. It could potentially. That evaluation would be
3 made based on mud-log shows and wireline response, so it
4 would -- we would have the potential for doing that.

5 Q. I guess the most practical configuration on the
6 new drill would be to commingle the Dakota and the Gallup
7 in one tubing string and then produce the Mesaverde with
8 the second string of tubing?

9 A. Yes, sir, it would.

10 Q. And then when those new drills reached a certain
11 economic threshold, then they would be candidates by which
12 you could take your information to the District Office in
13 Aztec and get a commingling allocation formula assigned to
14 the well?

15 A. Exactly.

16 Q. Anything else, Mr. Dawson?

17 A. No, sir.

18 MR. KELLAHIN: That concludes my examination of
19 Mr. Dawson.

20 We move the introduction of his geologic displays
21 found behind Exhibit Tab Number 4.

22 You'll also find, I think, there's a -- didn't we
23 fold up -- Is this the only copy of the cross-section we
24 have?

25 THE WITNESS: Yes, sir, it is, and it's available

1 to leave here if the Commission would like it.

2 MR. KELLAHIN: I thought there was a smaller
3 copy. But if not, we'll leave that one here with the
4 Examiner, if we need to.

5 EXAMINER CATANACH: So we've just got Exhibit 4,
6 Mr. Kellahin?

7 MR. KELLAHIN: Should be Exhibit 3, Mr. Examiner.

8 EXAMINER CATANACH: It's Number 4.

9 MR. KELLAHIN: Did I lose track? Is it 4, Mike?

10 EXAMINER CATANACH: It's Number 4.

11 THE WITNESS: Yes.

12 MR. KELLAHIN: All right, Exhibit 4.

13 EXAMINER CATANACH: Exhibit 4 will be admitted as
14 evidence.

15 EXAMINATION

16 BY EXAMINER CATANACH:

17 Q. Mr. Dawson, the Dakota is fully developed except
18 in -- did you say Section --

19 A. Section 30.

20 Q. -- 30.

21 A. Yes, sir.

22 Q. Do you intend to drill four Dakota wells in
23 Section 30?

24 A. Right now the plan would be to develop two wells
25 in the northeast -- one in the northeast quarter, one in

1 the southwest, and after testing and evaluation, determine
2 whether the additional two wells would be warranted.

3 Q. How long have these Dakota wells generally been
4 producing in this area?

5 A. I think a typical age would be 15 years or
6 thereabouts.

7 Q. Your assumption that the Point Lookout is the
8 only producing zone in the Mesaverde is based on actual
9 testing in the area?

10 A. It's -- Sir, there's been limited testing in the
11 area. The trend extends -- very similar production and
12 stratigraphic trend -- quite a distance to the northwest.
13 It does not extend very far to the southeast.

14 And along this trend there have been a
15 significant number of tests that have tested water.
16 There's a very clear log response. It's fairly easy to
17 tell from the wireline logs whether or not the zones in the
18 Menefee and Cliffhouse will produce water.

19 What we see is a crossover where our medium and
20 shallow resistivity curves, because of invasion of the
21 freshwater mud systems, and that freshwater mud filtrate
22 has a much higher resistivity than the deep curve, which is
23 showing the more conductive formation, salt water.

24 So when we have that kind of diversions in the
25 induction curve, we can, I think, very accurately determine

1 whether or not the zones will be productive.

2 And an additional bit of evidence would be the
3 mud logs that we have in that area. Typically, there are
4 very few shows in that upper interval, and the shows that
5 are there are only found in the Menefee coals. We never
6 get shows from the sandstones in the Cliffhouse and
7 Menefee, as opposed to the Point Lookout sandstones in
8 which the shows are common.

9 Q. Okay. The -- It appears you've got about seven
10 wells in the area that are Mesaverde completions. Do you
11 know if those wells are just completed in the Point
12 Lookout?

13 A. Yes, every single one is.

14 Q. They are?

15 A. And in fact, on the gross sandstone isopach, I
16 believe every well here -- that would include our recent
17 wells where we've temporarily abandoned the Dakota and
18 completed the Mesaverde, wells that have existed for some
19 time as Mesaverde completions and the commingles -- every
20 well there, on that illustration, has been completed in the
21 Point Lookout only.

22 Q. What is the significance of your yellow coloring
23 on that isopach map? It appears to just center around the
24 40-foot-and-more gross interval.

25 A. The only intention there is to illustrate where

1 the thicker gross sandstones, as defined by resistivity,
2 would be found. And the selection of 40-feet, it was
3 entirely arbitrary.

4 Q. Would you -- Or would Meridian intend to attempt
5 completions in the Mesaverde at something less than 40
6 feet?

7 A. Yes, sir.

8 Q. Do you have a cutoff of what that might be?

9 A. In this area, the lower sandstones are relatively
10 tight, but we feel like we have the same sort of potential
11 for natural fracturing, so we that we know that they're not
12 -- in terms of the matrix permeability and porosity system,
13 they're not effective.

14 When we hydraulically stimulate those sandstones,
15 often we tie into a natural fracture system, and we can
16 recover some hydrocarbons. Usually not significant
17 volumes, but we can get gas and, in some cases, oil from
18 those lower sands.

19 So my strategy for this area would be to complete
20 the Point Lookout, even outside the yellow area, for
21 instance, just so that we maximize our ultimate Mesaverde
22 recovery in this leasehold.

23 Our intent here is to maximize that ultimate
24 recovery -- get all we can, in other words -- and be able
25 to afford to do that through the increased efficiency that

1 we feel that we'll realize through the commingling
2 strategy.

3 Q. Is the initial producing rate that you're likely
4 to encounter in the Point Lookout a direct function of the
5 amount of gross sand you encounter?

6 A. It's related to that, but it's a very weak
7 relationship. My explanation for that would be that in
8 some wells we tie into that natural fracturing I referred
9 to, and it's sort of a random-appearing effect.

10 Oftentimes, the wells in -- Perhaps it would
11 have a lower amount of gross sandstone and net sandstone,
12 will give us just as high an initial rate. Where we start
13 to see a change is once we stabilize our production rate,
14 perhaps after a few weeks or a couple months, then we start
15 to see the difference. If there's not as much of a matrix
16 system behind the natural fracture system to replenish it,
17 then we see a more radical hyperbolic decline.

18 But in general, there is a relationship -- I
19 would characterize it as a weak relationship -- between
20 gross and net sandstone, and initial rate and ultimate
21 recovery.

22 Q. Does the same type of thinking hold true in the
23 Gallup? You said you need to encounter the natural
24 fractures.

25 A. Yes, sir. In the Gallup, the contribution of the

1 matrix system is even much less. The sandstones and
2 siltstones are -- the sandstones are very, very fine grain
3 and range into the silt size, and they're highly, highly
4 cemented. They're very calcareous. Fortunately for a
5 producer, they're fairly brittle. And they're also
6 adjacent to excellent source beds, being the dark
7 interbedded shales, which also can be naturally fractured.

8 So you would tend to get a rather random
9 response, especially in terms of initial potential, from a
10 Gallup completion. If you were lucky enough to tie into a
11 well-developed natural fracture system, you might get an
12 excellent initial rate.

13 If you aren't so lucky, as in the case of the
14 single well we've tried in this area, you might end up with
15 40 or 50 MCF a day and a couple barrels of oil. I guess
16 our area team's philosophy on this is that we don't even
17 want to waste that much, and if we can economically recover
18 that, we will.

19 Q. You really don't know what you have in these two
20 formations till you go down and complete them?

21 A. That's fair to say, yes, sir.

22 Q. Is there potential throughout this area for
23 Gallup production?

24 A. Yes, I would say that the entire area has Gallup
25 potential.

1 We are several miles north of the Devil's Fork
2 field, which is the best Gallup production in the area.

3 In this immediate area, there are a couple of
4 completions just to the southeast that Amoco has made, more
5 or less on the same stratigraphic trend, with similar
6 results as our single attempt here, just 40 or 50 MCF a
7 day.

8 EXAMINER CATANACH: That's all I have of the
9 witness. He may be excused.

10 MR. KELLAHIN: Mr. Examiner, I'm calling now Mr.
11 Tom Mullins. Mr. Mullins is a petroleum engineer.

12 TOM MULLINS,
13 the witness herein, after having been first duly sworn upon
14 his oath, was examined and testified as follows:

15 DIRECT EXAMINATION

16 BY MR. KELLAHIN:

17 Q. For the record, sir, would you please state your
18 name?

19 A. My name is Tom Mullins.

20 Q. Where do you reside?

21 A. I reside in Farmington, New Mexico.

22 Q. And what is it that you do?

23 A. I'm acting as the production engineer for the
24 area team responsible for the Klein/Vaughn lease area.

25 Q. On prior occasions have you testified before this

1 Division?

2 A. No, I have not.

3 Q. Summarize when and where you obtained your
4 engineering degree.

5 A. I graduated in December of 1991 from the Colorado
6 School of Mines with a bachelor's degree in petroleum
7 engineering.

8 I started work January of 1992 and have been
9 working as a production engineer for Meridian Oil in that
10 capacity since that time. I've been working this
11 particular area for about a year and a half.

12 Q. Based upon that work, have you, Mr. Mullins, and
13 others within your team, come to certain conclusions with
14 regards to how to maximize hydrocarbon recovery out of what
15 we've characterized to be the Klein/Vaughn area?

16 A. Yes, we have.

17 MR. KELLAHIN: Tender Mr. Mullins as an expert
18 petroleum engineer.

19 EXAMINER CATANACH: Mr. Mullins is so qualified.

20 Q. (By Mr. Kellahin) Summarize for us your
21 conclusions as an engineer, Mr. Mullins. Why are you
22 proposing to do this?

23 A. Our proposal is based on the fact that we've
24 gathered enough information on all the horizons of
25 interest, the Dakota, the Gallup and the Mesaverde, to at

1 this time propose a commingling order for the entire
2 project area, rather than propose a well-by-well
3 commingling allocation on this area.

4 Q. When we look at the Dakota production that
5 currently exists, what's your engineering conclusion?

6 A. The Dakota production from the existing wells in
7 the project area is currently, at an overall level, on a
8 marginal basis.

9 Q. What's your engineering conclusion concerning how
10 to maximize and improve hydrocarbon recoveries out of the
11 Dakota?

12 A. Currently, the Dakota in the project area
13 exhibits liquid loading problems, and in order to maximize
14 that recovery we need to have some additional sort of lift
15 mechanism to produce all the hydrocarbons, not only the
16 remaining gas production, but also the remaining liquid
17 production in the Dakota formation.

18 Q. One strategy often utilized to lift liquids out
19 of one formation is to commingle it with gas out of another
20 zone.

21 A. That's correct.

22 Q. Will that work here if you commingle the Dakota
23 and, say, Mesaverde?

24 A. Yes, based upon our systems analysis model, which
25 is a technique used to compare the different formations and

1 model and see if the lift mechanism would be appropriate.
2 Based upon all that data, we feel that commingling the
3 zones will lift those lift those liquids.

4 Q. Are you familiar with the Division Rules 303
5 where they give you a whole checklist of commingling
6 protocols, at least under the administrative process?

7 A. Yes, I am.

8 Q. You've gone through all those things?

9 A. Yes.

10 Q. Do you as an engineer find any problem with the
11 commingling of any of these zones with any of the other
12 zones?

13 A. No, I do not.

14 Q. No fluid incompatibility problems?

15 A. No. In reference to that specific topic, in
16 January of this past year we went out and obtained fluid
17 samples on all the producing horizons, the three horizons
18 in question, as well as the additional ones in the area.

19 We contracted that to the Western Company of
20 North America. They did a detailed analysis on all the
21 fluids, as well as a mixture and combination of the oils
22 and waters, and their findings were that there were no
23 instances that should cause new problems on the commingling
24 of the fluids.

25 Q. Will the commingling result in the reduced market

1 value of those hydrocarbons?

2 A. No, they will not.

3 Q. Do you have any kind of pressure-differential
4 problems that cause thieving of hydrocarbons from one
5 formation to another?

6 A. No.

7 Q. No kind of technical problem at all?

8 A. There should not be any.

9 Q. What's the timing? Why do it now for these
10 Dakota wells?

11 A. Well, there's -- The main reason is that the
12 majority of the wells are approaching their economic limit.
13 Additional operating cost time for clocking the wells in
14 order to remove the liquids is increasing our expenditures.
15 If we can at this time go out and commingle the production,
16 we'll increase the ultimate recovery in the Dakota horizon,
17 as well as get recovery in the uphole horizons.

18 Q. Have you shared in detail your project concept
19 with the Division's Aztec office?

20 A. Yes, I have.

21 Q. With what results?

22 A. I sat down with Mr. Ernie Bush and went through
23 all the data and the proposed proposal which we're here
24 today for, and he indicated that there should be no
25 problems.

1 Q. Have you looked for and reviewed orders received
2 by other operators to commingle Dakota-Mesaverde-Gallup
3 formations on an areawide project basis?

4 A. Yes, I have.

5 Q. And what have you found?

6 A. I've found that there have been several instances
7 of precedents for downhole commingling of these zones in
8 the project area.

9 Q. In terms of the mechanics of what you're trying
10 to do, what are you asking this Examiner to delegate to the
11 district in order to complete the approval process?

12 A. Really, there's twofold piece.

13 The first piece is in the existing Dakota wells
14 in the area, that the remaining Dakota wells, as they're
15 currently producing, be allowed to be commingled with the
16 allocation formula determined with the help of the Aztec
17 office. That would be the first.

18 The second portion would be on a new-drill basis
19 in the remaining section, that the wells be completed in a
20 dual manner, and at which time one of the horizons, most
21 likely the Dakota horizon, is producing at an uneconomic
22 limit, that the Aztec office at that time be able to
23 approve the commingling of that wellbore with the
24 appropriate determination of allocation.

25 Q. Is your economic criteria based upon having no

1 more than one of the three zones being economic at the time
2 commingling occurs?

3 A. Yes.

4 Q. You're not setting out to prove that each and
5 every zone is uneconomic at commingling, right?

6 A. No, that is not the case.

7 Q. All right. So if only one of the three in an
8 individual wellbore is economic, then in your opinion that
9 would justify commingling?

10 A. That's correct.

11 Q. All right. So that's how you've organized your
12 presentation?

13 A. Yes.

14 Q. In addition, you're going to show this Examiner
15 the allocation protocol that you propose for an individual
16 well so that he can see in a general way what you're asking
17 the District to do?

18 A. Yes, I am.

19 Q. Let's start, then. Let's turn to your exhibit
20 book and look at the first of your displays behind Exhibit
21 Tab Number 5. Now, Mr. Mullins, when we look at 5 and 6,
22 that represents your work product?

23 A. That's correct.

24 Q. All right. And as part of the team process and
25 all the other participating on the team have approved these

1 exhibits and the presentation?

2 A. Yes, they have.

3 Q. All right. Let's look at the first one. What
4 have you demonstrated?

5 A. My first exhibit, in an overall sense there's a
6 lot of data that goes into this entire evaluation. I've
7 attempted to summarize the majority of it here, the
8 pertinent facts.

9 This first sheet of data demonstrates the Dakota
10 pressure information and production information on the
11 existing wells in the area.

12 Referencing this list, there's the well name,
13 number, location, the initial surface casing pressure, and
14 the date upon which the production first initiated on the
15 Dakota well, which corresponds to that pressure.

16 The next column is a reference to a bottomhole
17 pressure in the existing Dakota wells. That was taken in
18 two methods, one being a dip-in gauge down at the
19 bottomhole depth, the second one being an echometer
20 determination, which was also calibrated in the area to the
21 dip-in gauges for reliability. Both of these are accepted
22 methods for determination of bottomhole pressures.

23 The final column is the producing
24 characteristics, the current production rates of the Dakota
25 horizon in the existing wellbores.

1 I'd like to note three production rates here that
2 appear high. The Vaughn Number 12E, which is the second
3 well listed at 460 MCF a day, the Vaughn Number 14, further
4 down in Section 27, which is 378 MCF a day, and the Vaughn
5 Number 13E directly beneath that at 412 MCF a day.

6 Q. Who do you choose to highlight those three?

7 A. Those three wells are currently producing in
8 excess of 180 MCF a day. The remaining 24 wells, plus or
9 minus, are all producing less than 180 MCF a day out of the
10 Dakota interval.

11 Q. So what do you conclude as to the other wells
12 except these three?

13 A. All the wells, including these three, are
14 exhibiting liquid loading problems in the Dakota. These
15 three particular wells are producing at a sufficient manner
16 to currently recover the majority of the Dakota oil
17 production.

18 Of instance to note is that one of those
19 particular wells, the Vaughn Number 13E, is a dual Dakota-
20 Mesaverde producer. So in reality, there are only two
21 existing wells that would be a candidate for commingle,
22 making in excess of 200 MCF a day.

23 Q. Do you have any reservation about these three
24 wells that produce at higher rates than the others being
25 commingled at this time?

1 A. No, I do not.

2 Q. All right. Let's look at the next display.

3 A. The next display, as the first, summarizes the
4 Mesaverde pressure and production information in the
5 project area.

6 There are also two wells listed that are adjacent
7 to the project area down in there. All the information
8 across is the same. The two wells outside of the project
9 area are the Canyon Largo Unit, non-participating wells.
10 They were completed in 1974, and their current production
11 rates, and that corresponds with their nonparticipating
12 status within the unit.

13 Each of these Mesaverde producers in the area --
14 Within the project leasehold, the first well was developed
15 in 1985, and that being the Vaughn Number 33, and it is
16 currently producing 140 MCF a day.

17 The remaining -- There's one additional well
18 which was a Chacra producer that was plugged and abandoned,
19 and that well deepened, the Klein Number 7. That
20 particular well is a Mesaverde-only producer, and it is
21 currently producing 450 MCF a day.

22 The Vaughn Number 13E, which I referenced on the
23 last side, is a Dakota-Mesaverde dual producer. It is
24 currently producing 420 MCF a day out of the Mesaverde.

25 All the remaining Mesaverde producers are wells

1 in which the Dakota is currently temporarily abandoned
2 beneath a bridge plug, and only the Mesaverde is producing
3 up the pre-existing Dakota wellbore.

4 Q. At the bottom of that display you've summarized
5 the pressure data?

6 A. Yes, I have. The initial bottomhole pressure for
7 the Mesaverde portion, 1330 p.s.i., with a current average
8 rate in the Mesaverde production of 305 MCF a day.

9 Q. All right.

10 A. And on the bottom portion -- I'll continue
11 further on the slide -- is the single Gallup production
12 test in the area, the Klein Number 28E, with its reference
13 pressure and production information.

14 This is, again, an existing Dakota well that was
15 temporarily abandoned in the Dakota, recompleted to the
16 Gallup. We attempted -- In order to try to maximize the
17 productivity, we installed a pumping unit on this Gallup
18 formation and a compressor in order to maximize the
19 recovery, with the results of about two barrels of oil a
20 day and about 65 MCF a day. We returned the status to just
21 the pumping unit, and we're currently making about a barrel
22 and a half and 45 MCF a day.

23 The bottom portion of the slide represents all
24 the pressure information in that they're within the 50-
25 percent common pressure point for downhole commingling.

1 Q. Let's turn to the illustrations, Mr. Mullins,
2 that describe your conclusions about the timing of when to
3 commingle the wells.

4 A. Okay.

5 Q. If you'll start with the first display, identify
6 what it is.

7 A. Okay, the first display graph is the Klein/Vaughn
8 area Dakota stand-alone new drill. This would be
9 representative of the undrilled acreage in the project
10 area.

11 This slide represents -- and the axes are the
12 same on both the slides. On the X axis, the ultimate
13 recovery anticipated. on the Y axis, the rate of return.
14 And the curves represent varying production forecasts.

15 What this particular slide is meant to
16 demonstrate is the marginal nature of a Dakota stand-alone
17 to achieve a 15-percent rate of return.

18 In reality, we could not go out and drill in the
19 Section 30 a Dakota stand-alone for development of that
20 horizon.

21 Q. And on the right margin of the display you've
22 shown the assumptions that go into the calculation that
23 support the conclusion, and the conclusion is, Meridian
24 cannot go out and drill in Section 30 a Dakota stand-alone?

25 A. That's correct, a majority of the Dakota

1 production, ultimately recoveries range in the 900 to 1.1
2 BCF category. So in that instance, in the most likely
3 production scenario in which all the Dakota wells follow,
4 we would not be able to drill a Dakota well.

5 Q. All right. Show us how to illustrate the graph.
6 At a certain rate, with a certain assumed estimated
7 ultimate recovery, and with your projected 15-percent rate
8 of return, what happens?

9 A. Okay. Given the high-side case on this
10 particular graph, that we drill a Dakota well at 400 MCF a
11 day -- this is reference the dashed line on the plot -- 400
12 MCF a day, and we -- if we anticipated, which would be a
13 high-side case of almost 1.3 BCF EUR.

14 Following the past area production profile, if we
15 follow that curve up to where the 1.3 BCF basically runs
16 into that curve, we would follow over to the Y axis and
17 achieve a 15-percent rate of return. Again, that scenario
18 is very unlikely and of high risk.

19 All these numbers and models have no risk factor
20 whatsoever involved.

21 Q. If you assume a slightly less rate of 300 a day
22 and forecast a slightly larger estimated ultimate recovery,
23 it's still not economic to do a Dakota if you look at the
24 next illustration?

25 A. That is correct.

1 Q. What is your best engineering opinion and
2 estimate of the potential EUR for a Dakota well in Section
3 30?

4 A. In Section 30 I would anticipate the reserves to
5 range right around the 1 BCF category in the Dakota
6 horizon.

7 Q. How, then, can we afford to drill in Section 30
8 to obtain hydrocarbon recovery and obtain what might be
9 there and available to be produced?

10 A. The only manner available to us would be to
11 combine another horizon with the Dakota for development in
12 that area. And based upon our proposal, that would be the
13 Mesaverde. And again, we mentioned earlier that the Gallup
14 production would be commingled with one of those, most
15 likely the Dakota, which would be appropriate.

16 Q. And if we don't, then we leave the hydrocarbons
17 behind?

18 A. That would be correct.

19 Q. Let's turn to the next display. How is it
20 captioned?

21 A. The next display figures with the new-drill
22 portion on the -- on Section 30 acreage, subsequent
23 determination for commingle in the new wells, a
24 Klein/Vaughn new-drill dual completion. It focuses on the
25 Dakota determination of commingle.

1 Again, the axes are the same, with estimated
2 ultimate recovery on the X axis. On the Y axis would be
3 the rate of return percentage, and the bearing following
4 rates of production corresponding to the Dakota based upon
5 the evidence in the area, it would follow one of the curves
6 listed, are 400 MCF a day, down through 250 MCF a day.

7 Q. All right. Let's take a moment and see how to
8 make this work. If in an area you go out and drill a new
9 Dakota-Mesaverde dual --

10 A. Yes, sir.

11 Q. -- in the Klein/Vaughn area --

12 A. Yes, sir.

13 Q. -- how are you going to use this graph to tell
14 the Division the point in time where you're ready to
15 commingle that production from that well?

16 A. This plot is basically a comparison graph for the
17 Aztec office to use, based upon the data we submit for
18 commingling.

19 We would supply a graph which would have
20 basically one of these curves, which would be well-
21 specific.

22 We would anticipate, based upon our producing
23 characteristics in the Dakota for -- and I would anticipate
24 it would probably be two years' period of time if the well
25 is successful in the Dakota to the point -- time period

1 where it would be eligible for commingle -- that we would
2 have sufficient data to project what the ultimate recovery
3 is, and the producing characteristic forecast for the well,
4 at which time we would enter a site-specific curve
5 representing that particular well and demonstrate that it
6 falls below a 15-percent rate of return from the Dakota
7 horizon, and we would like to commingle the production of
8 the Dakota with the other horizons in the wellbore.

9 Q. Let me see if I can read the display. You've got
10 a 15-percent-rate-of-return line? All right, that's --

11 A. Yes, I do.

12 Q. -- that's horizontal to the display.

13 Now, look at the first bottom curve which matches
14 250 MCF a day.

15 A. The bottom curve, which is the long dashes,
16 represents 250 MCF a day.

17 Q. All right. If my specific well falls at a point
18 where I know it's producing 250 a day or less, but I'm also
19 able to calculate that its estimated ultimate gas recovery
20 is going to be less than a BCF of gas, then I know it's
21 time to commingle?

22 A. That's correct.

23 Q. Correspondingly, if I have a well that's
24 producing 400 MCF a day, which is the top curve, and yet
25 I'm able to calculate that it's going to recover less than

1 700,000 MCF, then I know the time has arrived to commingle
2 that well?

3 A. That's correct.

4 Q. All right. And so this would just be the
5 baseline curves?

6 A. Yes.

7 Q. And when you file a specific application with the
8 district, you're going to give them well-specific
9 information that they can then validate or verify your
10 engineering conclusions?

11 A. That's correct. That represents less than 15
12 percent rate of return.

13 Q. And so this Examiner will have made all the other
14 commingling decisions about the project area, with the
15 exception as to the specific point in time the new-drill
16 well is a candidate for downhole commingling?

17 A. That's correct.

18 Q. And yet he will establish or approve an economic
19 baseline that will dictate to the District how to validate
20 and verify the decision on an individual well?

21 A. That's correct.

22 Q. All right. Let's look at the next display you
23 have behind the exhibit tab. What have you summarized for
24 us, Mr. Mullins?

25 A. The next display summarizes all our information

1 for the reasoning behind the commingle application here
2 today.

3 The downhole commingle of these three horizons,
4 the Dakota, Gallup and Mesaverde, would be the only prudent
5 method to maximize recovery of reserves within this project
6 area.

7 The next listings are -- basically are reasons
8 meeting the commingle requirements. Ownership and royalty
9 is common in all three formations within each specific
10 wellbore, the produced fluids from the formations are all
11 compatible, that the bottomhole pressures are within 50
12 percent of the highest pressure zone based at a common
13 datum, that offset commingle precedence has been set in
14 this area.

15 And at this time I'd like to touch on that, which
16 would be the Unocal-operated Rincon unit, which is in the
17 north half of this Township 26 North, 6 West. In addition,
18 Caulkins Operating Company, immediately to the north -- I
19 believe it's in Section 22 -- has three wells that are also
20 commingled in these horizons. In addition, there are some
21 numerous other commingle precedents, well by well, to the
22 north in the project area.

23 Finally, the overall purpose is that a blanket
24 areawide downhole commingle order will minimize the
25 regulatory requirements, while protecting the correlative

1 rights and maximizing hydrocarbon recovery within this
2 project area.

3 Q. We've talked just now about the new drills. What
4 do you want to do about the existing Dakota wells in terms
5 of commingling? Do you want that approval now, or is there
6 to be a process where you're going to the district and get
7 those approvals?

8 A. We are requesting approval now for all of the
9 existing Dakota wells within the project area.

10 Q. All of those wells, will they meet your economic
11 criteria of the spreadsheet we just looked at, the curve?

12 A. Yes, they would. They would fall in that
13 commingle category if they were considered stand-alone new
14 drills.

15 Q. Let's turn to the allocation procedures, if
16 you'll look behind Exhibit Tab Number 6, is it? You have
17 two displays?

18 A. Yes, I do.

19 Q. What's the first one?

20 A. As referenced earlier, we have temporarily
21 abandoned the Dakota production in the project area and
22 completed the Gallup and the Mesaverde for bearing,
23 production and testing. This is in order to determine a
24 more accurate allocation formula, what we feel will be
25 submitted. What I had --

1 Q. All right. The first one is for the Vaughn 30E;
2 is that what you have?

3 A. I have the Vaughn 12, but I can skip to the
4 Vaughn 30E. Those are two wells in which the Dakota was
5 temporarily abandoned and the Mesaverde completed.

6 Q. This is the kind of example that you're showing
7 this Examiner of information that would go to the district
8 to set up the allocation formula?

9 A. That is correct.

10 Q. All right. And they're very similar in method?

11 A. Yes, they are.

12 Q. In fact, they're identical in method, aren't
13 they?

14 A. Yes, they are.

15 Q. Pick one or the other, and let's go through the
16 process.

17 A. Since we're probably referencing the Vaughn 30E
18 at the moment, I'll pick this.

19 The basic allocation formula will be a fixed-
20 percentage allocation for both gas and oil production for
21 each of the horizons.

22 In order to determine that within the existing
23 wellbores, Dakota wellbores, we are planning a minimum of
24 six months of Mesaverde production data in order to
25 determine what the stabilized production rate is.

1 On the Gallup production, we're going to
2 determine that based upon the wireline log data that we
3 have available, additional information, and the flow
4 testing during the actual completion of the Dakota horizon.
5 Again, that zone is more marginal, and for us to test that
6 for a longer period of time would be -- in my estimation,
7 would not be a full benefit.

8 The overall determination of the allocation
9 formula is based upon two primary criteria, the first being
10 the remaining reserves, estimated, of both gas and oil in
11 each of the producing horizons, and the second, the
12 stabilized production rates of both the gas and oil in each
13 formation.

14 The example below listed for the Vaughn Number
15 30E references it's the temporary abandonment in the Dakota
16 in July of 1993 and subsequent completion to the Mesaverde.

17 The two portions listed represent the two
18 methods, the top characteristics being the remaining
19 reserve estimation, based on engineering practice and
20 geological and geophysical log information, what the
21 ultimate recovery is for each of those horizons. The
22 referenced percentage is for the Vaughn Number 30E, is that
23 the Dakota has 30 percent of the remaining gas reserves
24 where the Mesaverde had 70 percent of those remaining gas
25 reserves, the oil correspondingly at 20 and 80 percent.

1 Using the second criteria, which would be
2 production rate, last stabilized rate production prior to
3 commingle from the Dakota was 170 MCF a day in this
4 particular well. The Mesaverde stabilized production rate
5 currently at 460 yields the allocation percentage of 26
6 percent and 74 percent.

7 Based upon the overall data available, the
8 determination of these two is reasonable within engineering
9 accuracies to submit an allocation formula listed below of
10 the Dakota allocation of 30 percent of the gas and 20
11 percent of the oil; the Mesaverde allocation percentage is
12 70 percent of the gas and 80 percent of the oil.

13 Q. Do you have an engineering opinion in terms of
14 volumes of liquids that are at risk if commingling is not
15 approved?

16 A. Yes, I do, and this is an excellent example, in
17 the fact that the current production from the Dakota
18 horizon of one barrel of oil a day and the remaining
19 reserves of 3000 barrels, that without the additional lift
20 mechanism, that 3000 barrels of oil, full recovery of that
21 would be in question.

22 Q. And you can document that volume for each of the
23 other existing Dakota wells?

24 A. Yes, I can.

25 Q. We turn to the Vaughn 12, and you're looking at

1 2000 barrels of oil?

2 A. That's correct, referencing that exhibit it's
3 similar.

4 Q. Do you have an opinion, Mr. Mullins, as to
5 whether approval of this Application will be in the best
6 interests of conservation, the prevention of waste, and the
7 protection of correlative rights?

8 A. Yes, I do.

9 Q. And what is that opinion?

10 A. It is my opinion that this is the best -- and,
11 most likely, only -- prudent manner to fully develop the
12 reserves in the project area in all three horizons.

13 MR. KELLAHIN: That concludes my examination of
14 Mr. Mullins.

15 We move the engineering exhibits into evidence
16 behind Exhibit Tabs -- 5 and 6? 5 and 6.

17 EXAMINER CATANACH: Exhibits 5 and 6 will be
18 admitted as evidence.

19 EXAMINATION

20 BY EXAMINER CATANACH:

21 Q. Mr. Mullins, in terms of filing an application of
22 this nature, what do you actually save or benefit from in
23 terms of not having to file an individual application to
24 commingle?

25 A. On an individual application, it is my

1 understanding that basically all of this data would be
2 presented on a well-by-well-specific basis in order to
3 determine whether commingling would be appropriate for the
4 area.

5 It is our hope that by submitting all this data
6 at one time that we can expediate that process.

7 Q. I believe you testified that you couldn't
8 economically justify drilling a stand-alone Mesaverde well?

9 A. Yes. Again, that would be a marginal effort,
10 based upon the geological information in the project area
11 for full development of the Mesaverde in all of the
12 gross/net sand in the project area.

13 Q. I assume the same would hold true for a Gallup
14 stand-alone?

15 A. The Gallup, based upon our information, it's
16 currently uneconomic to operate as a stand-alone
17 recompletion within the current wellbore.

18 Q. How about a stand-alone Gallup-Mesaverde?

19 A. Stand-alone Gallup-Mesaverde, where the dual
20 configuration scenario -- I don't believe that liquid
21 production from the Gallup would occur in a dual manner
22 without the commingle with the Mesaverde to fully recover
23 the reserves from the Gallup.

24 Q. How about a commingle-type situation?

25 A. A commingle of the Gallup and Dakota would be an

1 economic venture. Most likely, again, it would -- due to
2 the natural fracturing tendencies in the Gallup that Mr.
3 Dawson had mentioned, as well as the inconsistent sand
4 thickness and reservoir potential on the Mesaverde, on the
5 full project area development, I don't believe we could
6 drill that in every instance.

7 Q. The Dakota wells you've got listed, you've got
8 current candidate commingling rate average 114 MCF a day.
9 Is that -- That is an average rate of these wells?

10 A. That is the average rate with the removal of the
11 Vaughn Number 13E, which is currently the dual producer in
12 the Mesaverde and Dakota. So it's separately -- at the
13 moment, is not included in that average.

14 Q. But you would propose to include the 12E --

15 A. -- and the Vaughn Number 14, yes, at this time.

16 All the wells exhibit that liquid loading
17 tendency. The Gallup production, as well as the Mesaverde,
18 fully combined in that area, would be the only appropriate
19 avenue we have available to develop the reserves in the
20 project area.

21 Q. Once you commingle these Gallup -- I mean, these
22 Dakota wells, what is that rate likely to come up to?

23 A. The most likely rate, as evidenced from the two
24 allocation formulas, would be in the 650-MCF-a-day range,
25 most likely with a majority of that production coming from

1 the Mesaverde initially.

2 Q. Your average rate in the Dakota is 114?

3 A. 114.

4 Q. If you get rid of the liquid-loading problems,
5 isn't that likely to come up in --

6 A. That's likely to increase slightly. Again, it's
7 difficult to quantify how much overall increase, but using
8 the two allocation methods, the production rate as well as
9 the ultimate recovery of reserves in the area, we feel that
10 that allocation formula would be appropriate using both of
11 those pieces of information.

12 Q. And that allocation formula is essentially based
13 on reserves, right?

14 A. Essentially based on reserves, as well as the
15 stabilized production rates from the horizons.

16 Q. Well, you're just using the stabilized rate to
17 compare the reserve calculation?

18 A. It's also used as a criteria to see if the full
19 reserves are going to be produced.

20 If it's quite obvious that our Mesaverde
21 production is 50 MCF a day, from testing, that's going to
22 significantly impact the ultimate recovery of that horizon.
23 It's going to have to be determined on a well-by-well
24 basis, and that's the reason for our six-month testing of
25 the Mesaverde testing, being the more prolific remaining

1 reserves in the project area.

2 Q. Now, is the Mesaverde going to be tested with the
3 Dakota at the same time -- I mean with the Gallup?

4 A. It would have to be, during the recompletion
5 process, a separate test, testing of the -- I guess a quick
6 walk-through would be, the Dakota has its -- has 20 years'
7 worth of data, 15 plus or minus. The temporary abandonment
8 of the Dakota would occur, the Gallup production, testing
9 and completion at that portion of time, a temporary
10 abandonment of that, the Mesaverde recompletion and
11 production testing for a six-month period of time, at which
12 point we would go back in.

13 Both of those zones would be commingled during
14 that workover, so we would have workover testing rates on
15 the Gallup and Mesaverde together, as well as the entire --
16 all three horizons put together in the final wellbore.

17 Q. So the six months of Mesaverde production would
18 include Gallup production as well?

19 A. No, it would not. The Gallup production would be
20 determined during the workover process.

21 Q. You would have the Gallup isolated during the
22 Mesaverde testing period?

23 A. Yes, we would, If it works, we could include the
24 Gallup as a Gallup-Mesaverde during the production testing
25 period, with the permission of the -- with the State.

1 Q. What do you anticipate is going to be the average
2 Mesaverde producing rate in this area?

3 A. The average Mesaverde producing rate in this area
4 would correspond -- generally, I would believe to fall a
5 little below the wells we have already done.

6 We tended to pick our better Mesaverde
7 recompletion candidates in the project area. If we
8 reference the plat, that would compare with the
9 nonparticipating wells to the south in the Canyon Largo
10 unit, with the varying Mesaverde production in the project
11 area.

12 I believe that the typical average that I've
13 listed, 300, plus or minus, MCF a day, would be a most
14 likely Mesaverde stabilized production rate.

15 Q. What about Gallup?

16 A. The Gallup production rate, I believe, would be
17 consistent in the project area at approximately 45 MCF a
18 day, and a barrel, barrel and a half, of oil a day. Again,
19 that may vary slightly, based upon the completion on a
20 well-specific basis.

21 Q. Have you had any Mesaverde completions in this
22 area that have been significantly higher than 3 MCF a day?

23 A. We have had two completions in the project area.
24 Again, they were -- Actually, one. The initial completion,
25 the Klein Number 7, which was a Chacra well, that was our

1 best sand-thickness location. It, based upon the
2 information submitted here, is probably the best potential
3 Mesaverde reservoir characteristics. Its stabilized
4 production rate at the moment is 450 MCF a day.

5 Q. How long has that been producing?

6 A. That well has been producing since 1991, December
7 of 1991.

8 Q. Do you know what it came in at, what rate?

9 A. They're coming in at about 800 MCF a day, and
10 they're declining at the referenced rate of -- I believe --
11 I may get confused here -- 45 MCF a day. Or, excuse me, 45
12 percent decline initially, for the first six months, and
13 then the production trend generally levels out in that time
14 period.

15 Six months should be more than an ample amount of
16 time for us to see that stabilized production rate from the
17 Mesaverde.

18 Q. So you make it an initial Mesaverde rate, 600,
19 700 --

20 A. That's correct.

21 Q. -- MCF a day?

22 But it will come down in the first six months?

23 A. Yes, it will.

24 Q. Is it not feasible to commingle Mesaverde in the
25 Gallup for some period of time until it declines --

1 A. That would be feasible in the determination of
2 the State. Again, that would only benefit us in full
3 recovery of the reserves in the area.

4 If during that six-month testing time we include
5 the Gallup in place of just the, you know, Mesaverde alone,
6 that would be even better.

7 We feel that the one test that we do have, the
8 Klein 28E, especially with the addition of the pumping unit
9 compressor and full evaluation, it was a three-stage
10 stimulation of all the productive interval that we could
11 think of, and again, was one of our -- was our best
12 candidate, I believe, in the project area for Gallup
13 completion. I feel that's probably an appropriate
14 production rate that we'll see.

15 Q. These pools are still prorated; is that correct?

16 A. That is correct.

17 Q. Do you know what the current allowable is in
18 these pools?

19 A. Off the top of my head, I'm not certain. I know
20 that each well has a deliverability test performed on each
21 horizon and that once the zones would be commingled, that
22 the deliverability testing would be based on timing of the
23 lowermost zone completion, which in this case would be the
24 Dakota, and that the appropriate allocation percentage
25 would be listed on the regulatory forms. But other than

1 that, I'm uncertain of that.

2 Q. Do you have any knowledge as to whether or not
3 any of these existing Dakota wells are overproduced in the
4 Dakota?

5 A. Currently, to my knowledge, no, but I believe
6 that our current status in this particular area is that we
7 are not overproduced in any of the existing wellbores.

8 Q. The Dakota wells you have listed behind Tab
9 Number 5, those are the wells that are currently candidates
10 for commingling and that you would wish to commingle
11 immediately or in the near future?

12 A. That is correct. One exception on that well
13 would be the Klein 2. I listed earlier the Vaughn 13E,
14 which is currently a Mesaverde-Dakota dual, and referencing
15 the sample plat information, that well would not be
16 commingled at this particular time in the Mesaverde and
17 Dakota since both of those horizons are producing above
18 that 15-percent-rate-of-return one.

19 The only other well would be the Klein Number
20 26E, which is also a Dakota temporary abandonment and
21 Mesaverde recompletion that was done in the same time
22 period, July of 1993, and during that workover operation we
23 lost the entire wellbore. That again evidenced the risk of
24 working in the 4 1/2 casing and recompleting these
25 horizons.

1 Q. The new drills in the Dakota --

2 A. Yes.

3 Q. -- you would seek downhole commingling approval
4 once the rate fell below the 15-percent rate-of-return
5 level --

6 A. That is correct.

7 Q. -- depending on the EUR?

8 A. We would initially drill and install equipment to
9 produce the well as a dual completion.

10 Q. They would be dualled and -- They would be dualled
11 in the Dakota-Mesaverde?

12 A. They would be dualled as a Dakota-Mesaverde, with
13 the Gallup, possibly, based on this order and timing, most
14 likely with the Dakota, or Gallup completion waiting until
15 the actual commingle of the Mesaverde and Dakota at that
16 time.

17 Q. If for some reason you did, once these wells were
18 commingled, you did experience some overproduction as per
19 proration schedules --

20 A. Uh-huh.

21 Q. -- would you have any problem shutting the wells
22 in for an extended period of time?

23 A. I don't believe we would, based upon our
24 marketing agreement. Again, I'm uncertain of that capacity
25 and, you know --

1 Q. Would you experience any physical damage in the
2 wellbore as a result of shutting those wells in?

3 A. I do not believe so, based upon the detailed
4 fluid compatibility and the pressure data that we have.

5 EXAMINER CATANACH: I think that's all I have,
6 Mr. Kellahin.

7 MR. KELLAHIN: Mr. Examiner, for your
8 information, I believe that all the current production is
9 classified as marginal in the Mesaverde and Dakota for
10 these wells. We'll be happy to double-check.

11 We don't think commingling is going to disrupt
12 that prorating system process, and these are all
13 marginal wells anyway.

14 That concludes our presentation.

15 There are some information exhibits in the
16 booklet which are self-explanatory. There's an additional
17 copy of the Application, there is the specific offset
18 ownership plats. But all the technical items have been
19 discussed by each of the individual witnesses, Mr.
20 Examiner.

21 That concludes our presentation.

22 If it will aid you, we're more than happy to
23 prepare a draft order, but that concludes our presentation.

24 EXAMINER CATANACH: I think a draft order just
25 basically outlining the district procedures might be

1 helpful.

2 MR. KELLAHIN: All right, sir.

3 EXAMINER CATANACH: Okay, there being nothing
4 further in this case, Case 11,038 will be taken under
5 advisement.

6 (Thereupon, these proceedings were concluded at
7 12:05 p.m.)

8 * * *

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 11038
heard by me on 8/18 1994;
David R. Catanach, Examiner
Oil Conservation Division

1 CERTIFICATE OF REPORTER

2

3 STATE OF NEW MEXICO)
 4) ss.
 5 COUNTY OF SANTA FE)

6 I, Steven T. Brenner, Certified Court Reporter
 7 and Notary Public, HEREBY CERTIFY that the foregoing
 8 transcript of proceedings before the Oil Conservation
 9 Division was reported by me; that I transcribed my notes;
 10 and that the foregoing is a true and accurate record of the
 11 proceedings.

12 I FURTHER CERTIFY that I am not a relative or
 13 employee of any of the parties or attorneys involved in
 14 this matter and that I have no personal interest in the
 15 final disposition of this matter.

16 WITNESS MY HAND AND SEAL September 19th, 1994.

17 

18 STEVEN T. BRENNER
 19 CCR No. 7

20

21 My commission expires: October 14, 1994

22

23

24

25