

1 STATE OF NEW MEXICO  
2 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
3 OIL CONSERVATION DIVISION  
4 STATE LAND OFFICE BUILDING  
5 SANTA FE, NEW MEXICO

6 18 January 1989

7 EXAMINER HEARING

8 IN THE MATTER OF:

9 Application of Chevron USA, Inc. for CASE  
10 an unorthodox oil well location and 9576  
11 simultaneous dedication, Lea County,  
12 New Mexico.

13 BEFORE: Victor T. Lyon, Examiner

14 TRANSCRIPT OF HEARING

15 A P P E A R A N C E S

16 For the Division: Robert G. Stovall  
17 Attorney at Law  
18 Legal Counsel to the Division  
19 State Land Office Bldg.  
20 Santa Fe, New Mexico

21 For Chevron USA, Inc.: W. Thomas Kellahin  
22 Attorney at Law  
23 KELLAHIN, KELLAHIN & AUBREY  
24 P. O. Box 2265  
25 Santa Fe, New Mexico 87504

## I N D E X

1		
2		
3	STATEMENT BY MR. KELLAHIN	3
4		
5	DON LEE LINDSEY	
6	Direct Examination by Mr. Kellahin	4
7	Cross Examination by Mr. Lyon	12
8		
9	ALLEN BOHLING	
10	Direct Examination by Mr. Kellahin	12
11	Cross Examination by Mr. Lyon	20
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

E X H I B I T S

16	Chevron Exhibit One, Structural Map	6
17	Chevron Exhibit Two, Cross Section	8
18	Chevron Exhibit Three, List	14
19	Chevron Exhibit Four, Tabulations	15
20	Chevron Exhibit Five, C-102	17
21	Chevron Exhibit Six, Waiver	18
22	Chevron Exhibit Seven, Return Receipts	18
23	Chevron Exhibit Eight, Data	18
24	Chevron Exhibit Nine, Notice	22
25		

1 MR. LYON: We'll call next  
2 Case 9576.

3 MR. STOVALL: Application of  
4 Chevron USA, Inc., for an unorthodox oil well location and  
5 simultaneous dedication, Lea County, New Mexico.

6 MR. LYON: Appearances?

7 MR. KELLAHIN: Mr. Examiner,  
8 my name is Tom Kellahin of the Santa Fe law firm of Kella-  
9 hin, Kellahin & Aubrey, appearing today on behalf of Chev-  
10 ron USA, Inc., the applicant in this case, and I have two  
11 witnesses to be sworn.

12 MR. LYON: Would you have both  
13 witnesses at the same time stand and raise your right hand?

14  
15 (Witnesses sworn.)

16  
17 MR. LYON: Mr. Kellahin, you  
18 may proceed.

19 MR. KELLAHIN: Thank you, Mr.  
20 Examiner.

21 Mr. Examiner, the applicant is  
22 seeking the approval of a well location that is unorthodox  
23 for this particular pool. This is a pool that is fully  
24 developed on 40-acre spacing. Chevron is seeking to use  
25 this well by which to determine the feasibility of infill

1 drilling and/or waterflood project purposes.

2 I have two witnesses for you  
3 this morning, Mr. Lindsey, who is a geologist, and Mr. Al  
4 Bohling, who's a reservoir engineer.

5 My first witness is Mr. Don  
6 Lindsey.

7  
8 DON LEE LINDSEY,  
9 being called as a witness and being duly sworn upon his  
10 oath, testified as follows, to-wit:

11  
12 DIRECT EXAMINATION

13 BY MR. KELLAHIN:

14 Q Mr. Lindsey, would you please state your  
15 name and occupation?

16 A My name is Don Lee Lindsey. I'm a pet-  
17 roleum geologist with Chevron Corporation.

18 Q Mr. Lindsey, on prior occasions have you  
19 had an opportunity to testify before the New Mexico Oil  
20 Conservation Division?

21 A No, sir, I have not.

22 Q Would you take a few moments, sir, and  
23 describe your educational background as a petroleum geolo-  
24 gist?

25 A Yes. I received a Bachelor of Science

1 degree in geology from Eastern New Mexico University in  
2 Portales in 1979.

3 Q Subsequent to graduation, Mr. Lindsey,  
4 would you summarize for us your work experience as a pet-  
5 roleum geologist?

6 A I began in 1980 with Gulf Oil Corpora-  
7 tion, now Chevron USA, as a development geologist in their  
8 Odessa, Texas, office.

9 In the last nine years I've worked as a  
10 development or production geologist in various capacities  
11 in west Texas, the Persian Gulf area of the Middle East,  
12 and since 1985, the Permian Basin Area of southeastern New  
13 Mexico.

14 Q Pursuant to your employment have you  
15 made a study of the geology surrounding the Teague Blin-  
16 bry Field in Lea County, New Mexico?

17 A Yes, I have.

18 Q And pursuant to that study have you  
19 caused to be prepared certain exhibits?

20 A Yes, I have.

21 Q And have you reached certain conclusions  
22 based upon your study for this particular case?

23 A Yes, I have.

24 MR. KELLAHIN: Mr. Examiner,  
25 we tender Mr. Lindsey as an expert petroleum geologist.

1 MR. LYON: Mr. Lindsey is  
2 qualified.

3 Q Mr. Lindsey, let me direct your atten-  
4 tion, sir, to what is marked as the Applicant's Exhibit  
5 Number One. Before we discuss the details of your study,  
6 Mr. Lindsey, and the opinions you've reached based upon  
7 your study, would you take a moment and identify for the  
8 Hearing Examiner what is shown on Exhibit Number One?

9 A Yes, sir. In Exhibit Number One, it's a  
10 structural -- interpretational structure map which I pre-  
11 pared drawn on top of the Blinebry formation at Teague.

12 The contour interval is 25 feet. The  
13 map scale is one inch equal 1000 feet. Chevron acreage is  
14 colored in yellow and the proposed location for the C. E.  
15 LaMunyon No. 50 is indicated by the red dot.

16 All Blinebry oil producers, both past  
17 and present, are indicated by that circled completion  
18 symbol on the map.

19 Q Describe for us what has been the his-  
20 tory of the exploration and development of the Teague  
21 Blinebry Field?

22 A The Teague Blinebry was discovered in  
23 1967 and subsequent development to its current geographi-  
24 cal extent followed in the following 18 months, through the  
25 end of 1968. No further development drilling has taken

1 place since that time.

2 Q In making your geologic study of the  
3 Teague Blinebry, Mr. Lindsey, what were you attempting to  
4 investigate?

5 A The task here was basically to examine  
6 all available geologic data and determine if there was  
7 additional or future opportunity here at Teague within the  
8 Teague Blinebry Oil Pool, for either primary, additional  
9 primary recovery of reserves, or possibly a future second-  
10 dary waterflood project out here.

11 Q Based upon that geologic study, Mr.  
12 Lindsey, what have you concluded?

13 A I've concluded that the data basically  
14 is insufficient and we need additional data, therefore the  
15 drilling of the additional well; however, what data is  
16 available suggests that additional opportunity exists for  
17 the production or -- of additional primary reserve, as well  
18 as possibly opportunity in the future for secondary oil re-  
19 covery here.

20 Q In making your geologic study, would you  
21 describe for us what geologic data or information in your  
22 opinion is inadequate?

23 A At Teague we lack reservoir data, in-  
24 cluding permeabilities, for one. No core has been taken at  
25 Teague and we plan on taking core in the No. 50 if the pro-

1 posal should be approved.

2 Q What has caused you to pick the parti-  
3 cular location identified on Exhibit Number One as the  
4 initial well in which to further test the efficiency of the  
5 production and development of the reservoir?

6 A That particular location, which is 1310  
7 feet from the north line, 210 from the east line of Section  
8 28, Township 23 South, 37 East, was chosen because it's a  
9 representative location of the field. Structural position  
10 came into play and was considered, as well as net pay con-  
11 sideration. A reasonable or average GOR can be expected in  
12 this portion of the field, and it lies within the contigu-  
13 ous Chevron operated tract of acreage.

14 Q In making your geologic investigation of  
15 the reservoir, Mr. Lindsey, have you also prepared a cross  
16 section through this area?

17 A Yes, I have. That's our Exhibit Number  
18 Two.

19 Q Let's turn to that, sir. Is this a  
20 structural cross section that you prepared, Mr. Lindsey?

21 A Yes, it is.

22 Q Describe for us the reason that you have  
23 picked these particular wells by which to then construct a  
24 structural cross section through the reservoir.

25 A I constructed this cross section to re-

1 flect and enable study of the porosity distribution in the  
2 Teague Blinebry Field.

3 Q Have you located and identified and  
4 studied wells on this cross section that in your opinion  
5 give you representative, typical examples of Teague logs  
6 within this reservoir?

7 A Yes, I have. I've studies them all and  
8 maybe you could be -- I need a little more clarification.

9 Q Well, my question is, why did you pick  
10 these particular wells and this particular orientation of  
11 wells to cut through the reservoir?

12 A This would show a typical section of the  
13 reservoir and the porosity distribution in the Teague  
14 Blinebry dolomite section, and this east/west line of cross  
15 section indicated by the A-A' on the index map, is in close  
16 proximity to our proposed location for the No. 50.

17 Q Having prepared the structural cross  
18 section, Mr. Lindsey, have you satisfied yourself as a  
19 geologist that the existing wells on 40-acre spacing are in  
20 the -- are effectively producing the different lenses or  
21 stringers within the Teague reservoir?

22 A The data available, although preliminary  
23 does suggest that we are not draining all primary reserves  
24 possible, due to the localized and lenticular nature of  
25 these porosity developments.

1                   As you can see on the cross section,  
2 they are not continuous 100 percent from well to well.

3                   Q           Show us where on the cross section the  
4 proposed unorthodox well will fall.

5                   A           If projected south to the line of cross  
6 section, the well would fall between Wells Nos. 29 and 34.

7                   Q           It would be between the third and the  
8 fourth well on the display?

9                   A           That's correct.

10                  Q           All right, with the well located at that  
11 approximate position in the structure, what do you hope to  
12 accomplish with that well?

13                  A           We will be acquiring a core through this  
14 particular section and performing a special core analysis  
15 on this. We will be able with this additional data to  
16 ascertain if additional primary reserves remain that would  
17 drainable on 20's, 20-acre spacing, and that if indeed we  
18 do have an opportunity for future waterflooding efforts at  
19 the Blinebry.

20                  Q           From a geologist's perspective, Mr.  
21 Lindsey, do you have an equally acceptable standard loca-  
22 tion that could drilled on a 40-acre tract from which you  
23 could obtain the same geologic information?

24                  A           No, sir.

25                  Q           In your opinion is there a geologic

1 justification, then, for approval of the unorthodox loca-  
2 tion?

3 A Yes.

4 Q In looking at its physical location on  
5 Exhibit Number One, is it approximately equidistant from  
6 the four offsetting producing wells --

7 A Yes, it is.

8 Q -- in the reservoir?

9 A Yes, it is. It varies between -- around  
10 900 to 1000 feet in each direction.

11 Q And what advantage does that give  
12 Chevron as the operator in planning for future waterflood  
13 operations?

14 A Well, one, it will be placed at what we  
15 believe to be an undrained portion of the reservoir for the  
16 recovery of primary reserves.

17 It will also serve as a centralized pat-  
18 terning for future waterflooding efforts should those be  
19 deemed feasible.

20 MR. KELLAHIN: That concludes  
21 my examination of Mr. Lindsey, Mr. Lyon. We move the in-  
22 troduction of his Exhibits One and Two.

23 MR. LYON: Is there objection?  
24 Exhibits One and Two will be admitted.

25

## 1 CROSS EXAMINATION

2 BY MR. LYON:

3 Q Mr. Lindsey, I'd like to ask you one  
4 question.

5 A Yes, sir.

6 Q I noticed on your Exhibit One that you  
7 have shown a number of leases in here. Some are identified  
8 as LaMunyon Federal; others are identified as C. E. LaMun-  
9 yon. Is there a difference in those leases or is that all  
10 the same lease and it's just a matter of how it was labeled  
11 on -- when the map was done?12 A It is all the same the lease. It's a  
13 matter of drafting labeling.14 Q Okay, that's all I have. The witness  
15 may be excused.16 MR. KELLAHIN: Mr. Examiner,  
17 my next witness is Mr. Al Bohling. He spells his last name  
18 B-O-H-L-I-N-G.19  
20 ALLEN BOHLING,  
21 being called as a witness and being duly sworn upon his  
22 oath, testified as follows, to-wit:23  
24 DIRECT EXAMINATION

25 BY MR. KELLAHIN:

1           Q           Mr. Bohling, would you please state  
2 your name and occupation, sir?

3           A           My name is Allen Ward Bohling and I am a  
4 reservoir engineer and I work from the Hobbs Division of  
5 Chevron USA.

6           Q           Mr. Bohling, have you on prior occasions  
7 testified as a reservoir engineer before the New Mexico Oil  
8 Conservation Division?

9           A           Yes, sir, it's been a few years.

10          Q           And were your qualifications accepted at  
11 that time?

12          A           Yes, sir, they were.

13          Q           Would you describe generally what work  
14 you have performed along with Mr. Lindsey in evaluating the  
15 Teague Blinebry Field and its production?

16          A           Well, I've looked at what reservoir in-  
17 formation was available from Mr. Lindsey's work as well as  
18 other work, and have compiled and done several  
19 calculations.

20          Q           Based upon those studies and that infor-  
21 mation, have you reached certain opinions and conclusions  
22 as a reservoir engineer concerning this application?

23          A           Yes, sir, based on the data available,  
24 the Teague Blinebry Oil Pool, we really don't have too much  
25 to determine whether we are effectively and efficiently

1 draining the reservoir under the current spacing, 40-acre  
2 spacing.

3 MR. KELLAHIN: Mr. Examiner,  
4 we tender Mr. Bohling as an expert reservoir engineer.

5 MR. LYON: Mr. Bohling is  
6 qualified.

7 Q Mr. Bohling, let me begin by asking you  
8 to refer to Exhibit Number Three and identify for us those  
9 reservoir characteristics that you and Mr. Lindsey have  
10 available to you to work with.

11 A Okay, our Exhibit Number Three is a list  
12 of the reservoir characteristics which we have determined  
13 to be representative of the Teague Blinebry Oil Pool.

14 Currently the approximate productive  
15 acreage in the field is approximately 2560 acres. The  
16 wells are producing Teague Blinebry oil from an average  
17 depth of 5800 feet. We have an average porosity in the  
18 field of 7 percent and a net pay thickness which varies  
19 anywhere from 23 to 148 feet.

20 The estimated water saturation is approx-  
21 imately 35 percent.

22 Q In making your study of the reservoir  
23 engineering aspects for the field, Mr. Bohling, what speci-  
24 fic issues were you seeking answers to?

25 A Well, I was looking at this data that

1 was available. I was trying to determine, essentially,  
2 number one, if a proposed location such as we're doing  
3 today, would possible capture additional reserves and  
4 prove that the present spacing is not adequate for effi-  
5 cient and effective drainage of the reservoir.

6 Q In terms of the way that information has  
7 been compiled and developed from existing wells, did you  
8 have a data base by which you could make any type of pres-  
9 sure or interference surveys among existing wells?

10 A No, sir, I did not.

11 Q Did you have any pressure information by  
12 which you could make material balance calculations or  
13 studies?

14 A No, sir.

15 Q Based upon available data, then, how did  
16 you as an engineer attempt to address some of those issues?

17 A Well, our Exhibit Number Four is a tabu-  
18 lation which summarizes some calculations I performed on  
19 each of the directly offsetting producing wells to our pro-  
20 posed location.

21 What I did was I calculated the volumet-  
22 ric oil in place for each of those offsetting wells on both  
23 the 40-acre area and the 20-acre area. I -- these are  
24 shown on Exhibit Number Four on the lefthand side.

25 Q Having made that calculation, what does

1 it show you as an engineer concerning 40-acre calculations?

2 What percentage recovery do you show based upon 40 acres?

3 A Okay, what I -- what I did then was I  
4 compared these volumetrical place values with an esti-  
5 mated ultimate primary recovery I determined from decline  
6 curve analysis and on a 40-acre basis, as you can see on  
7 the righthand side of the exhibit, the overall average re-  
8 covery factor for ultimate recovery as a percent of the  
9 original oil in place, is only 8.7 percent.

10 Q You said only 8.7 percent. Why did you  
11 say "only"?

12 A This appears low to me with my exper-  
13 ience. Also, on a 20-acre basis I calculated, did the same  
14 calculations, came up with 17 percent.

15 From various preliminary studies of  
16 publications an acceptable primary recovery factor for a  
17 carbonate reservoir of the Permian age in -- in the Permian  
18 Basin, is -- ranges from anywhere from 15 to 20 percent.

19 Q Based upon that information, then, Mr.  
20 Bohling, what is your concern about the current situation  
21 in terms of development of this reservoir on 40-acre  
22 spacing?

23 A Well, it would appear from my calcula-  
24 tions that the 20-acre values more closely approximate ac-  
25 cepted values for a carbonate reservoir and I would have to

1 conclude that there's a possibility we are effectively and  
2 efficiently draining the Teague Blinebry Oil Pool on a 40-  
3 acre pattern.

4 Q In order to resolve that concern, Mr.  
5 Bohling, what are you proposing to do with the well located  
6 at the unorthodox location that's the subject of this  
7 hearing?

8 A We are proposing to drill this well in  
9 order to obtain through core analysis various relative  
10 permeability data, pressure data, and we're also planning  
11 to do some repeat formation testing and drill stem testing  
12 to derive some pressure values which we can utilize in pos-  
13 sibly enhancing our reservoir analysis of the Teague Bline-  
14 bry Pool.

15 Q Let me direct your attention, now, Mr.  
16 Bohling, to what is marked as Exhibit Number Five. Let's  
17 talk specifically about Exhibit Number Five. That's a copy  
18 of Commission Form C-102?

19 A Yes, sir.

20 Q And what is the source of this informa-  
21 tion?

22 A This is a plat performed by John W.  
23 West Surveying, and it shows the proposed location for our  
24 C. E. LaMunyon No. 50 Well, that being 1310 feet from the  
25 north line and 210 feet from the east line of Section 28,

1 Township 23 South, Range 37 East, Lea County, New Mexico.

2 Q Do you as a reservoir engineer, Mr.  
3 Bohling, concur with Mr. Lindsey's geologic assessment that  
4 this proposed unorthodox location is the optimum location  
5 at which to drill this type of well to test the reservoir?

6 A Yes, sir, I do.

7 Q Let's turn to Exhibit Number Six and  
8 have you identify that exhibit.

9 A Exhibit Number Six is a waiver of ob-  
10 jection letter from Damson Oil Company. Damson Oil Company  
11 is the only other operator which directly offsets the pro-  
12 posed proration unit in which we are wanting to drill this  
13 well. They offset us directly to the north.

14 This letter was sent out to them on  
15 November 2nd, received by them, and subsequently they have  
16 signed it and returned it to us.

17 Q And Exhibit Number Seven?

18 A Exhibit Number Seven is a copy of a re-  
19 turn receipt request mail cards that indicate that we have  
20 notified the Bureau of Land Management, since this is on  
21 Federal property, and Damson Oil Corporation.

22 Q And finally, sir, would you turn to  
23 Exhibit Number Eight and identify that?

24 A Exhibit Number Eight is essentially two  
25 items. The second item is BLM's approval or acknowledge-

1 ment of receipt of our drilling proposal for this well, and  
2 it is covered with a letter from Mr. Sexton which essentially  
3 assigns an API number to this well.

4 Q Have you determined, Mr. Bohling,  
5 whether there are any interest owners, royalty or working  
6 interest owners, within the immediate area that might be  
7 adversely affected if this application is approved?

8 A There should be no working interest or  
9 royalty interest adversely affected. Our Land Department  
10 has provided title clearances, et cetera, for this well.

11 Q There are no disparities in percentages  
12 or individuals with regards to the spacing units that  
13 adjoin the proposed well?

14 A No.

15 Q I'm talking about the four Chevron wells  
16 around it.

17 A No, sir, they're all part of the same  
18 basic lease and Division order; therefore, they all carry  
19 the same interests.

20 Q In conclusion, then, you see no indication  
21 of the potential violation of any correlative rights?

22 A No, sir, I do not.

23 Q With regards to the prevention of waste,  
24 do you anticipate that you will either encounter additional  
25 reserves that are not currently being produced by any of

1 the offsetting wells and/or give yourself an opportunity to  
2 institute waterflood operations that will thereby increase  
3 ultimate recovery from the reservoir?

4 A Yes, sir.

5 MR. KELLAHIN; That concludes  
6 my examination of Mr. Bohling, Mr. Lyon. We move the in-  
7 troduction of this Exhibits Three through Eight.

8 MR. LYON: Is there objection?

9 Exhibits Three through Eight  
10 will be accepted into the record.

11

12 CROSS EXAMINATION

13 BY MR. LYON:

14 Q I'd like to ask a couple of questions,  
15 Mr. Bohling.

16 Exhibit Four, your first two columns to  
17 the right of the well numbers indicate your volumetric cal-  
18 culation of oil in place?

19 A Yes, sir, for a 40-acre area around the  
20 well and then a 20-acre area around the well.

21 Those are essentially planimetered  
22 values.

23 Q Then you've prepared an oil recovery  
24 map? Is that -- the reason I'm curious about it is that  
25 normally when you look at volumetrics, you assign twice as

1 much reserves to a 40-acre area as you do to a 20-acre area  
2 and I see that that is not the case here in this exhibit.

3 A My values were determined from plani-  
4 metering of an isopach map, which may -- the overall volume  
5 associated to the 40 acres from the net pay isopach map may  
6 not necessarily be exactly twice that of --

7 Q I see, so you've assigned a circular are  
8 or a square area?

9 A Yes, sir, I have, uh-huh.

10 Q And then you did that by planimentering  
11 it.

12 A Yes, sir.

13 Q It just didn't look right. On Exhibit  
14 Five there are some dimensions shown on there. For  
15 instance, against the east line of Lot -- of Unit A there  
16 is a 3,288.3 and then 3,287.1. I'm curious as to what  
17 those dimensions are.

18 A Well, I'm afraid I don't -- I can't  
19 answer that.

20 Q Okay, well, it really is not material.  
21 I was just curious why they were there.

22 MR. LYON: I believe that's  
23 all I have, Mr. Kellahin, all the questions I have.

24 MR. KELLAHIN: To complete our  
25 presentation, Mr. Lyon, we have marked a certificate of

1 mailing which is further notice to Damson Oil Corporation  
2 of this hearing. They have already provided for record  
3 purposes their waiver, but Exhibit Number Nine is com-  
4 pliance with the hearing notice requirements and we would  
5 ask that that be admitted into the record at this time.

6 MR. LYON: Yes, Exhibit Nine  
7 will be admitted. Anything further?

8 MR. KELLAHIN: That completes  
9 our presentation.

10 MR. LYON: Well, I would like  
11 to commend Chevron. I think this is the type of project  
12 that is forward looking and something we probably need some  
13 more of in New Mexico and we appreciate it.

14 MR. LINDSEY: Thank you.

15 MR. LYON: The witness may be  
16 excused and we'll take the case under advisement.

17

18 (Hearing concluded.)

19

20

21

22

23

24

25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

C E R T I F I C A T E

I, SALLY W. BOYD, C. S. R. DO HEREBY CERTIFY that the foregoing Transcript of Hearing before the Oil Conservation Division (Commission) was reported by me; that the said transcript is a full, true and correct record of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 9576 heard by me on Jan 18 1989.

W. Boyd, Examiner  
Oil Conservation Division