

1 STATE OF NEW MEXICO
2 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
3 OIL CONSERVATION DIVISION
4 STATE LAND OFFICE BUILDING
5 SANTA FE, NEW MEXICO

6 12 April 1989

7 EXAMINER HEARING

8 IN THE MATTER OF:

9 Application of Sun Exploration and Prod- CASE
10 uction Company for a waterflood project, 9646
11 Eddy County, New Mexico.

12 BEFORE: Michael E. Stogner, Examiner

13 TRANSCRIPT OF HEARING

14 A P P E A R A N C E S

15 For the Division: Robert G. Stovall
16 Attorney at Law
17 Legal Counsel to the Division
18 State Land Office Bldg.
19 Santa Fe, New Mexico

20 For Sun Exploration and William F. Carr
21 Production Company: Attorney at Law
22 CAMPBELL and BLACK, P. A.
P. O. Box 2208
Santa Fe, New Mexico 87501

23 For J. C. Williamson Chad Dickerson
24 Attorney at Law
25 DICKERSON, FISK & VANDIVER
Seventh and Mahone/Suite E
Artesia, New Mexico 88210

I N D E X

DAVID R. ROJAS

Direct Examination by Mr. Carr	6
Cross Examination by Mr. Dickerson	20
Cross Examination by Mr. Stogner	23

RICHARD DILLON

Direct Examination by Mr. Carr	26
Cross Examination by Mr. Stogner	67
Cross Examination by Mr. Dickerson	69
Recross Examination by Mr. Stogner	94

RALPH WILLIAMSON

Direct Examination by Mr. Dickerson	104
Cross Examination by Mr. Carr	117
Cross Examination by Mr. Stogner	127

JOHN CRAIG HUBER

Direct Examination by Mr. Dickerson	131
Cross Examination by Mr. Carr	136

RICHARD DILLON RECALLED

Recross Examination by Mr. Stogner	139
------------------------------------	-----

I N D E X Cont'd

STATEMENT BY MR. DICKERSON	141
STATEMENT BY MR. CARR	144

E X H I B I T S

Sun Exhibit One, Structural Map, etc.	8
Sun Exhibit Two, Isopach	14
Sun Exhibit Three, Isopach	14
Sun Exhibit Four, Cross Section A-A'	16
Sun Exhibit Five, Water Analysis	32
Sun Exhibit Six, Production Curves	34
Sun Exhibit Seven, Summary	37
Sun Exhibit Eight, Production Curves	39
Sun Exhibit Nine, Summary	43
Sun Exhibit Ten, Plat	44
Sun Exhibit Eleven, Software Parameters	45
Sun Exhibit Twelve, Assumptions	46
Sun Exhibit Thirteen, Graphs	50
Sun Exhibit Fourteen, Plot	54
Sun Exhibit Fifteen, Production Forecast	55
Sun Exhibit Sixteen, Summary	60
Sun Exhibit Seventeen, Letter	66

E X H I B I T S Cont'd

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Williamson Exhibit Two, Tabulation	111
Williamson Exhibit Three, Tabulation	115

1 MR. STOGNER: Okay, we'll call
2 next Case Number 9646.

3 MR. STOVALL: Application of
4 Sun Exploration and Production Company for a waterflood
5 project, Eddy County, New Mexico.

6 MR. STOGNER: Call for appear-
7 ances.

8 MR. CARR: May it please the
9 Examiner, my name is William F. Carr, with the Santa Fe law
10 firm Campbell & Black. We represent Sun Exploration and
11 Production Company and we have two witnesses.

12 MR. STOGNER: Call for any ad-
13 ditional appearances?

14 MR. DICKERSON: Mr. Examiner,
15 I'm Chad Dickerson of Artesia, New Mexico, appearing on be-
16 half of J. C. Williamson and I also have two witnesses.

17 MR. STOGNER: Are there any
18 other appearances?

19 Will all the witnesses please
20 stand at this time.

21
22 (Witnesses sworn.)

23
24 MR. CARR: David.

25 MR. STOGNER: Mr. Carr.

1 MR. CARR: At this time we
2 call David Rojas.

3
4 DAVID R. ROJAS,
5 being called as a witness and being duly sworn upon his
6 oath, testified as follows, to-wit:

7
8 DIRECT EXAMINATION

9 BY MR. CARR:

10 Q Will you state your full name and your
11 place of residence, please?

12 A My name is David Raymond Rojas. I live
13 in Midland, Texas.

14 Q Mr. Rojas, by whom are you employed and
15 in what capacity?

16 A I'm employed by Sun Exploration and Pro-
17 duction Company and I am a staff geologist.

18 Q Have you previously testified before the
19 New Mexico Oil Conservation Division?

20 A No, I have not.

21 Q Would you briefly review your education-
22 al background and then summarize your work experience for
23 the examiner, please?

24 A I graduated from the University of
25 Kansas in 1981 with a Bachelor of Science degree in

1 geology. I proceeded to work for Sun Exploration and Pro-
2 duction Company in Midland, Texas, working the Permian
3 Basin from 1981 to 1985; then proceeded to work the
4 Williston Basin out of Denver and Dallas for Sun Explora-
5 tion and Production Company and for the last year have been
6 working the Permian Basin again out of Midland, Texas, with
7 Sun Exploration and Production Company.

8 Q And your current assignment, the area of
9 responsibility covered thereby includes southeastern New
10 Mexico?

11 A Yes, it does.

12 Q Are you familiar with the application
13 filed by Sun in this case?

14 A Yes, I am.

15 Q Have you made a study of the area?

16 A I have.

17 Q And have you prepared certain exhibits
18 for presentation in this proceeding here today?

19 A Yes, I have.

20 MR. CARR: We tender Mr. Rojas
21 as an expert witness in petroleum geology.

22 MR. STOGNER: Are there any
23 objections?

24 MR. DICKERSON: None.

25 MR. STOGNER: Mr. Rojas is so

1 qualified.

2 Q Mr. Rojas, will you state briefly what
3 Sun seeks with this application?

4 A Sun seeks approval to initiate a pilot
5 flood of the Williamson Sand.

6 Q The Williamson Sand is part of the Dela-
7 ware formation?

8 A It is.

9 Q And you're going to be instituting a
10 pilot secondary recovery project?

11 A Yes.

12 Q What well do you propose to use as an
13 injection well?

14 A We propose to use the Mobil 22 Federal
15 No. 5 Well.

16 Q Is this a new project as opposed to an
17 expansion of an existing project?

18 A Yes.

19 Q Would you refer to what has been marked
20 for identification as Sun Exhibit Number One and identify
21 this exhibit for the examiner and then review the various
22 things that are shown on this exhibit?

23 A Okay. Exhibit Number One is a struc-
24 ture map on top of the Williamson Sand. It is also in-
25 cluded on this exhibit a type log, being that of Mobil 22

1 Federal No. 5. This type log shows the entire Delaware
2 Sand group which is composed of the Bell Canyon Sand, the
3 Cherry Canyon Sand, and the Brushy Canyon Sands. The
4 Williamson Sand, as is indicated on the type log, is a
5 member of the Cherry Canyon Sand.

6 The depth of the Bell Canyon Sand is at
7 2595. Excuse me, 2905.

8 The depth of the Cherry Canyon is at
9 3824 and the depth of the Brushy Canyon is at 5452.

10 The structure map so indicates --

11 MR. STOGNER; Before we --
12 let's go back to that type log again. What's the red mark
13 there?

14 A The red mark is the base of the William-
15 son Sand.

16 MR. STOGNER: Okay, so -- and
17 that runs from -- could you give me the correlation of
18 those two marks, the green and the red, as far as footage
19 on this log?

20 A Okay. The top of that is at 4923 and
21 the base of that would be 97 feet below that, which would
22 be 5020, 5020.

23 MR. STOGNER: 5020, okay.
24 Sorry to interrupt you there.

25 Q Mr. Rojas, if we look at all of these

1 different portions of the Delaware, identify at this time
2 the primary producing interval in the Delaware, please.

3 A The primary, or the main producing in-
4 terval of the Delaware section or the Delaware Group, is
5 the Williamson Sand interval.

6 Q And that is the interval into which you
7 are proposing to inject water, is that correct?

8 A This is correct.

9 Q All right, now let's go back to the
10 structure map and I'd ask you first to identify the loca-
11 tion of the subject well.

12 A Okay. The subject well is indicated by
13 arrows, the directional distance from the lease lines. The
14 Mobil 22 Federal lease is indicated with a yellow outline,
15 that being the major portion of Section 22, which is out-
16 lined in yellow.

17 The proposed well is the No. 5.

18 Q And there are some additional tracts
19 outlined in yellow. What are those?

20 A Those are additional Sun acreage tracts.

21 Q Are the offsetting operators indicated
22 on this exhibit?

23 A Yes, they are.

24 Q Could you point out the location of the
25 J. C. Williamson lease?

1 A The nearest J. C. Williamson lease is
2 located in the north half of Section 26 to the southeast.
3 The nearest well in the Williamson lease is the No. 4,
4 Holly A Federal No. 4.

5 Q Now the wells that are spotted on this
6 exhibit, are those all the wells in the area?

7 A No, these wells are those wells which
8 penetrated the Williamson Sand interval.

9 Q Is one well -- has one well been omitted
10 in drafting?

11 A Yes, there is a well which only pene-
12 trated the Bell Canyon formation and went to a total depth
13 of approximately 3800 feet.

14 Q And whereabouts would that well be
15 located?

16 A That well is located near the No. 6
17 Mobil 22 Federal Well, which is the north offset to the No.
18 5.

19 Q This also indicates the New Mexico/Texas
20 state line, does it not?

21 A Yes, it does.

22 Q Is there an oil/water contact in the
23 formation?

24 A The oil/water contact has been estimated
25 to be at a -22 feet subsea.

1 Q 2200 feet?

2 A 2200 feet.

3 Q Now are there any dry holes indicated on
4 this exhibit?

5 A Yes, there is one dry hole which is
6 located in the southeast -- excuse me, the southwest quar-
7 ter of Section 23. It is the No. 2, Booth Federal No. 2 --

8 Q Okay.

9 A -- which had a -- it was an early com-
10 pletion which did not completely attempt a completion in
11 the Williamson Sand.

12 Q Are there any plugged and abandoned
13 wells within a half mile radius of the proposed injection
14 well?

15 A No, there are not.

16 Q At this time would you generally de-
17 scribe the geologic nature of this reservoir, and I'm
18 talking about the Williamson Sand interval in the Cherry
19 Canyon?

20 A The Williamson Sand, as is indicated by
21 the structure map, is -- we've got a monoclinal dip to the
22 northeast. The sand itself is a white to tan, very fine
23 grained sand, with well rounded grains.

24 Q Is this a blanket type deposit?

25 A This is a blanket type deposit.

1 Q What is the gross thickness of the
2 Williamson Sand?

3 A The gross thickness ranges from 70 feet
4 to 105 feet in thickness.

5 Q What is the average porosity in the
6 area?

7 A The average porosity is 17-1/2 percent.

8 Q And the average water saturation?

9 A Is 52 percent.

10 Q What would be the average permeability
11 range in the area?

12 A The average permeability ranges from 35
13 to 40 millidarcies.

14 Q And what is the approximate depth of the
15 top of the Williamson Sand?

16 A Approximately, using an average through-
17 out over the Mobil 22 Federal lease, would about 5000 feet.

18 Q Now if we talk about the Williamson
19 Sand, that's what you've been discussing, is that correct?

20 A That is correct.

21 Q How does that compare with other inter-
22 vals in the Delaware, the Bell Canyon and the Brushy
23 Canyon?

24 A The entire Delaware section was depo-
25 sited in the same environment of deposition; therefore all

1 of the sands are quite similar.

2 Q Is there any evidence of natural frac-
3 turing in this formation?

4 A No, there are not.

5 Q All right, would you now go to what has
6 been marked Sun Exhibit Number Two and identify this,
7 please.

8 A This is a gross sand isopach of the
9 Williamson Sand interval. This helps to identify the broad
10 deposit.

11 Q Okay, and what does this show you?

12 A Okay. This shows a -- the thickness of
13 the Williamson Sand as being very continuous throughout the
14 field ranging from the 70 feet to 105 feet, as I earlier
15 testified.

16 Q And you have a cross section that basi-
17 cally depicts this in a later exhibit, is that correct?

18 A Yes, I do.

19 Q Let's go on to Exhibit Number Three and
20 identify this exhibit.

21 A Exhibit Number Three is an isopach, net
22 pay isopach, of the Williamson Sand, using a porosity
23 cutoff of 14 percent.

24 Q And what does this show you?

25 A This shows a northeast/southwest trend-

1 ing development of porosity.

2 Q Okay, would you go and focus particu-
3 larly on Section 22 and explain and show what you mean by
4 this trending porosity?

5 A Okay. Within Section 22 we can see a
6 development and enhancement of porosity going from north-
7 east to southwest, which proceeds across from the north-
8 east corner of that section towards the southwest corner of
9 the section through the Worth Federal No. 2 Well, the Mobil
10 22 Federal No. 6, and into the Mobil 22 Federal No. 10
11 Well.

12 Q And so what you have here is a thicken-
13 ing of the porosity or thick that runs from the northeast
14 corner running to the southwest?

15 A Yes.

16 Q And then on either side of that how does
17 the formation change?

18 A We have a thinning of porosity develop-
19 ment on either side of that thick as we do again have the
20 thinning occurring on either side of the thick which
21 proceeds from the northeast to the southwest through the
22 Worth Federal No. 1 Well, the Mobil 22 Federal No. 4 Well,
23 and through the No. 5 Mobil 22 Federal Well.

24 Q And so if I understand you, what you
25 have is you have variations in the porosity that seem to

1 trend northeast/southwest. You've got a thick kind of
2 running through the center of it and thinning sections on
3 either side.

4 A Yes.

5 Q How does the characteristic of the ac-
6 tual pay section vary as you go from the thick to the
7 thins?

8 A The cause for the thickening of the pay
9 interval is due to the coarsening of the sand due to the
10 depositional environment. We have an enhancement of litho-
11 logy character.

12 Q And what significance do you attach to
13 this reservoir characteristic?

14 A This should enhance the orientation of
15 production as far as the flow of hydrocarbons, flow of for-
16 mation fluids.

17 Q And what do you mean by that? Are you
18 talking about a radial drainage pattern or a directional
19 pattern of some kind?

20 A Probably we'd have a radial pattern but
21 it would be influenced by these northeast/southwest trend-
22 ing enhanced development of porosity.

23 Q All right, would you now go to Exhibit
24 Number Five, which -- Number Four, which is the cross sec-
25 tion and I'd like to direct your attention first to the

1 index map and then ask you to go through the cross section
2 as a whole and review that for the examiner.

3 A Okay. This map is a -- this structure
4 map that we saw in Exhibit Number One, which is on top of
5 the Williamson Sand. It does indicate those wells which
6 are contained on the cross section which proceeds from east
7 to west running from the Williamson No. 4 Holly A Federal
8 Well through the Mobil 22 Federal Wells No. 1 and 3 and 5,
9 and into the Mallon lease with the No. 7 and No. 11 Amoco
10 Federal Wells.

11 This is a stratigraphic cross section on
12 the base of the Williamson Sand.

13 Q Now, you've included on the cross sec-
14 tion a portion of the log from each of these wells. As to
15 the log on the Mobil 22 No. 5 Well, has that entire log
16 previously been filed with the Oil Conservation Division?

17 A Yes.

18 Q All right, would you now go to the cross
19 section itself and review the information contained on
20 this exhibit?

21 A Okay. This is a stratigraphic cross
22 section on the base of the Williamson Sand and what it in-
23 dicates is the perforated interval of the Williamson Sand.
24 You can see a very good continuous development of the
25 porosity from well to well.

1 Q Would you go to the log on the Mobil 22
2 No. 5 and just point out and identify the injection zone,
3 please?

4 A Okay, the injection zone would consist
5 of that interval from 49 -- excuse me -- 4923 to 5020.

6 Q What conclusions can you draw about the
7 reservoir from this cross section and the other exhibits?

8 A The exhibits that I've shown and this
9 cross section help to show that we have a very continuous
10 porosity development within the Williamson Sand which is a
11 broad deposit, the continuity very, very well expressed.

12 Q Are the perforated intervals in each of
13 these wells indicated on the cross section?

14 A Yes, they are.

15 Q Does the perforated interval in the
16 closest Williamson well, which is the well on the righthand
17 side of the cross section, does that interval correlate
18 with the injection interval in the Mobil 22 No. 5?

19 A Yes, it does.

20 Q And between that are two other wells.
21 Are the perforated intervals in those wells also in corre-
22 lation with -- with both the Williamson Well and the in-
23 jection well?

24 A Yes, they are.

25 Q In your opinion could injection of

1 fluids into the Mobil 22 No. 5 adversely affect Mr.
2 Williamson's well from a geologic point of view?

3 A From a geologic point of view, prior to
4 any effect on the Williamson well, an effect would be seen
5 in both the Sun's Mobil 22 Federal No. 3 and the Mobil 22
6 Federal No. 1.

7 Q Do you know if water production is re-
8 ported monthly on any of these wells?

9 A Yes, they all are.

10 Q And it would be reported if there was an
11 increase in water on the two wells between the injection
12 well and Mr. Williamson's property?

13 A Yes.

14 Q And based on your study, do you have any
15 other general conclusions that you can (inaudible) in the
16 proposed injection well cause waste and impair correlative
17 rights of any other interest owner in the area?

18 A No.

19 Q Were Exhibits One through Four prepared
20 by you or compiled under your direction?

21 A Yes, they were.

22 MR. CARR: At this time, Mr.
23 Stogner, I would move the admission of Sun Exhibits One
24 through Four.

25 MR. STOGNER: Are there any

1 objections?

2 MR. DICKERSON: None.

3 MR. STOGNER: Exhibits One
4 through Four will be admitted into evidence at this time.

5 MR. CARR: That concludes my
6 direct examination of this witness.

7 MR. STOGNER: Thank you, Mr.
8 Carr.

9 Mr. Dickerson, your witness.

10 MR. DICKERSON: May I ask, Mr.
11 Carr, is your next witness an engineer?

12 MR. CARR: Yes, he is.

13 MR. DICKERSON: Okay.

14

15 CROSS EXAMINATION

16 BY MR. DICKERSON:

17 Q Mr. Rojas, you testified, I believe,
18 that you have picked an oil/water contact at -2200 feet --

19 A Yes.

20 Q -- subsea? Can you convert that to sub-
21 surface for me?

22 A That would be dependent upon the well at
23 which you picked the -2200 subsea. That has been defined
24 by the lack of production beyond that point, beyond that
25 subsea depth.

1 Q Well, at the proposed injection well,
2 can you --

3 A Oh.

4 Q -- tell us where the gas/water contact
5 or oil/water contact you picked is in that well subsurface?

6 A There would be no oil/water contact in
7 the proposed injection well. We are above the subsea depth
8 at the base of the Williamson Sand.

9 Q So the, as I understand it, the subsur-
10 face, your gas/water contact that you've picked is sub-
11 stantially below the proposed injection interval.

12 A Correct.

13 Q Would that be true as to all the wells
14 that we're concerned with in this general area that pene-
15 trated this zone?

16 A That the -- I'm sorry, could you re-
17 phrase the question?

18 Q I'm just trying to establish that -- it
19 appears that you're telling us that the gas/water contact
20 that you have picked, or oil/water contact that you have
21 picked, is in all cases as to the pertinent wells shown on
22 your various maps, substantially below the proposed injec-
23 tion interval.

24 A Yes.

25 Q Okay. Do you know, Mr. Rojas, how the

1 Federal No. 5 Well was chosen for your proposed pilot
2 waterflood?

3 A I believe it was chosen on a -- by the
4 reservoir engineering group. Geologically all of the wells
5 have got a very similar development of the Williamson Sand.

6 Q And is that correlation that you showed
7 us on your cross section of the wells through which that
8 cross section goes, is that all the wells basically that
9 we're looking at on your various maps would correlate if we
10 showed all of them on the cross section, would they not, as
11 to that they're all productive from that Williamson Sand,
12 as you've defined it.

13 A Yes, sir.

14 Q Okay. What can you tell us as a geolo-
15 gist, Mr. Rojas, concerning the -- any oil reserves under
16 the spacing unit of your No. 5 Well, being the southeast
17 quarter of the southwest quarter of Section 22?

18 A That they -- the -- we would be able to
19 enhance the development of those reserves based on a water-
20 flood project.

21 Q What is that well currently -- what's
22 the status of that well?

23 A It is currently a producing well.

24 Q And do you know the current rate of pro-
25 duction?

1 A Yes, I do, one moment. Currently that
2 well is making an average of 8 barrels of oil a day, 41
3 barrels of water, and 20 MCF.

4 Q If -- if the job had fallen to you to
5 pick an injection well for this pilot project, Mr. Rojas,
6 would your recommendation have centered on any other well
7 for geological reasons?

8 A Not for any geological reason would I
9 pick any other well.

10 Q What about -- is there not a goal to get
11 it centered or centered -- more closely centered in Sun's
12 acreage?

13 A I believe that the location for the No.
14 5 Well, being the injection well, was chosen with the long
15 term effects being considered as to what the pattern that
16 could be developed, how it would be.

17 Q The engineering staff did that and not
18 yourself?

19 A Yes. Yes, sir.

20 MR. DICKERSON: I have nothing
21 further.

22

23 CROSS EXAMINATION

24 BY MR. STOGNER:

25 Q Mr. Rojas, so that I'm clear on the

1 lease, the Mobil 22 Federal lease, is it outlined by the
2 yellow on these exhibits?

3 A Yes, it is.

4 Q Is that the only portion of the lease or
5 is that the only -- there's no other portions not connected
6 that is in this lease, is there?

7 A No, sir. The yellow, which is outlined
8 in the northeast quarter of Section 22 is a conditional Sun
9 lease. It is not the Mobil 22 lease.

10 Q Does Exxon operate the west half of the
11 northwest quarter of Section 22 or --

12 A No.

13 Q Who has that?

14 A I believe that has reverted to Mobil.

15 Q Okay. So that would be the extension of
16 your project for this lease, is that correct?

17 A Would be in the Mobil 23 Federal lease,
18 correct.

19 Q Okay. Mr. Rojas, when we talk about the
20 Williamson Sand, now, is that a known geological term or is
21 it a terminology which is used locally in this area --

22 A It is --

23 Q -- or does this have another name?

24 A It is a local terminology which is used
25 in many fields that produce from this interval, the Cherry

1 Canyon in this area.

2 Q Is it known by anything else?

3 A Not to my knowledge, other than a por-
4 tion of the Cherry Canyon Sand.

5 Q What is the parameters of the Williamson
6 Sand? I mean what are we finding right above the William-
7 son Sand and below it? Is that a sand interval or do we
8 have a shale or what do we have bordering this?

9 A On either side of the Williamson Sand
10 there is a high gamma ray reading which would indicate a
11 more argillaceous or a shale interval, which would bound
12 both the upper and lower limits of the Williamson Sand.

13 MR. STOGNER: Okay, I have no
14 further questions of this witness at this time, Mr. Carr.
15 You may continue.

16 MR. CARR: All right, at this
17 time, if the witness at least is temporarily excused --

18 MR. STOGNER: Temporarily.

19 MR. CARR: -- I would call
20 Richard Dillon.

21

22 RICHARD G. DILLON,
23 being called as a witness and being duly sworn upon his
24 oath, testified as follows, to-wit:

25

DIRECT EXAMINATION

BY MR. CARR:

Q Would you state your full name for the record, please?

A My name is Richard G. Dillon.

Q Mr. Dillon, where do you reside?

A Midland, Texas.

Q By whom are you employed and in what capacity?

A Employed by Sun Exploration and Production Company as a reservoir engineer.

Q Have you previously testified before this Commission and had your credentials accepted and made a matter of record?

A Yes.

Q And you were qualified as a reservoir engineer at that time, is that correct?

A Correct.

Q Are you familiar with the application filed in this case on behalf of Sun?

A Yes.

Q Are you familiar with the general area and have you made a study of the Delaware formation in this area, particularly surrounding the proposed injection well?

A Yes, I have.

1 MR. CARR: Are the witness'
2 qualifications acceptable?

3 MR. STOGNER: Are there any
4 objections?

5 MR. DICKERSON: No.

6 MR. STOGNER: Mr. Dillon is so
7 qualified.

8 Q Mr. Dillon, when did Sun originally file
9 an application with the Division seeking authority to in-
10 ject water in this well?

11 A The original application was completed
12 in our office on January 23rd and the cover letter was
13 written the first part of February and mailed to the Com-
14 mission.

15 Q And --

16 A Of this year.

17 Q -- was this application filed on a Com-
18 mission Form C-108?

19 A That's correct, it was.

20 Q And was a copy of this application at
21 the time it was filed with the Division forwarded to Mr. J.
22 C. Williamson as an offsetting leasehold operator?

23 A Yes.

24 Q And what happened at that time?

25 A At that time we were asking for admini-

1 strative approval of our waterflood pilot. Due to the
2 objection of Williamson, we were requested -- we were
3 forced to come to a hearing in order to (unclear).

4 Q What is the current status of the Mobil
5 22 No. 5 Well?

6 A The status of that well is production,
7 oil. As Mr. Rojas said, it's making about 8 barrels of oil
8 a day.

9 Q All right. Is there attached to the
10 C-108 that was filed in this matter a tabulation of data on
11 all wells within one-half mile of the proposed injection
12 well?

13 A Yes.

14 Q And did that include all the data that
15 is required on From C-108?

16 A Yes, sir, it did.

17 Q Could you summarize for the Examiner ex-
18 actly how Sun proposes to recomplete the subject well and
19 convert it to water injection?

20 A The subject well is currently completed
21 as a pumping oil well. The rods, pump, tubing would be
22 pulled. New cement lined tubing would be run in the well.
23 A Otis LocSet packer would be run in and set above the ex-
24 isting perforations. Some time during this process addi-
25 tional perforations would be added over the present inter-

1 val in the density of one shot per foot, to give us a total
2 of 89 holes over the perforated interval.

3 Q And what is that interval?

4 A The interval is 4938 to 5010.

5 Q Will the annular space be filled with
6 fluid?

7 A Yes, it will.

8 Q And will Sun place a gauge on the well
9 so that the -- to pressure test the fluid in the annular
10 space as required by the Federal Underground Injection Con-
11 trol Program?

12 A Yes.

13 Q What is the source of the water that you
14 propose to inject in this well?

15 A The source of the water injected into
16 this well will be produced water from the Williamson Sand
17 in surrounding wells.

18 Q Is this water from the same lease?

19 A Correct, from the same lease.

20 Q Is it limited to just the four offset-
21 ting wells or is it from the lease as a whole?

22 A It would be from the lease as a whole.

23 Q What is Sun presently doing with this
24 water?

25 A Sun is presently in agreement with Mr.

1 Williamson to dispose of this water and for a fee we turn
2 that water over to him to be disposed of.

3 Q And so you're paying Mr. Williamson to
4 dispose of the water for you. What do you pay him, do you
5 know?

6 A 35 cents per barrel.

7 Q Now, in your application, would you just
8 review what volumes you propose to inject in this well?

9 A As we've asked for in the application,
10 we would expect for purposes of this pilot to inject a
11 maximum of 400 barrels of water per day with an average on
12 the order of 300 barrels per day.

13 Q What is the ultimate volume you estimate
14 would be injected?

15 A An estimated volume would be somewhere
16 in the order of 1-million barrels.

17 Q How do these injection rates compare
18 with the current withdrawals from the subject well and the
19 four closest offsets to it?

20 A The 400 barrel a day injection rate
21 would approximately offset the withdrawal production rate
22 from the four offsetting wells.

23 Q And when you say would roughly offset
24 that, are you talking about offsetting the water production
25 or the total fluid withdrawals from those wells?

1 A It would offset the -- slightly offset
2 the water production and compensate for some of the oil
3 (unclear).

4 Q Would it be less than the total fluid
5 withdrawal from those wells?

6 A Yes, it would to a certain extent.

7 Q Would this injection system be an open
8 or closed system?

9 A It would be closed.

10 Q And does Sun propose to inject by grav-
11 ity or under pressure?

12 A It would be under pressure.

13 Q What pressure do you propose to use?

14 A The application, we've asked for the
15 maximum of 2000 pounds. The pressure we propose to use
16 would be -- could be somewhat -- would likely be somewhat
17 less than that. It would be what we decide would be re-
18 quired in order to effectively displace the oil in order to
19 replace the voidage and essentially cause the waterflood to
20 perform as we would expect it to.

21 Q Is it possible that a pressure limita-
22 tion of .2 pound per foot of depth to the top of the in-
23 jection interval could be satisfactory for your purpose?

24 A Yes.

25 Q Is it possible that you might need to go

1 slightly above that?

2 A That's possible.

3 Q And how would you propose that that be
4 handled?

5 A If there is any excess pressure that we
6 would find that we would need, we would petition the Com-
7 mission to perform step rate tests which would tell us
8 where our parting pressure would be and avoiding any pos-
9 sible (unclear) injection.

10 Q And if it's possible, would you request
11 that this order authorize those step rate tests witnessed
12 by the Division to determine that you're not going to
13 damage the confining strata?

14 A Yes.

15 Q Was a water analysis of injection fluid
16 attached to the original C-108 in this case?

17 A No, it wasn't.

18 Q Would you refer to what has been marked
19 as Sun Exhibit Number Five and identify that, please?

20 A Sun Exhibit Number Five is a laboratory
21 water analysis of the water that's produced from the
22 Williamson Sand. In particular it's from the No. 1 Mobil
23 22 Federal Well.

24 Q And what you're doing here is reinject-
25 ing into the Williamson Sand water from the Williamson

1 Sand, --

2 A That's correct.

3 Q is that correct? Are there fresh water
4 zones in the area?

5 A Yes, there are.

6 Q And where are they located generally?

7 A They are located somewhat within and
8 above the Rustler Formation.

9 Q And what is the approximate depth of the
10 Rustler in this area?

11 A I believe the approximate depth of that
12 is around 300 feet.

13 Q Is there any aquifer below the top of
14 the Rustler that could be considered as a possible source
15 of drinking water?

16 A I don't believe there's any possible
17 drinking water sources below -- I believe there are inter-
18 vals within the Rustler that are possible, but there's
19 nothing below that interval.

20 Q Are there fresh water wells in the area?

21 A Yes, there is.

22 Q There is? How many?

23 A On the -- on our lease, to my knowledge,
24 there is one.

25 Q And whereabouts is that well?

1 A That well is located slightly north of
2 our No. 6, Mobil 22 Federal.

3 Q Was a water analysis of the water from
4 this well attached to the C-108 that was filed with the
5 Division?

6 A Yes, it was.

7 Q Mr. Dillon, have you examined the avail-
8 able geologic and engineering data on this area?

9 A Yes.

10 Q And as a result of that examination have
11 you found any evidence of faults or other hydrologic con-
12 nections between the injection well and zone and any under-
13 ground source of drinking water?

14 A No.

15 Q Would you refer to what has been marked
16 for identification as Sun Exhibit Number Six, first identi-
17 fy what this is and then if you will go through it, it's a
18 multi-page exhibit, and review the information on each of
19 those pages?

20 A Okay. Sun Exhibit Six is a set of pro-
21 duction curves for the subject No. 5 Well on the Mobil 22
22 Federal lease, along with the offsetting four wells, which
23 includes the No. 3, the No. 6, the No. 9 and the Amoco
24 Federal No. 7, which is operated by Mallon.

25 Q Okay, let's go to the first page and

1 this in on the injection well?

2 A That is correct. This is the No. --

3 Q All right.

4 A -- 5, which is the proposed injection
5 well.

6 Q Would you explain what each of those
7 lines indicates and then what the exhibit as a whole shows?

8 A Okay. In particular on this exhibit we
9 have a standard production plot. We have time along the X
10 axis along the bottom. Oil production is shown by the
11 solid line. The left axis shows the scale of the oil pro-
12 duction, also the GOR and water production. That scale
13 goes -- is logarithmic. It goes from 1 to 10,000. Again
14 the oil production shown by the solid line, the GOR is
15 shown by a solid line with intermittent dashes and dashed
16 line depicts the water production from the well.

17 The -- in addition to the lines which
18 include data which the public records obtained from
19 Dwight's, which ends in November of '88, I have predicted a
20 decline rate for the well, which is shown by a dashed line
21 with single dots in between the dashes, and have annotated
22 that with my interpretation of what the decline rate of
23 that well would be out to its economic limit.

24 For the No. 5 Well that would be a 64
25 percent decline.

1 The economic limit used here is 3 bar-
2 rels a day, which is a somewhat arbitrary number. Of
3 course the economic limit would depend on the current oil
4 price and operating expenses and other factors. The 3 was
5 taken to be a conservative number that would represent
6 under most cases an ultimate recovery from this well.

7 Q All right, let's go to the next page.
8 This is the Mobil 22 Federal No. 3. This is the east
9 offset to the proposed injection well, is it not?

10 A That's correct.

11 Q All right, let's just review this exhi-
12 bit as to what it is designed to show.

13 A Again we have the same three curves
14 plotted on this and again a prediction of the oil rate from
15 the end of 1988 on. This well historically has shown a 41
16 percent decline. Due to well work and other circumstances
17 there was an increase in the well in about the middle of
18 1988; some work that Sun performed on the well. Again that
19 trend is somewhat established on that higher rate and that
20 decline was used to predict into the future.

21 Q All right, let's go to the Mobil 22
22 Federal No. 6, the north offset.

23 A Again the same curves. Again a histor-
24 ical decline rate of around 41 percent. Again we've taken
25 the last known rate and extrapolated from that point.

1 Q All right, and finally -- well, next to
2 the last, the Mobil 22 No. 9, the west offset?

3 A The No. 9 again was off production for a
4 period of time due to some operating problems; was brought
5 back on, and that rate that we brought it back on was used
6 as the starting point for the decline.

7 Q And the final one, the south offset, the
8 Amoco Federal No. 7?

9 A Again the same set of curves, again an
10 established decline rate approximately of around 40
11 percent. This one in particular is 39 percent, and again a
12 forecast of what we would expect that well to produce on
13 the (unclear) decline.

14 Q In looking at these decline rates, in
15 your opinion is appropriate at this time to start evaluat-
16 ing the possibility of a secondary recovery project in this
17 area?

18 A Yes, it is.

19 Q Would you refer to what has been marked
20 as Exhibit Number Seven, identify that, and review the
21 figures on this exhibit?

22 A Exhibit Number Seven is a summary of the
23 analysis of the anticipated future production from the five
24 wells that we are looking at. Included in that is the cum-
25 ulative oil production to date, which is shown in the far

1 left column there next to the well identification. It's
2 shown that from these 5 wells we've produced 180,000
3 barrels of oil, which represents an average of 39 -- 35.9-
4 thousand barrels per well.

5 The next column over we show the cum-
6 ulative gas production from each of the wells. We made on
7 the order of 300-million cubic feet from these wells.

8 Next is shown a decline rate that was
9 previously annotated on each of the curves. It shows a
10 trend in the area of around 40 percent with the exception
11 of the No. 5 Well that we propose to convert.

12 The remaining oil reserves based on the
13 decline rate and economic limit I previously mentioned, is
14 shown in the next column. It shows that on the average we
15 have a total of 43,000 barrels remaining to be produced
16 from these wells under primary recovery for an average of
17 868,000 per well.

18 And in the last column we show the ulti-
19 mate recovery under primary conditions, which is simply the
20 summation of the first column with the next to the last
21 column. It shows an average of 44.6-thousand barrels per
22 well.

23 Q Now this exhibit shows what would happen
24 if waterflood is not -- waterflooding or some other secon-
25 dary recovery method is not introduced into the reservoir.

1 A That is correct.

2 Q Could you advise the examiner what per-
3 cent of the original oil in place is being recovered
4 through primary production?

5 A Primary production will result on the
6 average, depending on the well and differences in operating
7 conditions, et cetera, but the average would be on the
8 order of 8 to 9 percent optimum from the original oil in
9 place.

10 Q Would you now refer to Sun Exhibit Num-
11 ber Eight, which is again a multi-page exhibit and ident-
12 ify, first of all, what this exhibit is?

13 A Exhibit Number Eight is a set of three
14 production curves. In this case we have the same axes as
15 we had before; however, these three pages represent three
16 analogy waterfloods that have been performed in Delaware
17 sands in the general area that we're talking about here.

18 Q Now this are not Williamson Sand, is
19 that correct?

20 A That is correct.

21 Q And from what interval are they produc-
22 ing?

23 A These units are producing from the Bell
24 Canyon, which is a unit that is above the Cherry Canyon in
25 the Delaware.

1 Q Would you expect these wells, or these
2 units, when waterflooded, to perform in a similar fashion
3 to what you'd expect with the Cherry Canyon and the
4 Williamson Sand?

5 A Yes, we would expect the performance of
6 these wells to give us an indication of what kind of re-
7 sults we could expect in a general (unclear).

8 Q All right, would you first go to the
9 first page of this exhibit, the Ford Geraldine Unit and
10 review that for Mr. Stogner?

11 A The first page, which is the, again, the
12 Ford Geraldine Unit, which is in Reeves County, Texas,
13 operated by Conoco, shows the initial production from the
14 unit in the late sixties. The wells produced an approxi-
15 mate -- the unit was producing in primary conditions for,
16 you can see, up until about 1972, in that order. The unit
17 was converted to a waterflood project. Again the solid
18 line shown on the graph shows the oil production. You can
19 see the corresponding increase in oil production peaking
20 about a year and a half later. A subsequent decline from
21 that and as we can see in about 1982, we were reaching a
22 fairly low value in the oil production. At that point a
23 CO₂ tertiary recovery project was initiated in this -- this
24 field and hence it's -- any more analogies with what we're
25 looking at are not appropriate. However, looking at what we

1 predict would happen had we continued primary production,
2 as you can see there's a dashed line, dashed and dotted
3 line, starting slightly to the right of the start of
4 injection annotation that again is about 1973. It shows
5 what we would anticipate that project to produce under
6 continued primary conditions going out to the economic
7 limit which would have been reached in about 1986.

8 Q All right, the dashed line which says 12
9 percent decline on it --

10 A That's correct.

11 Q -- that's production's decline under
12 primary conditions.

13 A That's correct.

14 Q And then the dark line that goes about
15 in 1972 or 3 that goes up above that line shows the oil
16 response to waterflooding, is that correct?

17 A That is correct.

18 Q And it's the difference between those
19 lines that reflects the kind of response you would hope to
20 achieve in the Williamson Sand in a similar effort.

21 A That's right.

22 Q All right, let's go to the next page.
23 That's the El Mar Delaware Unit and I'd ask you to review
24 the information on that unit.

25 A This unit is in Loving County, Texas.

1 Again it was a Bell Canyon Delaware Unit. It's operated by
2 Texaco. Again we have the same annotations. This unit was
3 converted in about 1976 to water injection. We see again
4 about a 12 percent decline would be expected if primary
5 operations had been continued; however we see an initial
6 dip due to conversion of wells and then an increase in oil
7 production, again peaking about two years later at about
8 1000 barrels per day. That subsequently declines and goes
9 on an established rate of about 20 percent decline. Again
10 both of these were extrapolated out to an economic limit.

11 Q And let's go now to the Agnes Beckham
12 Unit.

13 A This unit, which is in Reeves County,
14 Texas, is operated by ARCO. Again the same annotation as
15 before. We have an established 8 percent decline from the
16 primary. In 1979 injection was started, as you can see
17 again, the small dip in production due to conversion of
18 producing wells and subsequent increase in oil rate, again
19 in this case peaking around 190 barrels per day, that being
20 sustained for a number of years and then going on a --
21 based on the last year's data that was obtained, 40 percent
22 decline. Again both of those were extrapolated to the
23 economic limit.

24 Q What does this exhibit tell you about
25 the potential for waterflooding of the Delaware formation?

1 A It shows that in each of these cases a
2 substantial amount of additional recovery was attained by
3 waterflooding and that that recovery was attained in a
4 fairly accelerated manner and that all the flood responded
5 well to the injection of water.

6 Q Will you now go to Exhibit Number Nine
7 and review that, please?

8 A Exhibit Nine is a summary of the three
9 previous pages that we were just looking at. Shown across
10 the top are the various units, each of the properties, the
11 Ford Geraldine, the El Mar, and the Agnes Beckham. The
12 operator and county are shown.

13 The next line down shows the cumulative
14 production at the start of the waterflood; that is the
15 primary production as it's been obtained from each of the
16 units at the time that the flood were initiated.

17 For example, for the Ford Geraldine,
18 about 1.9-million barrels had been produced. The next line
19 down shows the estimated remaining recovery based on the
20 projection that was shown on the previous graph. It shows
21 that we would expect another 3.4-million barrels be pro-
22 duced from that unit. Estimated the ultimate primary re-
23 coveries, but the sum of those numbers show we would expect
24 about 5.3-million barrels under primary recovery. The next
25 line down shows the estimated total recovery after the

1 start of the waterflood. This number would be compared t
2 the second line, which is the estimated remaining primary
3 recovery. Here we show about 5.8-million barrels as com-
4 pared to the 3.4-million barrels we'd expect under primary.
5 The bottom line is the difference between these two num-
6 bers. It shows the incremental secondary reserves, in this
7 case about 2.3-million barrels of additional recover was
8 obtained because of the waterflood.

9 That carries across the El Mar Unit,
10 which we expected to have about 5.4-million barrels of pri-
11 mary recovery. That was increased by 1.4- million barrels
12 because of the initiation of the waterflood.

13 Agnes Beckham, the same analogy, again
14 additional recovery of 186,000 barrels from that property.

15 Q Now, Mr. Dillon, you've been talking
16 about what you have characterized as analogous fields. I'd
17 like you now to go to the particular injection well that is
18 the subject of this hearing. Have you modeled this area?

19 A Yes, I have.

20 Q Would you refer to what is marked as
21 Exhibit Number Ten and explain what this is and what it
22 shows?

23 A Exhibit Ten is a plat with the wells of
24 this area, the Brushy Draw Field. Shown in green upon the
25 old 22 Federal lease outlined in green and hachured, is

1 what is depicted as the area that will be affected by this
2 waterflood pilot. This area was modeled using reservoir
3 simulation techniques in order to predict what this parti-
4 cular flood would do in terms of additional recovery. The
5 model that was created was designed to be a process model
6 to give us an indication of -- of the -- whether or not if
7 we would achieve any additional recovery and how much that
8 additional recovery would be. It's basically a decision
9 tool in order to proceed with our plans to convert this
10 well.

11 Q And the model area was bounded by the
12 four immediate offsetting wells that produce from this
13 Williamson Sand.

14 A That's correct.

15 Q All right, let's go to Exhibit Number
16 Eleven and I'd ask you to explain what this -- what this
17 shows.

18 A Exhibit Eleven shows what we've used in
19 the way of software in order to model this particular
20 pilot. This is simply to document the software that was
21 used to satisfy any questions in terms of validating this.
22 The specific program is known as VIP. It'd developed by J.
23 S. Nolen and Associates from Houston, Texas.

24 In particular in importance is the fact
25 it's a three dimensional model that handles three phases of

1 oil, water and gas. It uses black oil PVT properties,
2 formation volume factor, viscosity, solution gas/oil ratio.

3 It accounts for gravity forces, viscous
4 forces within the fluids, capillary forces within the pores
5 of the model reservoir. Uses mathematical equations for
6 fluid flow common to all modern simulators.

7 It is -- has been compared against other
8 models against industry standards. It's been delegated by
9 other companies, Conoco, Phillips, Standard Oil, Unocal,
10 and many others have used this for results. It's used ex-
11 tensively for Prudhoe Bay, North Slope type of projects.

12 Q Has Sun relied on this model in the
13 past? A Yes, we have. We've used it essentially
14 exclusively since 1983 for simulation work in terms of
15 black oil models. We benchmarked against other companies,
16 against hand calculated analogies and there's no doubt as
17 to its validity.

18 Q And this is an approach that your com-
19 pany commonly uses in determining whether or not a water-
20 flood project should be implemented in a field.

21 A That's correct.

22 Q All right, let's go to Exhibit Number
23 Twelve. This sets out basic assumptions that were utilized
24 in the model and I think it would be helpful for you, Mr.
25 Dillon, to go through this item by item and state what

1 these assumptions are and if you can, you might notice
2 which -- identify which of these assumptions are specific
3 to this reservoir and which assumptions are general numbers
4 utilized in those.

5 A Okay. The parameters that were used in
6 the -- again on the model, are contained here in general.

7 The initial pressure, which corresponds
8 to the initial pressure in the field, was 1800 pounds abso-
9 lute.

10 The initial saturation pressure was also
11 -- that was used was also 1800 pounds.

12 There is no PVT data that we have
13 obtained within our lease that gives us 100 percent cer-
14 tainty that that's what the flow point was. This is a con-
15 servative number that's taken from correlation and the PVT
16 data we're using here is from industry standard corrla-
17 tions. If anything, we believe the (not clearly under-
18 stood) probably somewhat higher but in order to not be
19 over-optimistic to, you know, inaccurately predict what
20 might happen, the conservative number of 1800 pounds was
21 also used, thus there was no initial gas cap in the area.
22 The oil was under-saturated but when the first barrel of
23 oil was produced there was a molecules of gas began coming
24 out of the solution.

25 The reservoir temperature is 105 degrees

1 Fahrenheit. That's been measured by logs.

2 The porosity on the average in this area
3 is 17-1/2 percent. Again that's log measurement specific
4 to this area.

5 Net pay, 48 feet. Again that's taken
6 from log calculations.

7 The irreducible water saturation that
8 was used in the model was 17 percent. This, along with the
9 residual oil saturation and other rock properties, to a
10 certain extent was taken from extensive core analysis that
11 we've done in similar Cherry Canyon sands from a field that
12 we operate in Loving County.

13 Q Have there been any logs in this parti-
14 cular area of the Williamson Sand?

15 A Have there been any cores in this parti-
16 cular area?

17 Q I'm sorry, yes.

18 A No, there have not been any cores in
19 this particular area.

20 Q All right. Those numbers were used
21 based on our knowledge of performance of the two fields.
22 The wheat (sic) field is a somewhat poorer sand, thus the
23 results that we'd expect would be somewhat pessimistic. By
24 using these input parameters we felt that our standards
25 would be met by the results of this model, then we have a

1 fair confidence level, but what we'd actually see from the
2 Brushy Draw Field would -- would exceed this.

3 The original oil in place that was cal-
4 culated under a 40-acre tract by the model was 746,000
5 barrels.

6 The rock compressibility we used was 10
7 $\times 10^{-6}$ inverse psi.

8 The permeability that was used again was
9 taken from core data from a -- was taken from core data
10 from wells in the Cherry Canyon in Loving County, from the
11 Wheat (sic) Field. This has been validated by numerous
12 build-up tests that shows that we have an average of 5
13 millidarcies in that area.

14 Log derived permeabilities from the
15 Brushy Draw Field show that we are more on the order of
16 probably 35 to 40 millidarcies, thus we have higher perme-
17 ability in this area, thus we would expect a quicker and
18 hopefully somewhat more efficient response to the flood.

19 So again we've got a pessimistic number
20 that we've input to the model. Again, knowing that if the
21 results are satisfactory, that this would again give us a
22 go ahead decision on our project.

23 Again the fluid properties initial
24 pressure again was 1800 pounds with the (unclear) point.

25 Initial formation volume factor, 1.3

1 reservoir barrels per stock tank barrel. Solution gas/oil
2 ratio of 800 cubic feet per barrel. That is also taken
3 from production to a certain extent. The initial esta-
4 blished GOR seems to be on the order of about 800 standard
5 cubic feet, so that validates that number (unclear) in the
6 Morrow.

7 And the water that was used was -- the
8 properties were taken from correlations used industry-wide
9 based on the knowledge of the water sample that we have of
10 produced water from this formation.

11 Q Now using these assumptions, how accu-
12 rate would you expect the modeling results to be?

13 A Using these formations it makes this
14 model very specific to this area and to the, obviously, to
15 the Williamson Sand in particular. It would give us, this
16 amount of (unclear) gives a great deal of confidence in the
17 numbers that we predicted from the model. Again, if any-
18 thing, we would be looking for somewhat pessimistic re-
19 sults.

20 Q Now let's go to Exhibit Number Thirteen,
21 again a multi-page exhibit. First, identify what these
22 graphs are designed to show and then if you would go
23 through them, please.

24 A Okay. The next set of graphs are simply
25 the actual input data that was used in the modeling for --

1 on a graphical depiction so that you can see what actually
2 went into the calculations that were made.

3 Again the oil PVT properties were taken
4 by correlation. First we have the oil viscosity. We show
5 that as we would expect decreasing as we go to a higher
6 pressure. We've got pressure plotted along the bottom to
7 the high of 1800 pounds. Oil viscosity went from zero to 2
8 centipoise on the lefthand scale.

9 Second, we have the oil formation volume
10 factor again rising with increased pressure. Again we have
11 the scale from zero to 1800 pounds on the bottom and the
12 formation volume factor going from 1 to 1.4 on the left-
13 hand side.

14 The next curve shows a solution GOR
15 going from, well, essentially zero at atmospheric pressure
16 up to a high, in this case, of about 530 pounds at 1800
17 pounds, or excuse me, 530 feet per barrel at 1800 pounds.

18 This is the differential liberation GOR
19 that's used in the model. The slashed GOR, which I men-
20 tioned earlier, was 800-to-1, is shown by production. We
21 have roughly paralleled this trend (unclear) not shown on
22 this graph. This is what we think we'd expect in the re-
23 servoir itself.

24 Lastly we have a gas deviation factor,
25 again starting with 1 at atmospheric pressure and decreas-

1 ing.

2 These last two graphs show the rela-
3 tive permeability that was used in the model. First we
4 have the oil/water -- excuse me, the oil/gas relative
5 permeability. This was taken from the core data from the
6 Cherry Canyon. The lefthand scale is the relative perme-
7 ability to each of the phases going from zero to one. The
8 bottom axis shows the gas saturation again going from zero
9 to one. You can see the corresponding as we would expect
10 dropping oil relative permeability as we increase gas sat-
11 uration. corresponding increase in gas relative permeabil-
12 ity.

13 Again this was directly from core data.

14 The next graph shows the oil/water rel-
15 ative permeability; same scale as before, zero to one on
16 both axes, bottom this time being water saturation. This
17 data is -- was initially taken from correlations for rela-
18 tive permeability for a sand with the properties that we
19 have based on the fact that all the core data, or all the
20 core tests that we've tried to perform on Cherry Canyon
21 sand shows that such a uniform distribution in the core
22 size and the grain size, that you get a piston-like dis-
23 placement when you try to perform the laboratory test and
24 that once you get water breakthrough you go immediately to
25 100 percent water saturation when you perform this test on

1 a small, 1-inch diameter plug, which essentially shows
2 you have piston-like displacement. You have essentially
3 100 percent sweep of the oil by the water, thus you have a
4 very, very, very efficient process. That, we know, does
5 not happen, you know, in the reservoir. We'd like that to
6 happen but unfortunately it doesn't. We have some hetero-
7 geneity in the reservoir. In this case it's fortunate that
8 we do not. These numbers were obtained, that we see on
9 this graph, were obtained by the process of history
10 matching or fine tuning the model such that it performed in
11 an analogous manner to known production in terms of the
12 water cuts and the oil rates that we see from the wells.
13 Thus this curve in particular is unique to this area, to
14 this model, and will help us in our prediction of what a
15 waterflood pilot would be in terms of additional recovery.

16 Q Now, these graphs indicate how efficient
17 waterflooding would be in the area, is that correct?

18 A That's correct. That would be --

19 Q And the last graph is the one that you
20 have history matched to this particular reservoir that
21 probably best shows that.

22 A That's correct.

23 Q And how would you characterize the effi-
24 ciency of waterflooding in this area based on this exhibit?

25 A Base on these exhibits we would expect

1 waterflooding to be a very efficient process here, a good
2 tool to obtain additional recovery.

3 Q Now, let's go to Sun's Exhibit Number
4 Fourteen. Would you identify this, please?

5 A Exhibit Fourteen, which consists of two
6 pages, is a plot, graphical description of what the actual
7 reservoir model looks like. The model consists of grid
8 cells, each of which has a -- within the model period has a
9 distinct water saturation, oil saturation, gas saturation,
10 pressure, GOR within each of the cells. It's essentially a
11 very, very rigorous calculation of the fluid flow through
12 the reservoir.

13 The first graph shows an aerial view of
14 the model. What we have done is selected a symmetry ele-
15 ment of a 5-spot, which is essentially what we have with
16 conversion of the No. 5 Well. We have reduced the well,
17 excuse me, the model to two wells and in the forecast mode
18 for secondary we have a producer, which in this case is
19 depicted in the upper lefthand corner, being that corner
20 cell. We have an injector in the opposite corner cell. In
21 order to obtain a full pattern you take the mirror image of
22 this grid, lay it over to the right and again take a mirror
23 image of those two graphs, put them down, and you have your
24 5-spot element.

25 For modeling purposes it's common to use

1 the smallest element possible in order to save computer
2 time, to simplify the problem as much as possible. You
3 obtain the exact same results that you would have with a
4 larger model; however, it's scaled down, facilitates
5 running, saves computer expense. It's an industry-wide
6 practice for simulation work.

7 Q All right, Mr. Dillon, if you'd now go
8 to the second page of Exhibit Number Fourteen and identify
9 that.

10 A The second page is a cross section of
11 the model grid that is if you're looking from the side.
12 Five layers were used in the model. Each of these layers
13 were assigned different permeability and porosity values
14 based on the known log calculations. The averages of
15 those, as we stated before, was 17-1/2 percent porosity;
16 5.1 millidarcies permeability. Those were distributed
17 across for each of the layers as they're shown actually in
18 the reservoir.

19 This layering gives us a more realistic
20 prediction from the model in terms of what a flood would do
21 in this reservoir.

22 Q All right. Let's go to Exhibit Number
23 Fifteen. This is a grid production forecast, and I'd like
24 you to review what the lines on this exhibit, focusing
25 first on page one, indicate and also what the arrow on the

1 axis across the bottom indicates.

2 A Okay. Let's see, I'm going to refer to
3 the page that is labeled production forecast, which may be
4 the second page in the way that these were stapled to-
5 gether. That is a graphical depiction of the results from
6 the output of the model. The axes along the bottom, we
7 have time in days. Each of the hachured marks -- each of
8 the hachures across the bottom are 4 years, 1460 days,
9 being 4 years, gives us a time frame along the bottom.

10 Oil production is plotted against the
11 lefthand scale, which is logarithmic, goes from 1 to 100.
12 Gas production rate goes from 1 to 100 and is shown on the
13 righthand scale. These are 1/4 scale rates as obtained
14 directly from the model we showed it in order to obtain
15 numbers that would be applicable for a full well; for a
16 full 5-spot we've multiplied these numbers by 5; however,
17 -- or 4, excuse me; however, they give us the relative
18 magnitude of the results that we would expect and we can,
19 just by looking at the trends that we see, you know, basi-
20 cally get the gist of the results of the study.

21 First of all, you might like to look at
22 the oil production from the two cases that were -- were run
23 in order to compare the primary versus the secondary.

24 The primary case was run, which charted
25 initial production modeled, you know, on the order of

1 starting in 1985 when the wells were completed. It was
2 produced until a time which approximates the present time,
3 which is shown by the arrow, a little over 3 years.
4 They're pointing to the bottom scale.

5 At that point the primary oil, which
6 you can see is shown by a dashed line, and is annotated
7 there at the very end of the curve, continued on its de-
8 cline that we'd seen previously. It seemed like a very
9 severe decline; however, we have a very compressed time
10 scale. The decline obtained from that is on the order of
11 30 to 40 percent that was, you know, like that shown by the
12 previous production from actual history.

13 It shows that, obviously, with no other
14 operations going on that we would expect the oil rate to
15 continue to decline through time and that we might expect
16 it, perhaps, three or four more years down the road that we
17 would -- at best we would be shutting most of these wells
18 in due to lack of energy to produce under primary.

19 The primary gas is shown by the -- also
20 by a dashed line. It's a little harder to read. It essen-
21 tially parallels to a certain extent the oil line and then
22 it turns around in -- 19 -- well, in about the second year
23 of the project, about 1/2 inch over, turned around and goes
24 up as more and more solution gas comes out of -- gas comes
25 out of solution from the oil; we have what is essentially a

1 solution gas drive reservoir here, thus the GOR's go up,
2 gas production goes up, however, this is essentially just a
3 venting of the natural energy that's producing the oil from
4 the reservoir and essentially is a waste to a certain ex-
5 tent.

6 In order to compare that with the
7 secondary, what we'd expect the secondary waterflood re-
8 serves, at the point in time where the arrow is at that is
9 in present time in the model, one of the wells again was
10 converted to an injector; hence we have our 5-spot. You
11 can see by the solid line which represents secondary oil,
12 that at that point in time where the arrow is at, that we
13 lose production due to the fact that we convert one of the
14 wells to injection. That well immediately begins injecting
15 water. We see a somewhat, for a period of time, somewhat
16 the same decline from the existing well. Then within about
17 a year we see a turning around of that decline in oil rate
18 and within two years a steep increase in the amount of oil
19 we'd expect on a per day basis, and as you can see by the
20 secondary oil curve, which is solid, it would peak, accord-
21 ing to the model, results about 4 to 5 years further out,
22 and would continue for an extended period of time that we
23 anticipate quite a bit of recovery based on the parameters
24 that we have here. The secondary gas follows that and is
25 of less importance than the oil.

1 Q All right. Now go to what I guess in
2 your copy is the first page of this exhibit and review
3 that.

4 A That's right, this is the cumulative
5 production forecast, which again is scaled with time along
6 the bottom and oil production in thousands of barrels along
7 the lefthand axis, gas production on the right, and again
8 if we just focus on the oil, you can see that the solid
9 line which ends up at the upper righthand side, labeled
10 secondary oil, shows that from the model we would expect
11 somewhere in the order of 73,000 barrels scaled down, of
12 course. Again we would multiply this by 4 to get a typical
13 5-spot would be attained.

14 If you look back down on the lower left-
15 hand side, where the labeled primary oil was contained,
16 you'll see that the dashed line ends just above the R there
17 and that we get somewhere in the order of about 17,000
18 barrels, which you can see the difference that we'd expect
19 under continued primary oil operating conditions, which is
20 the secondary flooding conditions.

21 Q How much of an increase do you antici-
22 pate you could get by the institution of waterflooding?

23 A The model indicates that we could over-
24 all obtain perhaps as much as a two-to-threefold increase
25 in oil production over primary.

1 Q All right. Let's go to Exhibit Number
2 Sixteen. Would you review the figures on that exhibit,
3 please?

4 A Okay. Figure Sixteen is a summary of
5 the reservoir simulation results. It's given for both the
6 quarter scale, that is the direct model result, and that
7 would correspond to the numbers that we see on the previous
8 two plots, and also to a full scale, that is numbers that
9 we can more easily relate to actual field production
10 figures.

11 I'll go ahead and go down through the
12 full scale column. You'll see the first line it shows
13 primary forecast case. We have at present day time in the
14 model the remaining primary production along the order of
15 12.8-thousand barrels from the well that -- the wells that
16 would be producing at that point.

17 That agrees, you know, generally to the
18 8-to-9000 barrels that we'd expect from the decline curve
19 analysis that we showed on Exhibit Six, I believe it was.

20 Ultimate primary recovery would be on
21 the order of about 72,000 barrels.

22 Then we drop down under numbers that we
23 obtained from the secondary forecast. First of all, once
24 the well that is -- represents the No. 5 in the pilot is
25 converted, within the first year it injects on the order of

1 an average of 191 barrels of water per day. The rate that
2 was selected in the model was based on two things. One is
3 shown in the next line. We have a maximum bottom hole
4 injection pressure of 1900 pounds, which is only 100 pounds
5 above what we think the original pressure was in the re-
6 servoir. This is well below what we'd expect any kind of
7 parting pressure to be. Again it's a fairly conservative
8 number that we, in order to not -- engineers being conser-
9 vative people not wanting to overstate what we think might
10 be obtained from this, we would expect, as we've applied
11 for, that we might go on the order of perhaps 100 barrels
12 more than that, see a maximum of perhaps 400 barrels of
13 water going into one well per day.

14 If that were the case, we'd expect to
15 see a much faster response, perhaps a more, you know,
16 accelerated production from the reservoir. The model
17 again, which is somewhat on the conservative side, shows
18 even with this lower injection rate that we would see
19 response within the satisfactory time, within one to two
20 years, and that we would have a successful project.

21 The next line down under pressure is
22 cumulative injection after 20 years, which shows that in
23 this well after 20 years of injection, we would be -- have
24 injected almost a million barrels of water.

25 Next down we show that the oil produc-

1 tion for the full pattern after start of waterflood would
2 be on the order of 233,000 barrels. That, added to the
3 production that we've already had, shows that we would get
4 ultimate recovery of 293,000 barrels; thus we get an ad-
5 ditional 220,000 barrels according to the model results
6 from a full scale 5-spot pilot.

7 Q What conclusions have you reached from
8 your study of this reservoir?

9 A The conclusions I've reached are that we
10 have constructed a valid process model that shows reservoir
11 simulation calculations that a secondary process would be
12 very advantageous in obtaining additional oil recovery from
13 the reservoir and that that recovery would be over, way
14 over and above any anticipated primary recovery that would
15 be remaining. We would extend the life of the field. We
16 would certainly enhance our economic position by doing this
17 and that it would be in general a very efficient and very
18 economic project.

19 Q Without some effective secondary recov-
20 ery technique, this additional oil would not be recovered,
21 is that correct?

22 A That's correct.

23 Q Is there an optimum time for starting a
24 waterflooding in a reservoir?

25 A In Delaware sands it's been our conclu-

1 sion that the results you see will be pressure dependent
2 and that as early in the life of a reservoir as you can we
3 need to start water injection; thus we need to do this just
4 as quickly as we can.

5 Q Now, Mr. Dillon, this is just a pilot
6 project, is that correct?

7 A That's correct.

8 Q And expansion of this project to other
9 portions of the field would, of course, be dependent on the
10 results you obtain, is that correct?

11 A That's correct.

12 Q In your opinion will granting this app-
13 lication and recovering this additional oil thereby prevent
14 waste?

15 A Yes.

16 Q Will the granting of the application
17 impair the correlative rights of any other interest in the
18 owner -- any other interest owner in the area?

19 A No.

20 Q Would the other owners in this subject
21 lease share in the benefits that are derived from the
22 waterflooding?

23 A Yes, they would.

24 Q Why do you feel that correlative rights
25 of offsetting owners would not be impaired by injecting

1 water into this formation?

2 A First of all, any water that's injected
3 into this pilot well in this formation would be essentially
4 contained within the 5-spot pattern around it within the 4
5 surrounding wells.

6 Q And why is that?

7 A That is simply the nature of the fluid
8 flow in the reservoir, if you inject at a certain point
9 that water will flow out in an essentially radial pattern
10 toward any lesser pressure difference in the reservoir;
11 thus we're injecting pressure -- or injecting water to
12 increase the pressure around the one well. It flows to the
13 surrounding wells which have a lesser pressure. There's no
14 reason for that water to go any farther than that in that
15 the pressure would be increasing as we got past those
16 wells, thus the -- any effects that we would expect would
17 be contained again within this area.

18 Q In terms of the amount of water you're
19 injecting, how does that relate to the reservoir voidage?

20 A The amount of water we expect to inject
21 would roughly equal the reservoir voidage from the sur-
22 rounding 4 wells.

23 Q In a reservoir of this nature would you
24 expect any preferential direction for this water to take
25 other than the basically radial pattern?

1 A There's nothing that would give us any
2 indication that there would be any other strong orienta-
3 tion, no.

4 Q Injecting these volumes at this location
5 would you expect any sort of water bank to develop that
6 would move across the reservoir?

7 A An area of higher water saturation would
8 be developed but again would be contained within the 5-spot
9 area. We do not expect any reservoir-wide effects to be
10 shown from injecting in this one well.

11 Q If in fact something happened and such a
12 water bank did develop and started moving off toward Mr.
13 Williamson's leases, do you think that it would pose any
14 immediate harm to him?

15 A No, I do not.

16 Q Would you be able to monitor the effect
17 of this and the existence of any sort of water bank in the
18 two wells that are Sun operated that stand between William-
19 son and the injection well?

20 A Yes, we would.

21 Q How close to the proposed injection well
22 is, in fact, Mr. Williamson's closest well?

23 A I believe his closest well is on the
24 order of 4,100 feet away.

25 Q Now, how close is the Mallon operated

1 Amoco well south of the injection well, do you know?

2 A That well is 1320 feet away.

3 Q Would you identify what has been marked
4 as Sun Exhibit Number Seventeen?

5 A Sun Exhibit Seventeen is a letter that
6 we received from Mallon Oil Company, specifically from Joe
7 Cox, who's the Manager of Production Engineering. This
8 letter is in response to our application and we've discus-
9 sed to a limited degree what we would anticipate as a re-
10 sult from this. Basically, in a nutshell, the letter sum-
11 marizes their support for our position and their hopes that
12 we will carry this out in order to enhance the reserves in
13 this area.

14 Q Were Exhibits Five through Seventeen
15 prepared by you or compiled under your direction and
16 supervision?

17 A Yes.

18 Q Can you testify as to their accuracy?

19 A Yes.

20 MR. CARR: At this time we
21 move the admission of Exhibits Five through Seventeen.

22 MR. STOGNER: Are there any
23 objections?

24 MR. DICKERSON: No, sir.

25 MR. STOGNER: Exhibits Five

1 through Seventeen will be admitted into evidence at this
2 time.

3 MR. CARR: That concludes my
4 direct examination of Mr. Dillon.

5 MR. STOGNER: Thank you, Mr.
6 Carr. Mr. Dickerson, your witness.

7 MR. DICKERSON: Mr. Stogner,
8 if you would allow us just a few minutes to discuss this --

9 MR. STOGNER: About five
10 minutes?

11 MR. DICKERSON: -- we'll try
12 to keep it short and limit our time as much as possible.

13 MR. STOGNER: Okay. Before we
14 go on that little five minute recess, I just have one clar-
15 ifying question.

16
17 CROSS EXAMINATION

18 BY MR. STOGNER:

19 Q On Exhibit Number Sixteen, Mr. Dillon,
20 you put maximum -- maximum bottom hole injection pressure.
21 Is that what you're proposing at this time, 1900 psi?

22 A No, that is simply what was used in the
23 model. Until we actually have an opportunity to go out and
24 inject in this particular well in this formation, we won't
25 know what happens. This is a conservative number that was

1 picked in order to essentially, you know, see what the
2 results would be if this were the case. It's not, you
3 know, we'd -- I cannot predict what that number is going to
4 be.

5 Q Why do you call this number a conserva-
6 tive number?

7 A We would, in order to obtain maximum
8 benefit, probably pump water at whatever, you know, maxi-
9 mum rate we could without causing, you know, any possible
10 harm to the reservoir, which, initially that limit would be
11 based on parting pressure of the formation. This number is
12 well below that as we would expect it. You know, this
13 would be a safe number to use; we might be on the order of
14 perhaps 2000 and 500, 2500 pounds might be, perhaps, a
15 maximum of what we might see. Again that's without having
16 run step rates tests or actually injecting into a well, we
17 can't predict that.

18 Q All right.

19 MR. STOGNER: Mr. Carr, the
20 C-102 was made an exhibit at this time; however, it was --

21 MR. CARR: C-108?

22 MR. STOGNER: Yes, I'm sorry.

23 MR. CARR: If you'd like me to
24 move that, since it was the application I assumed it was
25 part of the record. If you'd like it to be moved as Exhibit

1 Eighteen, we'll do that right now, Mr. Stogner.

2 MR. STOGNER: I don't think
3 that will be necessary but however, I will have some
4 questions on it.

5 MR. CARR: That's fine.

6 MR. STOGNER: I assume that
7 Mr. Dillon is the one to ask those questions of.

8 MR. CARR: I think so.

9 MR. STOGNER: Okay, at this
10 time we'll take a five minute recess.

11

12 (Thereupon a recess was taken.)

13

14 MR. STOGNER: The hearing will
15 come to order.

16 Mr. Dickerson, I believe he
17 was your witness.

18

19

CROSS EXAMINATION

20 BY MR. DICKERSON:

21 Q Mr. Dillon, how long have you been in-
22 volved in your study of this area for injection purposes?

23 A The study of this particular area in
24 terms of injection I've looked at on and off in my duties
25 for the last couple of months.

1 Q Basically from the time the application
2 in this case was filed?

3 A Yes. Yes.

4 Q Was there someone other than yourself
5 involved in the study related to this proposed waterflood
6 prior to that time?

7 A There have been previous studies that
8 have been initiated that -- well, other people have looked
9 at it, in those kind of terms, to the point where we were
10 ready to, you know, initiate the -- the application. In
11 terms of putting together the study to make a go-ahead
12 decision and to -- to get a further definition on what kind
13 of recovery we could expect, was left up to me approxi-
14 mately about that point.

15 Q Sun, as I understand it, more or less
16 recently acquired this --

17 A That's correct.

18 Q When, approximately, was that?

19 A We acquired it and again (not under-
20 stood) I believe it was in June of last year.

21 Q In June of 1988.

22 A Correct.

23 Q At the time Sun acquired this property
24 had any reserves calculations been made prior to its acqui-
25 sition from the previous owner?

1 A Yes, I'm sure there were.

2 Q Were you involved in those calcula-
3 tions?

4 A No, I wasn't.

5 Q Are you aware of them?

6 A I'm sure there have been some that were
7 made. No, I'm not aware of any. When I began looking at
8 it, it was close to that point. It was assigned to me in
9 -- around September of last year and, you know, what -- and
10 acquisition studies had gone through in terms of obtaining
11 a price, you know, wasn't relevant. I needed to (unclear)
12 the tract and see what my impressions of that reservoir
13 were.

14 Q But you did not even ascertain whether
15 such a study exists and compare it to the figures that you
16 have testified to today?

17 A No. I'm aware that one exists and I am
18 aware of the magnitude of the numbers that, you know, were
19 obtained from that study.

20 Q Are they within the magnitude of the
21 numbers you've testified here today?

22 A In general, yes, they are.

23 Q Correct me if I'm wrong, are not all the
24 wells on the Mobil 22 lease into a common tank battery?

25 A At this point in time, the common tank

1 battery? I can't answer it, sir, going into a common tank
2 battery, no. I don't know.

3 Q Well, I'm curious. I noticed on some of
4 your exhibits that you calculated on a well by well basis
5 and I'm inquiring as to the sources of data that you used
6 to make those calculations.

7 A Are you talking about specific test
8 equipment?

9 Since the time that we've acquired the
10 lease, the wells have been tested on an individual basis.
11 Prior to that time it is my knowledge, I'm not aware speci-
12 fically of what went on, but my knowledge that there was a
13 period during which there was a common test facility for
14 all of the wells and there was an allocation procedure in
15 order to obtain individual well production.

16 Again I'm not -- I'm really not familiar
17 with what -- other than, you know, what we've done since
18 the time we obtained it and I know that from that time we
19 have individual well tests, which, looking at the plots and
20 looking at the time that we obtained the -- the property,
21 whatever had been done in the past was more or less --
22 seems to be in line with what we were showing for
23 individual wells.

24 Q Were you involved in the process of
25 selecting the No. 5 Well as the proposed injector?

1 A No, I was not specifically. That was
2 done just prior to the time that I started my study. I'm
3 aware of the reasoning behind it and would have no reason
4 to have picked any well other than 5.

5 Q Do you know why it was picked?

6 A Several reasons. One, primarily the
7 fact that, as we can see from the production plot, it is a
8 -- one of the lower rate wells. At this point we'd not
9 want to convert one of the better wells.

10 Looking at the pattern around it, and
11 assuming that we eventually do go to a 5-spot, that would
12 mean converting other wells that had better production. If
13 we moved elsewhere on the lease, we'd be getting into a
14 situation where we were not, perhaps, even backed up, you
15 know, with production. We would like a well that was in
16 the center of four producers. You know, we could be
17 getting to some other lease lines. You know. there were
18 some other things that went into it.

19 Basically it was overall consideration
20 of what an ultimate 5-spot would look like over at least
21 our portion of the reservoir, combined with the fact that
22 the well was at a fairly low rate at this point.

23 Q What is this reservoir, the geographical
24 boundaries, just roughly, from you viewpoint and based on
25 the current knowledge? I suppose you're anticipating a

1 more widespread waterflood project at some point in time if
2 the pilot is successful?

3 A That's correct. If the pilot was suc-
4 cessful we would ultimately hope to unitize with offset
5 operators, at least, obviously, the leases that we have,
6 obviously if we would show this was positive, we would hope
7 to have everyone's support in -- in taking it to whatever
8 extent the cooperation would allow.

9 At this point, you know, there are --
10 the bounds of the reservoir are not definite and have not
11 been, you know, defined by drilling to date.

12 Q Let me get some time frames in mind.
13 How long, under the pilot project as you've described it,
14 do you anticipate it requiring before a response one way
15 or another is first observed?

16 A The -- based on the data that we have,
17 we would hope and perhaps even see responses as quick as
18 six months to a year. We would expect at the very least to
19 see something definite before two years had lapsed.

20 Q Are you aware of the total volume of
21 fluids produced from the No. 5 Well as of now?

22 A Yes, I am. I don't know that I have
23 that specifically written down in terms of -- I have oil
24 and gas cumulative from that well, production.

25 Q Well, it is over 200,000 barrels, is it

1 not, total?

2 A Total, counting water?

3 Q Correct.

4 A Right offhand I can't, you know, that
5 would not be a -- any adequate figure. My recollection, I
6 don't, off the top of my head know what the water is.

7 Q Let's assume it is. We'll have some
8 figures later, but --

9 A Sure.

10 Q -- in excess of 200,000 barrels has al-
11 ready been removed from the reservoir in which the No. 5
12 Well is producing. Now as I understand your pilot, you
13 propose to inject at approximately 200 barrels per day?

14 A According to the model it showed that we
15 would receive response with 200 barrels a day. Again going
16 back, what I said, we would plan to on an (unclear) project
17 you would want to inject at the highest rate you could
18 that would not harm the reservoir.

19 For an earlier, you know, the primary,
20 the first estimate was that we might expect a maximum of
21 400 into this particular well.

22 Q If harm to the reservoir did occur, how
23 would you as an engineer observe it?

24 A That would be something that we would
25 have to document through -- we would know what pressure

1 would be our maximum pressure to do the step rate test. We
2 would monitor the well, you know, we would stay below what
3 -- what we would expect to be the reservoir pressure that
4 -- or injection pressure that would cause us to go out of
5 zone or whatever.

6 Q Either vertically or through channeling
7 --

8 A Correct.

9 Q -- within the injection interval.

10 A Yes.

11 Q At any rate, the volume of water in-
12 jected is going to have to replace that fluid volume pre-
13 viously removed prior to any response taking place in the
14 reservoir at all, isn't it?

15 A No, that's incorrect.

16 Q Describe that for me.

17 A If at any point we stop the arrest of
18 the decline pressure in the reservoir we will obtain addi-
19 tional recovery. If we do nothing, the reservoir pressure
20 will continue to go down. If at any point we start inject-
21 ing it would be beneficial to raise the pressure back up on
22 the reservoir, which will be accomplished by over-injection
23 above the voidage from the surrounding wells, which would
24 be accomplished with a 400 barrel a day rate; however, if
25 we simply match that, we would obtain additional recovery

1 in that we would have more energy going into the reser-
2 voir; if we had any amount of energy into the reservoir we
3 should expect additional recovery from it.

4 Q The energy going into the reservoir
5 being the water under pressure.

6 A Correct.

7 Q And replacing what energy having been
8 removed?

9 A The energy that's going to be removed is
10 going to be due to production of the oil itself, water from
11 surrounding wells, as well as the gas that's produced.

12 Q Well, over what period of time do you
13 anticipate the success or failure of the pilot project to
14 take to ascertain?

15 A Again, as I answered before, we would
16 hope to see, enthusiastic to see results within six months,
17 but we would not be disappointed to see something that oc-
18 curred, you know, within the time frame of perhaps two
19 years.

20 Q And by "results" you're by implication
21 talking about successful results, hopefully, reflecting in
22 what, increased volume of oil production in the offsetting
23 wells?

24 A That would be correct, yes.

25 Q And if it is unsuccessful how would it

1 be reflected?

2 A An unsuccessful project would simply be
3 shown by a lack of change in the production rate in the
4 surrounding wells. They would continue on their present
5 decline and we would see, you know, that there was no
6 additional response. There would be no additional oil that
7 would be, you know, measured from those wells, and that
8 would constitute a failure of this project.

9 Q Maximum of how long?

10 A You know, I can't specifically say what
11 my decision would be in terms of whether or not we'd get
12 out to the end of two years and -- and, you know, the re-
13 sults would depend on one, whether or not we see results
14 from the injection well, whether or not we'd think we're
15 pressuring our reservoir back up, whether or not, you know,
16 again we see a definite response from the offsetting wells,
17 you know, that's a decision that we have to make concern-
18 ing all the circumstances at that point.

19 My results indicate that we would expect
20 something on the order of two years, but I cannot definite-
21 ly say that Sun would abandon the project at the end of two
22 years if we didn't see a response.

23 Q If after that period of time instead of
24 increased oil production you saw no substantial increase in
25 oil production but a substantial increase in water produc-

1 tion from your other four wells, what conclusion would you
2 draw from that? Or in any one of them?

3 A It would be -- the scenario you're de-
4 picting would be that we would have change in the -- in the
5 water cut. We'd be expecting the wells that would be going
6 up, if that were to occur, and I don't think that would be
7 the scenario but if it were to occur, that would indicate
8 that we were sweeping the water through the reservoir
9 without sweeping any additional oil, which would be against
10 what our intuition would say, but that would indicate it
11 to be a failure of the project.

12 Q In your experience, Mr. Dillon, have you
13 engineered for waterflood purposes other projects of Sun or
14 --

15 A Yes, I have.

16 Q Other Delaware Sand projects?

17 A This is my first Delaware Sand. Well, I
18 take it back. We have the Loving County project, the Wheat
19 (sic) Field, both of which are in Cherry Canyon, so, yes,
20 that's my --

21 Q It's currently under waterflood?

22 A Yeah, we are presently at this point in
23 the process of converting wells to a pilot project as we
24 have here. We've got approval and we are doing it at this
25 point.

1 Q You have made some estimates, calcula-
2 tions of future remaining recoverable reserves.

3 A Yes.

4 Q During what -- over what period of time
5 are those primary reserves recoverable under your calcu-
6 lations?

7 A It appears from the decline rates that,
8 you know, a well such as the No. 5, which is nearing its
9 economic limit, will become marginal, maybe on the order of
10 a few years, where we're forced to shut that well in.

11 Some of the other wells are better.
12 We're talking about three or four years. The maximum case
13 I would anticipate, you know, from this area, again we have
14 some wells that are better than others, just glancing at
15 the curves shows that, you know, we're -- we're looking at
16 five years maximum, probably.

17 Q But -- and you're estimating 8 to 9 per-
18 cent, as I recall, recovery by primary means of original
19 oil in place.

20 A Correct.

21 Q Is that consistent with your knowledge
22 of other Delaware reservoirs that you're familiar with?

23 A Yes, from what I've looked at, the --
24 due to the, you know, the nature of the deposition, at
25 least the core sizes we have and the sorting of the sands,

1 and the fact that they're in all cases I've looked at, have
2 been solution gas drive, we get, you know, whether or not
3 outstanding terms in terms of recovery performance, and
4 that you will have good wells that will obtain 10 to 12
5 percent of estimated original oil in place that a typical
6 well will often be somewhat less than that.

7 Q Mr. Dillon, you compared three other, I
8 believe, Delaware Bell Canyon floods, I believe --

9 A Correct.

10 Q -- for certain purposes to this pro-
11 posed flood. Were those instituted through a pilot pro-
12 ject consisting of one well on the edge of a lease?

13 A I can't speak specifically as to how
14 those floods were initiated, no.

15 Q You don't know whether they involved a
16 pilot study of any nature or whether --

17 A No, I don't.

18 Q -- they didn't?

19 A No, I do not. Those were, you know,
20 maintained by other operators and I, you know, have not had
21 the opportunity to obtain that data, no.

22 Q As I understand your computer modeling
23 which you have done, you predict success for a field-wide
24 flood based on the information that you know about this
25 field now, don't you?

1 A Yes. The model specifically addressed
2 the area that we're looking at. There's no reason at this
3 point, you know, that we would anticipate that we obtain a
4 different result from, you know, the carrying of this
5 analogy, you know, to a field-wide project, no.

6 Q Is it your opinion that each of these
7 Delaware wells on 40-acre spacing adequately and efficient-
8 ly recovers all the reserves in place that can be recover-
9 ed by primary means in this area?

10 A I believe that -- yes, that in this case
11 40 acres is a -- in terms of primary production is a -- the
12 appropriate spacing and that if you were to go to a denser
13 spacing I don't believe you would have economic, additional
14 economic reserves recovered, and you can't go to a larger
15 spacing, I don't believe you'd have the recovery there.

16 I think you would see interference be-
17 tween the wells on 20 acres. That's not to say that you
18 might not want at some point to perhaps in fill and flood,
19 something like that, in terms of primary production. At
20 this point and stage of depletion of the reservoir, it
21 would not be economic.

22 Q In the testing that Sun has done of the
23 individual wells on the Mobil 22 lease, have you been able
24 to see any communication between any of the wells on that
25 lease currently?

1 A My knowledge in terms of testing Sun has
2 done, we have drilled the No. 10 Well since the time that
3 we acquired the lease based on the initial pressure, and I
4 do not have that data here and I can't tell you specific-
5 ally what it is.

6 We saw a, you know, some amount of in-
7 terpretive drainage, you know, loss of pressure in that
8 well when it was drilled, thus we, you know, interpret that
9 that would be interference from the surrounding wells. We
10 have reports of drill stem tests and from other operators
11 that shows that, yes, that, you know, there is some amount
12 of interference between the wells on 40's.

13 Q Okay. Back to the time that these
14 various things, we've got a pilot project that you propose
15 to institute, while primary production is declining.

16 A Yes.

17 Q And I presume that Sun would allow that
18 primary production to decline to close, at least, to the
19 economic limit? Or would you?

20 A I'm not sure I understand what -- what
21 your question is.

22 Q Would it -- would it be Sun's -- you --
23 you testified that there, as I understand it, conflicting
24 interests and you want to institute a waterflood project as
25 early in the life of the depleted field as possible.

Q To gain certain advantages and yet you also, or an operator also desires to obtain the great majority of that production that can be efficiently obtained by primary production prior to instituting a water-flood, correct?

A If I understand your question, yes, a waterflood would be initiated as quickly as possible and as far as primary, yes, we'll produce -- continue to produce the wells in the primary until we -- such time we make the decision to convert to secondary. Yes, we have no reason to do otherwise.

A Okay.

Q -- you to compare is the time frame of your pilot project as compared to the time frame of depleting the primary reserves on Mobils' lease -- or on Sun's lease.

A I believe what I've stated is that we should see results in that, you know, and be satisfied with the project within, you know, the time frame of six months to two years, which again surrounding wells would still be on production, although granted, as you say, yes, we would be farther down the depletion curve.

We have several reasons for wanting to

1 initiate the pilot. Obviously, one is to obtain a suc-
2 cess. Success could be defined by simply being able to
3 inject the amount of volumes that we think it's going to
4 take to obtain the flood based on the confidence we have in
5 the model.

6 That's something that, you know, we've
7 -- you know, is a management decision to a certain extent,
8 as long as the reservoir engineers can satisfy them.

9 If we go in, I would anticipate that --
10 and obtain the injection rates that we expect to see, that
11 we'd obtain satisfactory results, Sun may elect, we cannot
12 rule out the fact that within six months we would initiate
13 the process to expand this lease-wide. There's enough
14 confidence, I believe, in the calculations that have been
15 done to show that if we can get the water in the ground we
16 can get the oil out of the offsetting wells. I guess I'm
17 -- what I'm saying is a positive last result, you know,
18 last chance, yes, if for some reason we decide to wait and
19 see until we, you know, have doubled our oil rate from the
20 producing wells, perhaps, yes, we'll -- we'll have missed
21 an opportunity in order to attain additional reserves be-
22 cause of the decline rate that has gone on due to primary,
23 but I guess I can't specifically say what Sun is going to
24 do. I can say what my recommendation would be.

25 Q You said, I think, that among other

1 reasons you picked the No. -- or Sun picked the No. 5 Well
2 as the proposed injector here, because it was one of the
3 lesser quality wells in the reservoir on your lease?

4 A At this point in time it has one of the
5 lowest oil rates, that's correct, yes.

6 Q As an engineer do you have any explana-
7 tion for the wide variation in the figures that you've
8 calculated on your Exhibit Number Seven for the various
9 wells?

10 A That's -- that would be due to a couple
11 of things. One is timing of when the wells were drilled
12 due to the fact that we know that there is some kind of
13 drainage from offsetting wells, so the later a well was
14 drilled, probably the fewer reserves we expect from it.
15 There is a heterogeneity in the reservoir in terms of net
16 footage of pay and porosity to a certain extent, so not all
17 the wells are going to behave exactly the same. You know,
18 it's these type things that would cause that to happen.

19 Q Have you checked for any mechanical ex-
20 planation for the variation among the wells?

21 A Mechanical, no, no, I have not. To my
22 knowledge the impression that, you know, at least under
23 Sun's supervision that the well's been operated, you know,
24 in a prudent manner, that, you know, we have not done any-
25 thing that would not be shown to be, you know, efficient in

1 terms of our operations.

2 Q Now with the exception of that last
3 well, the No. 10 Well, Sun did not -- Sun bought this
4 acreage with the remaining wells already located on it.

5 A That's correct.

6 Q Do you have any knowledge on the No. 5
7 Well of any data available which would call into question
8 whether or not the frac that was instituted on that well
9 was confined to the injection interval, the perforated in-
10 terval?

11 A It is my understanding that the inter-
12 pretation of the -- there's a temperature log that was run
13 on that well, showed that the fracture was contained with-
14 in the matter of, I believe it was a maximum of 15 feet
15 above the uppermost perforation and 30 feet below the bot-
16 tom perforation, thus it was shown that it was contained
17 totally within the formation.

18 Q Sun ran that temperature log?

19 A No, that was run after the frac. Thus
20 it was run by --

21 Q A prior test.

22 A -- a prior test, correct.

23 Q You testified that you believe the water
24 injected into you proposed injection well will progress
25 away from the wellbore in a radial and uniform fashion.

1 A To the extent, again as we just men-
2 tioned, of not having a perfectly homogeneous reservoir,
3 there will be some sort of bias in that, but essentially we
4 would expect a -- essentially a radial pattern. Obviously
5 the wells have been fraced. There's some orientation that
6 might be caused due to the hydraulic fracturing. There's
7 also geologic factors involved. It would be difficult to
8 say where, if any, there would be any bias at this point.
9 The assumption is that there -- it would be (not clearly
10 understood.

11 Q As a general rule, you're talking about
12 the offsetting wells that have been fraced, how far out
13 from those wells radius do you consider that the fracturing
14 would occur from the treatment that you've given these
15 wells?

16 A I have not studied that and was not
17 involved in the design of the fractures. It is my know-
18 ledge and understanding that frac lengths on the order of
19 400 feet or less were probably used in terms of design.

20 Knowing what experience I have with
21 design lengths versus actual lengths, we're talking about
22 lengths that are -- are, you know, at best 400 feet away
23 from the well.

24 Q If the injection water does encounter
25 fractures created by the completion of those wells, how

1 would you as an engineer observe this (unclear)?

2 A That would be indicated by an increased
3 response from wells that were aligned with any bias that
4 might exist.

5 Q Do you know whether or not your less
6 than 10 percent recovery factor of original oil in place is
7 consistent with the experience of operators over a longer
8 term of Delaware wells in this area?

9 A I have not compared calculations with
10 other operators.

11 Q Now the projections you made, as I un-
12 derstood your exhibits dealing with your extrapolated
13 future production, and it was not -- that extrapolation was
14 not based on the separately estimated production from each
15 of the wells, was it?

16 A Could you explain what you mean by
17 separately estimated?

18 Q Well, let's look at your Exhibit Number
19 Six by which you established your decline rate for the No.
20 5 Well, for instance, the first page of that exhibit, as I
21 understood your testimony, the dashed dot line, bold, black
22 line, which appears to have commenced late in 1988?

23 A Yes.

24 Q Is an extrapolation.

25 A Correct.

1 Q And the solid line, representing the oil
2 production, is based on actual production for periods pre-
3 vious to that. Why is it that you did not use the figures
4 for that actual production for those for that substantially
5 longer period of time in making that extrapolation for the
6 future decline rate?

7 A I'm not sure I understand. All the data
8 that is shown on this graph was used for making this ex-
9 trapolation.

10 Q Maybe I'm simply asking why does the
11 extrapolation start in November or December of 1988?

12 A Because it's just that is an extrapola-
13 tion. It's not a -- I chose this for just illustrative
14 purposes, not to continue -- I could draw the line on up
15 and compare it to the previous -- I perhaps think that's
16 what you're asking for here, and you could take, you know,
17 a straight edge and do that. What it shows is that, you
18 know, the weighting, knowing that there was some question
19 about some of the previous production data, shows that, you
20 know, basically the trend essentially since the time that
21 Sun took the well over in particular, has been on a 64 per-
22 cent decline. We've got several months of data which shows
23 very good trend. That aligns well with approximately the
24 last year of data which we have, again having some question
25 as to that.

1 If you were to take it back to the ori-
2 ginal IP which would be an indication of what the well
3 would make, which is somewhat higher than the sustained
4 rate that we saw, you would be -- you might be somewhat,
5 you know, have a somewhat lesser decline, however, knowing
6 that, you know, the reservoir performances we see today is
7 more important in predicting the future than what we saw
8 three years ago, the weighting is obviously on the latest
9 data that we have.

10 Q You know, what I'm really getting at, is
11 look at your Exhibit Number Seven, Mr. Dillon, and your
12 Federal 22 No. Well or Federal No. 3 Well as shown on
13 there, 41 percent decline rate.

14 A Yes.

15 Q It's the second well shown on your
16 Exhibit Number Six and --

17 A That's correct.

18 Q -- I'm just looking from what I can see
19 through the exhibit and that decline rate for the actual
20 production on the No. 5 Well appears to me to be basically
21 tracking the decline rate for the No. 3 Well for the
22 periods of actual production that we see. If you correlate
23 the lines there, they're almost right on each other.

24 A Yes, which leads us to believe that per-
25 haps the data is not particularly accurate.

1 Q But yet you --

2 A I don't know that.

3 Q I mean are they not? Hold it to the
4 light and the lines track each other almost perfect for No.
5 3 and the No. 4 and yet look at the difference on your de-
6 cline rates between the No. 3 and the No. 5. The No. 5 is
7 the only well shown of those you studied that has such a
8 precipitous rate of decline.

9 A Yes, and which is further evidenced by
10 the last six months of data, eight months data that we know
11 is very valid data. If we'd ignore the rest of the
12 previous data, which we have some question about, that
13 would be the result that we'd --

14 Q But do you as an engineer have an ex-
15 planation for the gross, steep, more steep decline rate
16 that you've calculated for the No. 5 Well as compared to
17 any of those other wells?

18 A I have an explanation of the well. It
19 is in a portion of the reservoir such that the parameters,
20 such that that is simply the way the well is going to per-
21 form as we've seen by known production data.

22 The fact that other wells in the area
23 have produced similarly is shown by the fact that the Amoco
24 Federal Well again shows a roughly, approximately 40 per-
25 cent decline, which we've seen over a period of years,

1 which we assume has been tested on an individual basis and
2 is validated.

3 Q Now, let's, though, compare the Federal
4 No. 5 Well with the Federal No. 6 Well immediately below in
5 your Exhibit Number Seven. Those are the two wells closest
6 in ultimate recovery as you have projected them.

7 A Correct.

8 Q And those wells were drilled very close
9 to the same time, were they not?

10 A That's correct. I would anticipate, I
11 don't know the exact dates but judging from the time when
12 production started for those wells, it appears that they
13 would be perhaps within six months of each other, yes.

14 Q And yet according to your calculations
15 we have a five-fold variation between those two wells in
16 the amount of recoverable oil left in place.

17 A That -- that's correct.

18 Q Why is that?

19 A Due to the performance of the reservoir.

20 Q Is it your opinion that this well -- the
21 difference could conceivably be accounted for by reason of
22 a mechanical problem with the cement job, or something of
23 that nature, on the No. 5 Well?

24 A No, I don't believe so. The data that I
25 have the most confidence in shows it to be on a steady de-

1 cline. I know of nothing operationally that would cause me
2 to have a different conclusion than that, no.

3 MR. DICKERSON: No further
4 questions.

5

6

RECROSS EXAMINATION

7

BY MR. STOGNER:

8

Q Mr. Dillon, I want to refer to the
9 C-108.

10

A Okay.

11

Q I want to look at the tabulation of the
12 wells within a half mile radius of the Mobil Federal No. 5
13 Well, about the seventh page, where you show the amount of
14 cement.

15

A Oh, okay. Yes.

16

Q Have the top of cements been calculated
17 on -- utilizing these figures?

18

A What page -- I'm sorry, I'm not sure
19 what --

20

Q C-108, page 7, tabulation of all the
21 wells within the half mile radius.

22

A Oh.

23

MR. CARR: Attachment One as
24 an exhibit, up in the upper right.

25

A Okay, yeah.

1 Q You have shown the amount of cement that
2 was put in the production casing but have the top of
3 cements been calculated on these?

4 A Let me first of all state that, you
5 know, I was not the person that put this exhibit or this
6 together.

7 Q Oh, I'm sorry. Well, Mr. Carr, who
8 should I be addressing this question to?

9 A However, if there any questions, you
10 know, I'd be the closest one to answer.

11 Q Oh, okay, then I'm asking you that.

12 A Now, okay, could you rephrase the ques-
13 tion? You're talking about cement and you're talking about
14 -- is that what you just said, cement?

15 Q Yeah, have the top of cements been cal-
16 culated with these figures?

17 A With -- I'm not sure which figures
18 you're talking about.

19 Q With these figures on the page. It's
20 clear right here.

21 A I don't see figures on that page that
22 would lead me to calculate top of cement for those wells.

23 Q Okay.

24 MR. STOGNER: Mr. Carr, I
25 suggest you get those and evidently these sacks of cement

1 shown on these is not prevalent in this particular piece of
2 paper. If you will supply me that information showing the
3 sacks of cement that was actually run and the tops of
4 cement.

5 MR. CARR: Okay. We misunder-
6 stood your question. You thought there was a cement figure
7 there. There isn't one and what you want is the sacks and
8 the tops, right?

9 MR. STOGNER: Yeah.

10 MR. CARR: Okay.

11 MR. STOGNER: It's there,
12 cemented with so many sacks of cement, it's clear right
13 here.

14 MR. CARR: All right.

15 MR. DICKERSON; It's not on
16 mine.

17 MR. CARR: You know, we have a
18 different exhibit; that's the problem with the question.

19 MR. DICKERSON: It's different
20 from mine, too.

21 A I was --

22 MR. STOGNER: I wonder what
23 happened --

24 MR. CARR: Let me see what you
25 have.

1 MR. STOGNER: I have the C-108
2 that we got with the application.

3 MR. CARR: And this is the one
4 I took out of the file and it has that number on it and it
5 has a different attachment. That's why I said attachment.

6 MR. STOGNER: I'm not talking
7 about Attachment One.

8 MR. CARR: Okay, let's see
9 what we're looking at.

10 MR. STOGNER: I'm talking
11 about that page 7.

12 MR. CARR: Go back to page 7.

13 A Page 7.

14 MR. CARR: I'm sorry, we have
15 the wrong page.

16 MR. STOGNER: All right.

17 A Is that it, is that what we're looking
18 for?

19 MR. CARR: This is the page
20 that Mike has. Do you now have that one?

21 A No.

22 MR. STOGNER: Anyway we're
23 going to need a copy of the cement calculated out on that.

24 MR. CARR: All right.

25 A I see there only shows to be one plugged

1 and abandoned well in the model radius, is that correct?

2 A Yes.

3 Q And which one is that one?

4 A That, I think we're on the same list
5 here, that is the -- it looks to be the Graham Bennett No.
6 1 --

7 Q Yeah.

8 A -- the first on the list. It was a
9 shallower well, TD at 3000 feet.

10 Q Where does that show up on the map?

11 A I'm not -- do we have an exhibit -- I'm
12 not sure we have an exhibit that shows --

13 Q (Not clearly understood) you need one.

14 A I take that back. That is shown on the
15 plat that's with the application.

16 Q Are you talking about the (unclear)?

17 A Yeah, it should be on that plat.

18 Q Okay.

19 MR. DICKERSON: This didn't
20 penetrate the zone, Mr. Stogner.

21 MR. STOGNER: Okay, that's
22 what I was leading up to.

23 A No. Again it's got a TD of 3,050 feet.

24 Q Okay. Well, when I refer to this map
25 that was put out with the application, what is the lease

1 boundary of this lease?

2 A The lease boundary of this lease has
3 changed since that map was drawn.

4 Q Okay.

5 A It includes all of the section with the
6 exception of the northwest -- northeast quarter, in general
7 terms. and except for the west half of the northwest quar-
8 ter, and the correct boundary is shown on the exhibits
9 produced by Mr. Rojas.

10 Q Okay. And the perforations for your
11 proposed injection well are shown here, 4938 to 40 -- I'm
12 sorry, to 50 --

13 A 5010, correct.

14 Q Okay. Okay, who owns that little west
15 half of the northwest quarter, I'm sorry, the west half of
16 the northwest quarter?

17 A Mobil. You have the original lease.
18 This was obtained, I believe, originally as a farmout and
19 that acreage in that quarter has reverted back to Mobil.

20 Q Okay. I don't show that they were noti-
21 fied.

22 A At the time the application was made
23 they were not the operator of that. I do not -- I cannot
24 answer whether or not they've been subsequently notified.

25 MR. STOGNER: Mr. Carr, do you

1 know?

2 MR. CARR: I don't know, Mr.
3 Stogner. I will confirm.

4 Q Also Chevron has an offset to the lease.
5 Were they notified?

6 A I cannot answer that. I believe that
7 they were outside the 1/2 mile radius but I cannot -- I
8 cannot speak to --

9 Q Well, you're putting a waterflood to-
10 gether on this lease. Everybody offsetting the lease needs
11 to be notified.

12 In that case Mr. Williamson didn't need
13 to be notified since he's without -- since he's further
14 than a half mile. Why would you neglect Chevron and -- and
15 not Mr. Williamson? Or does Mr. Williamson own something
16 that I don't see here?

17 A That apparently was done as a courtesy.
18 According to the regulation I believe that the half mile
19 radius on the application --

20 Q You were putting a lease waterflood to-
21 gether on a lease. This would be like putting a waterflood
22 together on a unit. You need to notify all the offsets to
23 the lease.

24 So Chevron was not notified nor Mobil
25 wasn't either, is that correct? Okay.

1 What is the maximum injection pressure
2 which you're proposing on this well?

3 A The maximum pressure that we're pro-
4 posing would be the initially a number on the order of
5 perhaps a .2 psi per foot gradient as -- as is commonly
6 allowed. We would, you know, should that not be
7 sufficient, we would make application for a witnessed step
8 rate test so that we could determine exactly what that
9 pressure would be.

10 MR. STOGNER: And these 108's
11 are covered at the hearing by the -- by the applicant. I
12 apologize because I had to go through it myself because you
13 didn't, to see if I had any other questions on it, and I
14 apologize that it took that much time.

15 I have no other questions of
16 this witness at this time.

17 Mr. Carr, do you?

18 MR. CARR: No, Mr. Stogner.
19 We will provide you with a summary on the notification and
20 also the cementing sacks that we used in the top of the
21 cementing each of those wells and we'll have that to you
22 within a week.

23 MR. STOGNER: Okay, and if
24 he's going to calculate them out, --

25 MR. CARR: Yeah.

1 MR. STOGNER: -- show me the
2 calculations and what fill factor you used.

3 MR. CARR: Okay.

4 MR. STOGNER: What fill factor
5 does Sun usually use, Mr. Dillon?

6 A I cannot speak for that being a reser-
7 voir engineer, we don't make that calculation.

8 MR. CARR: But we'll provide
9 you with that, including the fill factor on each of those
10 wells.

11 MR. STOGNER: Who usually does
12 that?

13 A That would normally be done, probably by
14 a production engineer.

15 Q And which there is not one here today,
16 is that correct?

17 MR. CARR: That's right. Mr.
18 Stogner, I think in view of your questions about the C-108
19 I would like to -- to move its admission. I think it might
20 be important to have it, you know, as part of the case as
21 it is so that we can supplement it.

22 MR. STOGNER: It is a part of
23 the record already.

24 MR. CARR: Okay, and if it's
25 all right with you, I'll just move its admission as an

1 Exhibit, I think it's Eighteen.

2 MR. STOGNER: Do you (unclear)
3 the exhibit, Mr. Dickerson?

4 MR. DICKERSON: Substantially,
5 (unclear) enough to suit me, Mr. Examiner. I have no ob-
6 jection.

7 MR. CARR: I will send Mr.
8 Dickerson, of course, everything that we will submit to
9 you.

10 MR. STOGNER: Well, I -- ac-
11 cording to what Mr. Dillon tells me, we can't accept it
12 because he is production -- I mean he's a reservoir en-
13 gineer and he did not prepare it nor is that under his --

14 MR. CARR: All right, well, we
15 will just leave it as just part of the Commission record,
16 then.

17 MR. STOGNER: It's part of the
18 record.

19 MR. CARR: All right. It
20 won't be marked as an exhibit. It is simply the applica-
21 tion.

22 MR. STOGNER: Based on what
23 Mr. Dillon has told me. Okay, Mr. Dickerson, I believe
24 it's your turn now.

25

1 MR. DICKERSON: We'll call Mr.
2 Ralph Williamson.

3
4 RALPH WILLIAMSON,
5 being called as witness and being duly sworn upon his oath,
6 testified as follows, to-wit:

7
8 DIRECT EXAMINATION

9 BY MR. DICKERSON:

10 Q Mr. Williamson, will you state your
11 name, your occupation?

12 A I'm Ralph Williamson. I'm a petroleum
13 reservoir engineer by professional training and my job
14 generally is the drilling and production but I have done
15 quite a bit of reservoir analysis.

16 Q And in what capacity are you appearing
17 here on behalf of J. C. Williamson?

18 A I'm appearing here as a partner in the
19 Williamson leases and also representing my father, J. C.
20 Williamson.

21 Q You have previously testified, have you
22 not, Mr. Williamson --

23 A Yes, I have.

24 Q -- as a petroleum engineer and your cre-
25 dentials are a matter of record?

1 A Yes, that's correct.

2 MR. DICKERSON; We tender Mr.
3 Williamson as an expert petroleum engineer.

4 MR. STOGNER: Are there any
5 objections?

6 MR. CARR: No objection.

7 MR. STOGNER: Mr. Williamson
8 is so qualified.

9 Q Mr. Williamson, in the interest of brev-
10 ity, can you briefly summarize for us the nature of your
11 objections on behalf of J. C. Williamson to the proposed
12 application of Sun?

13 A Well, I would first like to say that I
14 -- we are very interested in getting a bona fide waterflood
15 initiated in this area. This field is an obvious candidate
16 for a waterflood. It's a simple reservoir compared to a
17 lot of reservoirs that have been successfully flooded, and
18 we feel that, like Mr. -- as -- according to what Mr.
19 Dillon said, that as soon in the life of the reservoir,
20 that you can initiate a waterflood, the better off that you
21 are.

22 My objection is the manner in which this
23 pilot flood is proposed, we're going to be presenting evi-
24 dence that we do not think the cement job is adequate in
25 the well. I don't think that the putting 400 barrels a day

1 in the well on the edge of a lease when there's 100 wells
2 in the -- in the reservoir, is going to do anything but
3 flush out some remaining primary reserves that could have
4 been recovered. Although they're not our reserves I hate
5 to see oil go to waste. The country needs the oil. But
6 it's just that I have never seen a waterflood that the
7 fluids that are injected were not injected in such a manner
8 that the desired hydrocarbon fluids were not forced to the
9 desired location. I think it's presumptuous that this
10 water will be put in the ground and magically the oil is
11 going to end up in the offset producing wells. I just
12 don't think that's going to happen.

13 I calculated, my reservoir numbers were
14 very similar to the ones that Sun presented. I think those
15 are very reasonable reservoir numbers. They had a factor
16 of a flushable reservoir volume of 59 percent; I thought --
17 think it's around 50. These are within the range of dif-
18 ferences of engineering opinion.

19 They have done more computer modeling
20 than I have and have, you know, access to superior re-
21 sources as a major oil producer, but if you make a simple
22 volumetric calculation reservoir volumes at 400 barrels a
23 day, it would reach the -- not the other well but just the
24 40-acre boundary, you're talking about a million barrels of
25 flushable volumetric pore space and at 400 barrels a day

1 we've talking about eight years before any injected fluids
2 get anywhere.

3 Q You're talking to the boundary of the
4 spacing unit where the proposed injection well --

5 A And not even into the adjacent 40 acres
6 that the proposed production wells, or the production wells
7 to receive response.

8 Mr. Dillon stated that he thought that
9 there was only three or four years of primary production
10 left, and at 400 barrels a day, this, if he is correct,
11 this field will be long dead and buried by the time they
12 see a response on this injection.

13 Q Mr. Williamson, have you been, or J. C.
14 Williamson either, been contacted in any way by Sun discus-
15 sing what they're planning here?

16 A We were notified of the proposed pilot
17 injection. We have not been contacted about starting an
18 engineering committee to discuss how we want to waterflood
19 this reservoir. We have not really had any contact with
20 Sun as an offset operator. I'm down there in a position to
21 observe their -- their manner of operations and I have no
22 particular -- they have been a very -- very good about
23 keeping their wells going and looks like that they're doing
24 a fine job in the field. But this particular thing, I just
25 -- I just think it's a complete waste of time to do a small

1 thing like this. It will take too long, you won't see
2 response, and I personally think, based on the nature of
3 the reservoir, which I've studied very carefully on our
4 wells, and the type of frac that was put on the offset
5 wells, all this pilot is going to do is flood out part of
6 the reservoir and as soon as they get in the proximity of
7 these other wells, especially if they get into the -- con-
8 tact the frac radius around the wells, that the water will
9 channel into the production wells and all you will have
10 done is bypassed a lot of oil that will never be recovered.

11 Q With what, an ultimate damage to the
12 reservoir that could --

13 A Oh, I think so. If you're going to
14 flood a field, you have to force the fluids to go where you
15 want them to; they're not magically going to go; the
16 pressure is going to take them where it's going to take
17 them. That water and that oil and gas do not know that
18 they're magically supposed to go to these production wells.
19 They're going, the fluids are going to migrate towards the
20 production -- the areas of low pressure and it will be
21 areas where they've been drained out and in this type of
22 well the area that has been drained out is around the
23 wellbore and in the immediate proximity of the frac radius.
24 The frac radius is drained first and then it rays out, it's
25 more like a -- instead of a radial thing, it's more like a

1 big sausage. This was been very well established in the
2 computer modeling. You frac wells but this is how the
3 drainage patterns area established and it's not a radial
4 manner.

5 These wells needed to be fraced but to
6 properly flush the fluids I feel, and I think that Sun will
7 feel when they put a full blown waterflood together, that
8 this field will need to be infilled on 20 acre spacing with
9 the new wells functioning as injection wells. They may be
10 fraced, they may be lightly fraced, and the old wells, in-
11 cluding this Mobil Federal No. 5, will be one of the pro-
12 duction wells that will receive any fluids coming by and
13 they will have the opportunity when they drill the new
14 wells to very carefully do their cement jobs and test them
15 so that they will know that the formations are -- the for-
16 mation fluids are in fact staying in the formation and that
17 they're not migrating up and down the hole in some way in a
18 manner that won't accomplish anything but make a mess.

19 Q So do I understand that part of your ob-
20 jections to be the lack of input allowed yourself and your
21 father in -- in the study that Sun wants to undertake?

22 A No, they have a right to do anything
23 they want to on their own property. But to me, if you have
24 a reservoir like this and there is no -- the legal bound-
25 aries have nothing to do with the reservior boundaries,

1 that they can do their studies, but if you're going to put
2 together a waterflood, you need to get all of the people
3 that own a part of the reservoir involved so that you don't
4 have a mistake and think when Sun injects this water, if
5 they got permission to do this, they would not see any
6 response except with time increased water production in the
7 offset wells, become discouraged, not pursue the waterflood
8 initiative, and in the main, millions of barrels of oil
9 could be left in the ground that could easily be produced
10 by a coordinated effort of all the owners in the field.

11 Q Barrels not necessarily under your
12 leases, under Sun's lease, conceivably.

13 A Well, the future of this field is a
14 waterflood. I don't think there's any question about it,
15 and it needs to be initiated as soon as possible, but a
16 small pilot flood which will contact a small area, and
17 we're going to be presenting testimony that we don't think
18 that the water will stay in the Williamson Sand in the
19 Mobil Federal No. 5, that this would just be a complete
20 waste of time and that this is time we don't have -- have
21 to waste.

22 Q Now I understand that in your review of
23 Sun's cross section they submitted --

24 A Uh-huh.

25 Q -- it was substantially the same cross

1 section as you had intended --

2 A Yes, --

3 Q -- to submit, Mr. Williamson.

4 A -- that's correct.

5 Q And you heard the Sun geologist and
6 engineer testify as to the nature of the Williamson Sand
7 reservoir and the wells in the area?

8 A Yes, I did.

9 Q And you had no --

10 A I had no objection to anything that the
11 geologist -- any part of the geological presentation.

12 Q Let me ask you to refer, Mr. Williamson,
13 to what we have marked as Exhibits Two and Three, and there
14 will not be any Exhibit One since we abandoned the cross
15 section.

16 First, look at Exhibit Number Two. Tell
17 us what it is, how it was prepared, and what it shows.

18 A Well, Exhibit Two is a columnar tabula-
19 tion of the reported production from the proposed injection
20 well and it shows to me, we had a couple months last year,
21 this was about the time a sale was made when no reports
22 seemed to have been made or we don't know that, we may not
23 have just found them, but it tells me that this is -- is
24 not a particularly good well but it is certainly not a dead
25 producer, it will continue to produce hydrocarbons in

1 paying quantities and that if this is converted to in-
2 jection all the remaining primary reserves that this well
3 is capable of producing will be lost.

4 Q Let me ask you to compare -- first state
5 the total cumulative production from your Exhibit Two for
6 that No. 5 Well.

7 A Well, the tabulation, and it's approxi-
8 mately two months short, I don't think much oil was pro-
9 duced, or actually three months short in that period of
10 time, but I show a cumulative oil production, based on
11 what's reported, of 38,636 barrels.

12 Q As compared to what from Mr. Dillon's
13 projection under his Exhibit Number Seven for total ulti-
14 mate recovery from that well?

15 A Well, it shows and if you had the last
16 month's and current month's production, it will -- it's
17 shown that it's already produced more than he shows to be
18 -- to have -- it's already produced more than what is shown
19 to be the total cumulative ultimate recovery.

20 Q Then do you disagree with the opinion
21 that he expressed and is shown in that Exhibit Number
22 Seven, that that well is for all intents and purposes sub-
23 stantially depleted for primary production?

24 A This, the Delaware does not do that.
25 The Delaware does not respond in the manner in which they

1 drew the decline. The Delaware decline gets flatter and
2 flatter with time until ultimately it will keep milking
3 along at 6 or 7 or 8 barrels a day till your equipment
4 wears out. I feel, and I did some rough calculations, that
5 there is between 30 and 40,000 barrels of remaining pri-
6 mary reserves in this well, as much as has been produced
7 already. We think there's a mechanical problem with the
8 well but -- and that will certainly slow the rate of
9 recovery, but the reserves are feeding into the wellbore
10 and if you do a reservoir calculation based on the log and
11 you put a 10 percent primary recovery factor, that gives
12 the well just short of 85,000 barrels for a cumulative of
13 ultimate primary recovery, and it's made 38, so that leaves
14 47,000 barrels that this well could produce in the future,
15 admittedly at a low rate. I feel like if they fixed their
16 cement problems that the water rate would go down and their
17 oil rate could easily go up and they make it into a commer-
18 cial well.

19 Q Is it your opinion that those additional
20 reserves that you foresee as being in that spacing unit in
21 the wellbore of that well will not be recovered if the
22 proposed pilot --

23 A I have no confidence in the 400 barrels
24 to be put in there at that rate over the time period that
25 they propose to do it, and I believe that all remaining

1 primary reserves will be lost and that it will damage the
2 overall prospect of a waterflood for a field that's going
3 to have a hundred wells now and be infilled probably with
4 as many more, and the ultimate cost could be in the tens of
5 millions of dollars of products lost and all of the things
6 that come along with a project being cancelled.

7 Q Do you feel, Mr. Williamson, that at the
8 present time with current production rates and the status
9 of the existing wells in this fairly large reservoir, that
10 the full fledged waterflood is appropriate for this time?

11 A I feel very, very confident that that
12 needs to be done. From what I've seen of Sun they have a
13 lot of good experienced people that could do -- I would
14 like to see Sun do the waterflood. They already own a
15 position in the field and my dealings with Sun have been
16 very favorable and I feel like they'll do an excellent job
17 once they get on the right track and propose a waterflood
18 that will work, and, as I've said several times, I
19 don't think what they're doing is going to do anything be-
20 sides make a mess.

21 Q So it's the lack of a cohesive
22 field-wide plan to recover this obtainable oil that gives
23 you the principal problem?

24 A Yes, that's -- that's correct.

25 Q Identify Exhibit Number Three for us and

1 briefly tell us what that document shows.

2 A Well, this is a document obtained with
3 permission of one of the principals of Challenger Energy,
4 Incorporated, which was the company which sold the pro-
5 perty to Sun, and this is a reservoir study that was ini-
6 tiated in '85 early in the life of the field, but it -- it
7 covered the first six wells that were drilled and included
8 the No. 5, which is proposed to be changed to an injection
9 well, and it shows on the average that these wells have --
10 had at that time six wells, close to 100,000 barrels each
11 remaining primary reserves, and that contrary to what was
12 reported, instead of having three or four or five more
13 years of primary production, that the -- that the life goes
14 at least to the year 2000 and that the way this is calcu-
15 lated some indefinite time beyond that, but 2000 is 11
16 years from now and it still had some life according to this
17 study that was done by Williamson Petroleum Consultants in
18 Midland, a very reputable --

19 Q Not related to you.

20 A Not related to me, no.

21 Q All right. Mr. Williamson, as I under-
22 stand it, this reserves analysis covered the lease that
23 we're talking about here, the 6 wells on the Federal 22
24 Lease --

25 A Yes.

1 Q -- that Sun now operates, and the pro-
2 jected total recovery primary production methods of oil
3 from those wells under this analysis, at least, was 607 --
4 671,845 barrels?

5 A Yes. Some of that has been produced now
6 that the early years are gone, but that will show a re-
7 maining of like a half a million barrels or so, and if you
8 look at the geology of these wells, there seems to be very
9 little difference between the individual wells. They have
10 performed differently but that -- things happen to wells
11 and some wells do better than others, but from a geological
12 point of view they ought to be like a litter of pups, they
13 ought to be just alike.

14 Q As I understand it, the No. 5 Well was
15 included in this analysis. It is merely not broken out
16 separately as Mr. Dillon --

17 A Yes, that's correct.

18 Q -- calculated, and the difference
19 between the projected total reserves to be recovered under
20 primary means for these wells is substantially different
21 under the two interpretations, isn't it?

22 A That's correct.

23 Q Which would lend credence to your
24 opinion that there is additional primary oil to be recover-
25 ed under that spacing unit?

1 A Yes, as I calculated, I felt like there
2 was 47,000 barrels left primary recovery in the No. 5,
3 albeit at small rates, but I just felt like that they could
4 do a little work on the well and get that oil coming and
5 get this back up in the range where -- they're making money
6 now -- but get it up where they could make substantial sums
7 by continuing to produce the well.

8 Q Mr. Williamson, is there anything fur-
9 ther you'd like to add with respect to your position to
10 this application?

11 A No, I cannot think of anything else.

12 MR. DICKERSON: Okay. Mr.
13 Examiner, I move the admission of Applicant's Two and
14 Three. There is no No. One.

15 MR. CARR: I'd like to ask a
16 couple of questions on Three.

17 MR. STOGNER: Mr. Carr.

18
19 CROSS EXAMINATION

20 BY MR. CARR:

21 Q Mr. Williamson, the Williamson that
22 prepared the report is not related to you.

23 A No.

24 Q Do you know who prepared this report?

25 A The actual engineer, it says Michael E.

1 Black, I do not know him.

2 Q Did -- was this prepared for you?

3 A No, this was prepared for Challenger
4 Energy.

5 Q And do you know what methods were used
6 to make these projections or estimate these volumes?

7 A Williamson Petroleum Consultants have
8 their own very acceptable reservoir programs that they --
9 they have sold it to a lot of people. There would be not a
10 question in my mind that this was competently done. These
11 are one of the leading petroleum reservoir consultants in
12 Midland.

13 Q Were you involved in the preparation of
14 this in any way?

15 A Not at all.

16 Q And do you know what methods exactly
17 were used by Mr. Black in preparing it?

18 A There -- there is really one method.
19 You examine the available data and you get a data sheet and
20 you put it into the computer program and out comes the --

21 Q Do you know how that computer program
22 (unclear) was constructed?

23 A I have worked with the program on sever-
24 al occasions and have been satisfied with the results.
25 They just -- you have a sheet and you analyze your decline

1 curves and put the pricing and input data and you come out
2 with a net present value. I say this program may vary
3 slightly from other versions but they would depend, their
4 manner of calculations (unclear) all comers, I feel sure.

5 Q You didn't prepare this, though.

6 A No.

7 Q And you didn't confer with Mr. Black?

8 A No.

9 Q And you don't know what variations they
10 might have in their program as opposed --

11 A No.

12 Q -- to some other companies.

13 MR. CARR: I object to the
14 admission of Exhibit Number Three inasmuch as it was not
15 prepared by Mr. Williamson, by anyone for Mr. Williamson.
16 He cannot confirm what variations might exist in it and he
17 was not involved in any way in its preparation and I think
18 it's not -- they've laid an improper foundation and it
19 cannot be admitted.

20 We have no objection to the
21 admission of Two.

22 MR. STOGNER: Mr. Dickerson?

23 MR. DICKERSON: We merely
24 offer it for such a way as you deem it deserving and if you
25 don't deem it deserving of any, trash it.

1 MR. STOGNER: We will accept
2 Exhibit Number Two as evidence at this time.

3 Exhibit Number Three, based on
4 Mr. Carr's objection, we will not allow this into evidence.

5 MR. DICKERSON: I have no
6 further questions, Mr. Stogner.

7 MR. STOGNER: Okay. Do you
8 have another witness, Mr. Dickerson?

9 MR. DICKERSON: Yes, sir, very
10 brief.

11 MR. STOGNER: All right.

12 MR. CARR: I have a few
13 questions.

14 MR. STOGNER: Oh, I'm sorry,
15 go ahead. I thought you'd already done that.

16 MR. CARR: Maybe I did, even I
17 don't know.

18 Q Mr. Williamson, we're here because of an
19 objection that was filed to the application of Sun signed
20 by J. C. Williamson. That's your father.

21 A Yes.

22 Q In that letter of opposition it's
23 stated, "The proposed injection zones are actively produc-
24 ing in the immediate area and are considered to have major
25 oil and gas reserves that would suffer irrevocable damage

1 of water if water was injected in the manner proposed by
2 Sun Exploration and Production Company." Okay, my ques-
3 tion is this. Is the basis of your concern not that the
4 wells on your lease, 400 -- 4,100 feet away --

5 A Uh-huh.

6 Q -- are in danger of immediate water
7 damage from the injection?

8 A The immediate water damage from this
9 injection well will be felt in the closer offset wells, I
10 don't think there's any question of that.

11 Q Well, we understood that to be you were
12 concerned about your lease and that was the focus of our
13 case and I'm just trying to establish what you're not ob-
14 jecting to.

15 Would you agree with us that if there
16 was a bank of water that moved through the reservoir that
17 you would certainly see it in the wells between your lease
18 --

19 A Oh, certainly.

20 Q -- and the injection well.

21 A Certainly.

22 Q All right. Now, you're not the operator
23 of the lease on which this well is located, is that cor-
24 rect?

25 A Of which?

1 Q Of the proposed injection well, the
2 Mobil 22 --

3 A No.

4 Q -- No. 5. Do you have any ownership
5 interest in that lease at all?

6 A No.

7 Q And what you're, if I understand your
8 objection, it is to the -- to Sun approaching this with a
9 pilot waterflood project instead of coming forward with a
10 field-wide program or plan to waterflood.

11 A That's correct.

12 Q And if such a plan was developed, I'm
13 not asking you to commit yourself, but you would be inter-
14 ested in it and supportive of some effort to institute a
15 secondary recovery.

16 A Oh, yes, very definitely.

17 Q Okay. In this regard to you agree that
18 time is really of the essence and the sooner an effective
19 secondary recovery effort was implemented, the better it
20 would be?

21 A I would say the sooner a field-wide
22 secondary recovery method could be implemented it would
23 result in a lot of oil being produced that in all likeli-
24 hood could be lost.

25 Q And again time is important in that re-

1 gard. You're one of the major operators in the field,
2 isn't that correct?

3 A Yes, I have an interest in all of my
4 father's leases and in the southern part of the field I
5 operate wells in my own name. My actual ownership posi-
6 tion calculated out is actually greater than my father's in
7 this, in this field.

8 Q Have either you or your father made any
9 plans or undertaken any initiatives to institute a second-
10 ary recovery project in the area?

11 A We feel that our experience has been
12 primarily in primary production. We would like to see an
13 operator of greater experience than we are to head this
14 program off -- up, and we would have no particular objec-
15 tion to Sun being that -- that party.

16 Q Are you aware that Sun has experience in
17 waterflooding --

18 A Oh, certainly.

19 Q -- other reservoirs?

20 A Certainly.

21 Q Are you also aware that in their exper-
22 ience the way to go about this is to first institute a
23 pilot project to confirm their --

24 A Well, I would -- I would -- I would -- I
25 have not seen any place where that has been done.

1 Q Okay.

2 A Especially in the Delaware, and there
3 are very few reservoirs in the Lower Delaware in that
4 country. This is really virgin territory.

5 Q Uh-huh.

6 A There's probably not more than half a
7 dozen certifiable Cherry Canyon Fields in Lea and Eddy
8 County. Most of the fields are Upper Delaware Bell Canyon
9 and the experience is much greater with that upper sand
10 series but the upper sand series has substantially differ-
11 ent characteristics, so --

12 Q You haven't undertaken any studies be-
13 cause the real focus of your effort is in developing the
14 primary --

15 A Yes. Well, I have --

16 Q -- aspect of the reservoir?

17 A I have done a substantial amount of re-
18 servoir work in this particular reservoir, principally be-
19 cause of my ownership of the reservoir. I was glad to see
20 these reservoir parameters being presented. They are very
21 close to ones that I felt were very reasonable. Porosity
22 was very close and many of the things that were presented I
23 thought were very well done.

24 Q Okay. When you go about instituting a
25 waterflood project, let's go back. Let's look at the Dela-

1 ware wells and you talked about the decline rate in those
2 wells not being as projected but actually flattening out
3 and they sort of plug along for a long time.

4 A Yes, that's correct.

5 Q Okay. And you would expect that with
6 the No. 5, even though now I think your own words was it
7 wasn't a particularly good well, you would expect it to
8 extend for some period of time.

9 A Yes. In my experience in the Delaware,
10 especially in this field, wells just -- they'll milk along
11 as long as the equipment holds up. If you have a major
12 mechanical problem they may be prematurely plugged because
13 a 5 or 6 barrel a day well, you can't afford to spend very
14 much money fixing holes in the casing or anything of this
15 nature.

16 Q When they plug along, they're still in
17 the primary producing phase, isn't that right?

18 A Yes, that's correct.

19 Q So whenever a waterflood is instituted,
20 there are going to be some wells that are still capable of
21 primary production that are going to have to be converted
22 to injection. Isn't that fair?

23 A No, that's not necessarily -- not right
24 at all.

25 Q You could drill injection wells?

1 A That is the normal procedure is not to
2 convert a producing well to an injector. The normal pro-
3 cedure is to drill new, carefully engineered wells as in-
4 jectors, but your cores, the cores are analyzed, the cement
5 is very carefully done, and it's just, I would say in my
6 experience, extremely unusual that old wells are used for
7 injectors; just -- it's just not -- it's just hardly ever
8 done that I have been able to see. New wells are drilled
9 to receive the water.

10 Q Even if the old wells are located where
11 an injection well would be appropriate?

12 A If you have the decision made that the
13 flood should be done on 40 acres, the 40-acre spacing is
14 there, so you have to use the wells that are there.

15 A 40-acre pattern flood, a deal like
16 this, I feel it should be a point where they drill all
17 the infill wells, I think when you get to these small
18 corners that haven't been drilled they will find almost
19 primary pressures and for awhile they'll produce like the
20 other wells aren't even there, but they will be able to use
21 the advanced technology to use the core data and advance
22 cementing techniques to make sure that the new wells will
23 stay in zone better and they'll design a fracture treatment
24 for water injection instead of primary production in the
25 area. There's a difference there.

1 Q Are you suggesting that they produce the
2 wells for a time first and then convert them to injection?

3 I just didn't understand what you said.

4 A Well, when you -- when you have a pat-
5 tern waterflood, the wells don't magically get drilled at
6 the same time. It takes time to do that and most people
7 would like to get a little return on their investment while
8 all this is going on. So it's very common, Shell does it
9 in Denver City and ARCO does it in Denver City. Most of
10 your floods, injection wells are produced for awhile if for
11 no other reason just to see what, you know, what was in it.
12 It's not a long term thing.

13 Q So what you are recommending is that
14 instead of converting existing producing wells, that new
15 wells be drilled for injection purposes, produced for a
16 time and then at some time converted.

17 MR. CARR: I have no further
18 questions.

19

20

CROSS EXAMINATION

21 BY MR. STOGNER:

22 Q Mr. Williamson, who was the Williamson
23 Sand named after, either you or your dad, you or the Mr.
24 Williamson here?

25 A I'm going to have to claim my dad on

1 that.

2 Q Oh, I was confused.

3 A He's the explorationist and he was
4 the one that when that -- when that field was found there
5 was no -- nothing out there. This has all been subsequent
6 to that. He picked the sand out. Nobody knew what was
7 there and we tried it and the initial well about blew us
8 off the lease. So this initiated a play out there and
9 fortunately it -- it spread out and became a nice reservoir
10 that is probably in the 100, I don't know, 10-to-20-million
11 barrel category..

12 Q Which is this lease -- here's the next
13 question, then. Which -- which well is the discovery well
14 for the Williamson Sand?

15 A You look on the lease and I believe in
16 Section 25 there's a UCBH lease.

17 Q Yeah.

18 A It's the No. 1 Well there.

19 Q Okay. And is that still producing
20 today?

21 A Yes, it is.

22 Q What's the rate out of it today?

23 A It's making about 25 barrels a day.

24 Q And when was it discovered?

25 A I'm thinking along in late '82, early

1 '83.

2 Q Okay. Have any of your leases, when I
3 say your leases, the Williamson leases, have you had any
4 infill projects or programs instituted on your leases?

5 A We would have done some of that and
6 were thinking of it prior to '86 and I think everybody here
7 knows what happened in '86 and '87 and '88 in the oil
8 business and we were suddenly too poor to do anything be-
9 sides just continue to produce the wells that we had.

10 Q Does this Delaware Sand extend down in
11 Texas and is there any --

12 A Yes, it is, it does. Exxon and Texaco
13 have several -- quite a few wells down in Texas.

14 Q Has the Williamson Sand pretty muchly
15 been drilled so whenever I look at the batch of wells in
16 the -- this area, that's in the Williamson Sand and that
17 would outline the Williamson Pool, or a good portion?

18 A There are, you know, I have well files
19 on almost every well in this field. We have been able to
20 trade information with Texaco and Exxon and I can say that
21 there -- we have reached the reservoir boundary to the
22 south, to the east, and there's a -- there's a portion of
23 the field that goes up to the north. Sun presented a very
24 excellent map there; that 2200 foot contour is the -- you
25 still get a little oil there but it's not commercial,

1 mostly water, and to the south, in a portion of the -- on
2 the west side but the west and north part of this field has
3 not been firmly established. The wells tend to get a
4 little weaker up that way but there could be an enclave to
5 the northwest that has not been drilled.

6 Q Are the characteristics of this reser-
7 voir that you have seen in your wells pretty muchly homo-
8 geneous with the other wells to the south and to the north?

9 A Relatively speaking, as petroleum re-
10 servoirs go, this is a very homogeneous reservoir. If you
11 took a core you would see a lot of zones or a few zones
12 that would seem to carry from well-to-well in a fortunate
13 manner, which would expedite a good response to a water-
14 flood. The reservoir character gets poorer as you go to
15 the northwest and we have a couple of wells that are in
16 Texas that are either on the edge or beyond the edge of the
17 field and they just -- you lose reservoir character. You
18 lose porosity, but the zone does continue on up -- up dip
19 for several miles. There just is no -- no trap there.

20 MR. STOGNER: I have no other
21 questions of Mr. Williamson. He may be excused.

22 Mr. Dickerson?

23 MR. DICKERSON: Mr. Craig
24 Huber.

25

1 JOHN CRAIG HUBER,
2 being called as a witness and being duly sworn upon his
3 oath, testified as follows, to-wit:
4

5 DIRECT EXAMINATION

6 BY MR DICKERSON:

7 Q Mr. Huber, will you state your name,
8 your occupation and how you're employed?

9 A My name is John Craig Huber. I work for
10 Buckeye, Incorporated, sales engineer in Midland, Texas.

11 Q Mr. Huber, will you briefly describe for
12 us the nature of your experience with the proposed injec-
13 tion well which is the subject of this hearing and the
14 other wells on the Federal 22 Lease that we've heard dis-
15 cussed?

16 A Well, at the time the well was drilled I
17 was employed by Challenger Energy. We drilled it and I
18 filled out the application to drill and the subsequent
19 sundry notices that were filed and all records the OCD in
20 Artesia --

21 Q Let me ask you, what was your connection
22 with -- what was your job? What did you do as far as
23 drilling and completing those wells?

24 A Well, I -- essentially I was in the pre-
25 planning of the drilling and completion procedures and then

1 also involved with the well site completion during the
2 completion process. I was a partial owner in the well --

3 Q All right, and with regard to the
4 proposed injection well, the No. 5 Well, were you in charge
5 of drilling and completing that well?

6 A Yes, yes, I was.

7 Q And do you know of your own personal
8 knowledge because you were there the manner in which that
9 well was drilled and completed and put to production?

10 A Yes, I do.

11 Q Tell us when the well was spudded and
12 analyze for us the drilling and completion process that
13 that well underwent.

14 A Okay. I'll, like I say, I'll refer back
15 to the sundry notices and it was spudded July 30th of 1985.
16 The well was drilled to total depth; reached total depth
17 August the 11th of '85 and ran 6175 foot of 5-1/2 casing;
18 cemented 375 sacks of Halliburton Lite followed by 450
19 sacks of 50/50 PAZ C, 6 pounds of salt, and a quarter pound
20 of FloSet.

21 Q Now a cement bond log was conducted on
22 that well, was it not?

23 A Yes, it was, there was a cement bond
24 log.

25 Q And it's on file with the Division.

1 A It should be; I feel that it was sub-
2 mitted.

3 Q What in connection with that cementing
4 job that you conducted and witnessed on that well leads you
5 to believe that there is any possibility of migration from
6 the proposed injection interval to another zone in the for-
7 mation?

8 A As I continue with the sundry notice,
9 what we did is we ran pipe on the well and ran the cement
10 bond log and went ahead and perforated and acidized with
11 2000 gallons of acid, I believe, and since we had had some
12 problems on some prior -- prior wells in a different area,
13 we elected to run a temperature survey and what's call a
14 dummy frac ahead of the major frac job as re- commended by
15 Halliburton, to determine that we were in fact in zone.
16 We, like I say, we ran the base temperature log and we ran
17 a 5000-gallon dummy frac on the well --

18 Q And you're talking about the perforated
19 interval which is the --

20 A Right, the perforated interval.

21 Q -- subject of this hearing.

22 A Right.

23 Q All right.

24 A And so we ran the 5000 gallon dummy frac
25 at 20 barrels a minute and this consisted of a 30 pound

1 cross link gel that we would -- we would continue the final
2 frac job with, except it was void of sand, you know, in
3 order to, we were out of zone, in the hopes that we
4 wouldn't prop it open much.

5 We ran the temperature survey following
6 the dummy frac and as indicated the entire dummy frac went
7 through the top perfs, I'm not sure, this says the top
8 perfs and -- and communicated up to 5850 feet, I believe.
9 I mean, I'm sorry, 4840 feet.

10 Let's see, yes, 4850, says, "Temperature
11 survey indicated fluid going to top perfs and communicating
12 to 4850 feet."

13 At that point we elected to go ahead
14 with the frac job. At Halliburton's recommendation we
15 dropped 450 pounds of blocking agent, which is a naphtha-
16 lene, oil soluble agent, with 2000 gallons of KCL water and
17 the pressure, when the blocking agent reached the perfs in-
18 creased from 700 psi to 1700, so we felt that we had effec-
19 tively blocked the area of communication, so we continued
20 with the frac and completed the frac job.

21 Q 1700 being sufficient to frac that --

22 A Well, that's -- that's pretty evident.
23 That was pretty indicative of what you'd start out with on
24 a normal frac job in that area. You'll start out with 1700
25 pounds, increasing it at a rate of 40 barrels a minute and

1 then drop back probably about 900 by the time you finish.

2 So we felt like that we treated primar-
3 ily with the frac job the -- the Williamson pay zone.

4 Subsequently to that we, as we began
5 producing the well, the naturalness, being an oil soluble
6 blocking agent, obviously, began -- you could smell it as
7 it -- as it was broke by oil and we felt like we saw a
8 change in the oil cut with -- within a short period of time
9 after putting it, putting the well on production. At that
10 time it was on gas lift and so we had some pretty respon-
11 sive -- well, it was easy to get good cuts to see where we
12 were and what type water cut we had; whereas we started
13 with like 50 percent, it dropped to about 20 percent and
14 the production indicates that it probably produced about 20
15 percent oil cut.

16 Q Now you, as a principal in the previous
17 owner Challenger, operated the well from the time of dis-
18 covery until the sale to Sun at the end of 1988?

19 A Yes.

20 Q During that period of time did that well
21 perform up to expectation as compared to other wells in the
22 area?

23 A Well, from log interpretation I always
24 felt like the well never performed as well as you would --
25 take a look at the log calculations, and I felt like it

1 never did perform as well as it should have.

2 Q Did you have any reason to believe what
3 had been the reason for that?

4 A Well, I've always -- I've felt that it's
5 probably been influence from water production in that zone
6 at 4850. It's a real high, it's a higher porosity zone and
7 reading 2 ohms, I mean, you know, it's an obvious high
8 water content zone, and I've always felt like we were pro-
9 ducing both zones, and it was influenced by that up above.

10 Q And the forms you have summarized and
11 looked at as you've testified are those forms on file with
12 the Division, are they not?

13 A Yes, sir.

14 MR. DICKERSON: I have no
15 further questions of Mr. Huber.

16 MR. STOGNER: Mr. Carr?

17

18 CROSS EXAMINATION

19 BY MR. CARR:

20 Q Mr. Huber, what is your background? Are
21 you an engineer or --

22 A No, I'm not. I -- I am -- was formerly
23 with Harvey E. Yates Company in Roswell, New Mexico, as a
24 drilling and production field man. My educational back-
25 ground is -- is I have a BA in political science.

1 Q And you're what is known as a practical
2 oil man.

3 A I'm known as a practical experience, I
4 believe, is what -- what I'm referred to.

5 Q The final temperature survey on the well
6 indicated the frac, did it not, from about 4926 to 5040?

7 A Right.

8 Q And is it your testimony that the frac-
9 ture goes beyond that interval?

10 A No.

11 Q You were saying --

12 A The final frac, what I'm saying is the
13 final frac job, I feel like went through the -- or is con-
14 fined to what the -- what you indicated as probably the
15 Williamson Sand boundaries. Prior to that, the temperature
16 survey indicated we were communicated 100 feet (unclear).

17 Q But that was prior to this.

18 A Right.

19 Q And is it your opinion that disposal of
20 the proposed volumes at this interval would not stay in the
21 Williamson?

22 A I do not feel, especially when you get
23 your pressure, you're going to put a lot of water in there,
24 that the day you catch pressure, I feel like it's going to
25 go to the zone of least resistance and that's going to be

1 the higher porosity and water-bearing formations.

2 Q About what depth?

3 A At 4850.

4 Q 4850, are those --

5 A In that range, yeah.

6 Q Are those producing intervals?

7 A No.

8 MR. CARR: Okay, that's all I
9 have.

10 MR. STOGNER: I have no ques-
11 tions of this witness. He may be excused.

12 Mr. Carr?

13 MR. CARR: Yes, sir.

14 MR. CARR: Is that a rule book
15 you've got in that red book?

16 MR. CARR: Yes, sir, this red
17 book is a rule book.

18 MR. STOGNER: May I borrow
19 that for a second?

20 MR. DICKERSON: 701-F.

21 MR. STOGNER: Mr. Carr, I'd
22 like to recall Mr. Dillon at this time.

23

24 RICHARD G. DILLON,

25 being recalled as a witness and remaining under oath, tes-

1 tified as follows, to-wit:

2

3

RECROSS EXAMINATION

4

BY MR. STOGNER:

5

6

7

Q Mr. Dillon, let's look at your Exhibit
Number Six. Are any of these wells classified as stripper
other than the No. 5 Well?

8

9

10

A I cannot answer it in terms of regula-
tory definition, or classification whether or not they're
stripper.

11

12

13

14

The rates are such that, no, this is the
lowest well. It's producing on the order of 8 barrels a
day. The rest are in excess of 10 barrels a day, if that's
what your question is.

15

16

Q How much above 10 barrels of oil per day
are they producing?

17

18

19

20

21

22

A Various amounts. Again I'm referring,
you know, to my plots. Let's see, they might have a date.
The No. 6 specifically was making in November 12 barrels a
day. The No. 9 was making 17. The No. 3 was making 31
barrels a day, and Mallon's well, the No. 7, Amoco Federal
was making 14 barrels a day.

23

24

25

Q Now in looking at the decline curves on
the Exhibit Number Six, it appears that with the decline of
41 percent which you show it won't become a stripper well

1 until 1991 for the No. 3. Am I reading that right?

2 A That's correct.

3 Q And for the No. 6, it should become a
4 stripper well either tomorrow or the next day.

5 And the No. 9, some time this summer.

6 A That's right.

7 Q And the No. 7 Amoco Federal sometime
8 this summer before.

9 Have they reached an advanced state of
10 depletion, in your -- in your opinion?

11 A Yes, in general they have.

12 Q Okay.

13 MR. STOGNER: Are there any
14 other questions of Mr. Dillon?

15 He may be excused one more
16 time.

17 Is there anything else, Mr.
18 Dickerson, Mr. Carr?

19 MR. CARR: I have a closing
20 statement.

21 MR. STOGNER: As far as wit-
22 nesses, other than closing statements?

23 All right, we're ready for
24 closing statements.

25 Mr. Dickerson, you may --

1 MR. DICKERSON: Mr. Examiner,
2 I'll keep it very brief.

3 Rule 701-F, and we recognize
4 that it has been the practice of the Division over the
5 years in various and sundry cases to permit pilot water-
6 flood projects, our objection, Mr. Examiner, is not to the
7 permitting of any pilot waterflood project, it is to the
8 permitting of this particular project under the facts that
9 have been related here today.

10 Rule 701 provides very briefly
11 that in addition to the, as you had foreseen, in addition
12 to the requirement that the area in question proposed for
13 waterflood be in an advanced state of depletion and sub-
14 stantially all of the primary production have been
15 depleted prior to the institution of a waterflood project,
16 but in addition to that the rule goes on and defines the
17 project area. It defines it as all spacing units operated
18 by the owner of that proposed injection well, either ad-
19 joining it or offsetting that injection well, which in
20 Sun's case, based on the maps that it presented of its
21 acreage position, would require all that acreage.

22 We're not arguing that a pilot
23 project included in all that acreage be forced on Sun in
24 lieu of the one that is proposed, Mr. Examiner, we're
25 asking to have the reservoir viewed from a broader angle.

1 This is a well established, not totally established as to
2 the -- all the boundaries of the reservoir at the present
3 time, but it is from the testimony of all the witnesses
4 fairly rapidly approaching that point.

5 The most efficient method of
6 secondary recovery, and I think that all the rule does is
7 require this engineer -- or recognize this engineering
8 fact, requires that the successful operation and institu-
9 tion of a secondary recovery project for the benefit of all
10 the various and sundry owners and operators of wells within
11 the area of that proposed reservoir, be done on a carefully
12 managed and scheduled basis.

13 Our objection to Sun's appli-
14 cation here is not to the institution of a pilot project.
15 It is to the institution of a pilot project consisting of
16 one well on the -- 990 feet away from the southern boundary
17 of Sun's acreage, not related in any way that we can see
18 from the maps and evidence introduced here today, to the
19 reservoir as a whole. It may be perfectly the correct en-
20 gineering thing to do to institute a pilot project if that
21 were the case but there's no evidence that the parachuting
22 of a pilot project into an arbitrary space on the acreage
23 owned by the applicant is the proper and most efficient way
24 to institute a pilot waterflood project, let alone a field-
25 wide reservoir-wide project for the benefit of all the

1 parties.

2 We think the problem can be
3 addressed by communication between the parties. Until we
4 were presented with the evidence that Sun presented today
5 we had no idea what the proposed project was. There has
6 been a lack of communication between Sun and Mr. William-
7 son testified that Sun is a well qualified operator with
8 experience in flooding zones; that he has no particular
9 reason to object to, would simply like to be included in
10 that and some discussion among the operators of large in-
11 terest within this reservoir toward the end sought by all,
12 that is the ultimate recovery of the maximum amount of oil
13 possible by secondary and primary means from the entire
14 reservoir, not simply from the 40-acre tract on which Sun's
15 pilot injector well is to be located.

16 And our basis for objection to
17 the application is on that. It's a practical application
18 of engineering objection, not throwing in the face of Sun,
19 just take your waterflood and leave. It's talk to the
20 other operators of substantial interest in the area and
21 come to a mutually satisfactory arrangement for recovering
22 the maximum amount of oil.

23 MR. STOGNER: Thank you, Mr.
24 Dickerson.

25 Mr. Carr?

1 MR. CARR: I hate to agree
2 with Mr. Dickerson on anything, you feel like you're giving
3 up your ground, but there has been a lack of communication
4 here.

5 We came in here expecting the
6 issue to be damage to Mr. Williamson's properties to the
7 south and the east and that is not the concern.

8 He's concerned that something
9 be done. The only person who's proposing to do anything,
10 however, in the area is Sun. Williamson noted that he had
11 no ownership in the Sun lease. He indicated that, you
12 know, you could do anything with your property that you
13 wanted but he wants to come in because he is concerned for
14 the reservoir and tell us how we ought to institute or take
15 the initial steps toward a waterflood project which we're
16 all agreed, I think, is important for the reservoir and
17 it's important that it be done quickly.

18 Everyone agrees that Sun is a
19 competent operator to do it and yet the minute Sun takes
20 the initiative they should and starts instituting a water-
21 flood, pilot waterflood project, the objection is not that
22 it's wrong, not that we shouldn't do -- come in with a
23 waterflood, but we need to have a carefully -- one on a
24 carefully managed and scheduled basis.

25 I submit to you that's exactly

1 what we've proposed. We've proposed taking a conserva-
2 tive approach, injecting relatively small volumes of water
3 but water volumes which our experts have told you will
4 within a, hopefully, six month period of time, but we
5 believe within a 2-years period of time, to confirm our
6 modeling, and when will then be the basis to expand a pro-
7 ject and go out and do this with some information behind
8 us, not just go out trying to tie up a large portion of the
9 field and drill wells and produce them and say, yes, these
10 are primary production, we're just waiting to convert them
11 to injection.

12 I don't understand that. We
13 stand before you as the only people doing anything with
14 people screaming something must be done, but nobody's
15 willing to let us go forward. They scream, this is just a
16 random selection. Well, hell, it's only 900 -- heck, it's
17 only 990 feet -- you told me about that and I -- 990 feet
18 from the southern boundary of their lease. But I think you
19 should note that Mr. Mallon, the owner of the property
20 south of that, is supporting this. He's come in and stated
21 it's about time somebody do something like this and he's
22 supporting the effort.

23 We find ourselves in kind of
24 the anomalous position, standing before you, the only
25 people ready to do anything, and a room full of people

1 screaming something must be done on a timely basis, that
2 we're the ones who are qualified to do it and everybody
3 else wants to call the shots.

4 Well, I think there are
5 certain things that you don't have to decide.

6 You don't have to decide
7 whether or not waterflood is in the best interest of con-
8 servation. It is.

9 You don't have to decide
10 whether or not waterflooding is going to ultimately pre-
11 vent waste, because it is. Everyone agrees on that.

12 And in this case the other
13 question you have to decide is whether it's going to impair
14 the correlative rights of anybody else, and the only people
15 protesting are people who admit that they're concerned
16 about damage to their wells.

17 We think that consistent with
18 the rules and orders of the Division, consistent with your
19 overall statutory directive to prevent waste and protect
20 correlative rights, you must grant the application of Sun
21 so we can forward with plans to develop this reservoir in a
22 prudent and economical fashion.

23 Thank you.

24 MR. STOGNER: Thank you, Mr.
25 Carr.

1 Is there anything further in
2 this case?

3 Mr. Carr, I want to hold the
4 record open on this case pending the information for the
5 tops of cement. Also I was looking through the application
6 and I did not see that Meridian was notified and --

7 MR. CARR: All right, we will
8 take --

9 MR. STOGNER: -- so I'll
10 either need proof of notification within the time limits or
11 waivers of Mobil and Chevron or within the 21 days in which
12 they have for a proper notification. Hopefully, you'll be
13 able to get a waiver from Chevron and Mobil and Meridian.

14 MR. CARR: We will pursue that
15 and stay in touch with you and copy everything for Mr.
16 Dickerson.

17 MR. STOGNER: Thank you. Any-
18 thing further?

19 The hearing adjourned.

20

21 (Hearing concluded.)

22

23

24

25

C E R T I F I C A T E

I, SALLY W. BOYD, C. S. R. DO HEREBY
CERTIFY that the foregoing Transcript of Hearing before the
Oil Conservation Division (Commission) was reported by me;
that the said transcript is a full, true and correct record
of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 9646
heard by me on 12 April 1989.

Michael E. Thomas Examiner
Oil Conservation Division