

1 STATE OF NEW MEXICO
2 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
3 OIL CONSERVATION DIVISION
4 STATE LAND OFFICE BUILDING
5 SANTA FE, NEW MEXICO

6 IN THE MATTER OF:

7 Application of Midland Phoenix Corporation for an unorthodox
8 gas well location and compulsory pooling, Lea County, New Mexico, CASE 9667

9 and

10 Application of Enron Oil & Gas Company for compulsory pooling,
11 unorthodox gas well location, and non-standard gas proration
12 unit, Lea County, New Mexico. 9669

ORIGINAL

13 TRANSCRIPT OF HEARING
14 AUGUST 17, 1989

15 BE IT REMEMBERED that on the
16 17th day of August, 1989, this matter
17 came on for hearing before CHAIRMAN
18 WILLIAM LEMAY, COMMISSIONER WILLIAM
19 HUMPHRIES and PATRICIA O'BRIEN, Certified
20 Shorthand Reporter, of the firm SANTA FE
21 DEPOSITION SERVICE, 1437 Paseo de
22 Peralta, Santa Fe, New Mexico, at
23 the State Land Offices, Morgan Hall,
24 Santa Fe, New Mexico.

25 * * *

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A P P E A R A N C E S

FOR THE OCD: WILLIAM LEMAY, CHAIRMAN
 WILLIAM HUMPHRIES, COMMISSIONER
 FLORENE DAVIDSON, STAFF SPECIALIST
 ROBERT STOVALL, GENERAL COUNSEL

FOR MIDLAND
PHOENIX CORP.: ERNEST L. PADILLA, ESQ.
 PADILLA & SNYDER
 Attorneys at Law
 Post Office Box 2523
 Santa Fe, New Mexico
 87504

FOR ENRON OIL
& GAS CORP.: WILLIAM F. CARR, ESQ.
 CAMPBELL & BLACK, P.A.
 Attorneys at Law
 Post Office Box 2208
 Santa Fe, New Mexico
 87501

* * *

P R O C E E D I N G S

AUGUST 17, 1989

CHAIRMAN LEMAY: Case No. 9667?

MR. STOVALL: Application of Midland
Phoenix Corporation for an unorthodox gas well
location and compulsory pooling, Lea County, New
Mexico.

CHAIRMAN LEMAY: This case will be
consolidated, without objection, with Case No. 9669.

Case No. 9669?

MR. STOVALL: Application of Enron Oil &
Gas Company for compulsory pooling, unorthodox gas
well location and non-standard gas proration unit,
Lea County, New Mexico.

CHAIRMAN LEMAY: Appearances in Cases
9667 and 9669?

MR. PADILLA: Mr. Chairman, my name is
Ernest L. Padilla, Padilla & Snyder of Santa Fe, New
Mexico, for Midland Phoenix Corporation.

MR. CARR: May it please the Commission,
my name is William F. Carr with the law firm of
Campbell & Black, P.A., Santa Fe. We represent
Enron Oil & Gas Company.

CHAIRMAN LEMAY: Are there additional --

1 Yes, sir?

2 MR. PEARCE: May it please the
3 Commission, I am W. Perry Pearce with the Santa Fe
4 law firm of Montgomery & Andrews appearing in this
5 matter on behalf of Parker Drilling Company.

6 CHAIRMAN LEMAY: Thank you Mr. Pearce.
7 Additional appearances in this hearing?
8 (No response.)

9 CHAIRMAN LEMAY: Will you have any
10 witnesses?

11 MR. PEARCE: I will not, Mr. Chairman.

12 CHAIRMAN LEMAY: Okay. Any additional
13 appearances?

14 (No response.)

15 CHAIRMAN LEMAY: We'll have statements at
16 the end.

17 Will those witnesses that will give
18 testimony please stand and raise your right hand and
19 be sworn in?

20 MR. STOVALL: Does each of you solemnly
21 swear or affirm the testimony you are about to give
22 in these cases will be the truth, the whole truth,
23 and nothing but the truth?

24 (All witnesses respond affirmatively.)

25 CHAIRMAN LEMAY: Thank you. Let's have a

1 little -- yes, Mr. Padilla?

2 MR. PADILLA: Mr. Dicey will be one of
3 our witnesses. He was out of the room when the
4 witnesses were sworn.

5 CHAIRMAN LEMAY: Thank you. Do you want
6 to raise your right hand and be sworn?

7 (Whereupon, Tim Dicey was sworn
8 upon his oath to tell the truth.)

9 CHAIRMAN LEMAY: Let's have a little
10 discussion on the presentation of the case. I
11 understand this is the competing compulsory pooling.

12 MR. PADILLA: Yes, sir.

13 CHAIRMAN LEMAY: We have eight witnesses,
14 Mr. Padilla?

15 MR. CARR: We have three.

16 CHAIRMAN LEMAY: You have five witnesses?

17 MR. PADILLA: I have five witnesses. I
18 will probably only use four.

19 CHAIRMAN LEMAY: Is there anything that
20 can be stipulated to in this case concerning your
21 cost of the wells, anything that you all agree to
22 that would maybe shorten the procedure?
23 Mr. Carr?

24 MR. CARR: In response to that, I believe
25 the testimony will show that both sides are seeking

1 to pool certain lands, although different lands, in
2 Section 34. I suspect that there is no dispute
3 between the parties, that whoever is successful,
4 that a risk penalty is appropriate in the amount of
5 200 percent.

6 MR. PADILLA: I have no problem with that.

7 MR. CARR: So I don't think testimony
8 needs to be presented on that point.

9 Other than that, I think there is not a
10 great deal we can stipulate to. Although, I will
11 tell you that the Examiner Hearing took seven hours.
12 We are hopeful that having worked with the
13 transcript from the Examiner Hearing, that our
14 presentation will be substantially shorter than that.

15 CHAIRMAN LEMAY: Well, we hope that.
16 Both Commissioner Humphries and myself have problems,
17 out-of-town commitments. If necessary, we may have
18 to delay the hearing until September 21st or so if
19 we're not through this afternoon. That was my
20 concern. We also need to take an hour-and-a-half
21 lunch break and about a 20 minute break 15 or
22 20-minutes or whatever this morning whenever.

23 MR. PADILLA: Mr. Chairman, I think if we
24 also incorporate the record of the prior Commission
25 hearing, I would be more inclined not to go over

1 every detail that we went through the last time.

2 MR. CARR: We would join in a request to
3 incorporate the record of the prior hearing. That
4 will also put into evidence certain exhibits and
5 will streamline the presentation.

6 CHAIRMAN LEMAY: Is there any objection
7 to the incorporation of the Examiner Hearing into
8 this record?

9 MR. CHERRYHOMES: None, Mr. Chairman.

10 CHAIRMAN LEMAY: If not, we shall do that.
11 Thank you, gentlemen.

12 Do you have opening statements you
13 would like to make?

14 MR. PADILLA: Very briefly, Mr. Chairman,
15 and Mr. Humphries, we believe that this is a very
16 straightforward case. Midland Phoenix seeks to
17 compulsory pool the east half of Section 34 to drill
18 a well to primarily test the Morrow Formation.

19 Midland Phoenix has made all efforts that
20 have been necessary to force pool the east half of
21 Section 34. They have been ahead in leasing the
22 land, to comprise a standard proration unit of 320
23 acres.

24 At every stage of the proceeding, Enron
25 has been behind by several days or maybe several

1 months, whether it's in leasing or making
2 application to force pool.

3 Midland Phoenix has tried to obtain the
4 voluntary joinder of everyone in that east-half
5 proration unit. In response to the application for
6 compulsory pooling filed by Midland Phoenix, Enron
7 filed two competing applications, one to separately
8 test the Atoka Formation and to comprise the
9 standard proration unit or non-standard proration
10 unit of the southeast quarter of Section 34 for the
11 Atoka Formation and to configure a south-half
12 proration unit for the Morrow Formation.

13 We believe that the evidence will show
14 that at no time did Enron ever figure to do a south-
15 half proration unit until -- for the Morrow
16 Formation until the application of Midland Phoenix.

17 The entire east half is susceptible of
18 production. The testimony we have presented before
19 the Division and the testimony that we will present
20 today will bear that out.

21 Enron will argue that a well that was
22 drilled in the northeast quarter of Section 34
23 condemned the northeast quarter.

24 We do not believe that that is accurate.
25 Our evidence will show that all -- almost all

1 proration units are not entirely productive in the
2 Pitchfork Field, both in the Atoka and the Morrow
3 Formation.

4 This is not unusual at all, but we
5 believe that the Commission should be compelled to
6 maintain the integrity of the spacing patterns in
7 the south -- or in the Pitchfork Field.

8 We will show that, and we believe that
9 that entire east half of Section 34 should be
10 dedicated as a valid proration unit.

11 In the call of the docket, the case was
12 advertised as it included -- the Midland Phoenix
13 application called for a non-standard gas or an
14 unorthodox location.

15 Before we came to the Division, we had
16 dropped that portion of the application and,
17 therefore, our case is only for compulsory pooling
18 at this time.

19 CHAIRMAN LEMAY: Thank you, Mr. Padilla.

20 Mr. Carr?

21 MR. CARR: May it please the Commission,
22 as Mr. Padilla has noted, this case involves the
23 development of one section of land in the Pitchfork
24 Ranch Field in Lea County, New Mexico.

25 And you have before you applications

1 which ask you to force pool certain lands, approve a
2 non-standard Atoka proration unit, and approve a
3 well location on this non-standard unit in the Atoka
4 Formation.

5 The pooling applications are not the same.
6 We seek a south-half unit in the Morrow and Midland
7 Phoenix seeks a standard east-half.

8 No matter how we look at today, it is
9 going to be a fairly long hearing. But at the end
10 of the hearing, there really is only one question
11 that you, the Oil Commission, are going to be asked
12 to answer, and that question is simply this: Is the
13 northeast quarter of Section 34 reasonably
14 productive? That's it. Is it productive, can it
15 produce? And that one question is going to control
16 everything else in the rest of the case.

17 It's a geological case. What we're going
18 to do, both of us, is focus on the northeast quarter
19 of 34 because we believe there is nothing there and
20 they believe it is productive.

21 We're going to go through it zone by zone,
22 top to bottom, and we're going to show you the
23 geological evidence that reasonable interpretation
24 shows that this acreage does not contain produceable
25 reserves and cannot be produced.

1 We're also going to show you that we've
2 already drilled it and it's been dry, all the
3 primary objective zones. And when you take this
4 data and read it in any reasonable fashion, the
5 conclusion, we submit, will be clear, and that is
6 that it cannot produce.

7 We're going to present to you data that
8 we prepared back when we leased it. We owned the
9 northeast quarter before Midland Phoenix came
10 along. And we're going to show you data that was
11 developed not for the purpose of this hearing, but
12 data that was developed because we were trying to
13 develop the acreage and, in fact, did drill a \$2
14 million well and discovered it was not productive.

15 This data was confirmed, not only by the
16 people we will call, but by the people who are going
17 to be testifying for Midland Phoenix where they were
18 Enron employees and they participated. And it is
19 their interpretations that we are going to show you,
20 interpretations which show this acreage cannot and
21 will not produce.

22 We're also going to show you that there
23 has been no new data upon which to change the
24 interpretation. The only factual change that comes
25 before you is that once they acquired it, the data

1 looked different to them than it did when they were
2 with Enron.

3 The conclusion is going to be clear that
4 the northwest (sic) quarter cannot and will not
5 produce. To put it into a spacing unit with our
6 acreage that does contain produceable reserves
7 dilutes our interest. We will show you that it will
8 deny us an opportunity to produce our just and fair
9 share of what is under our tract and that to approve
10 their application would impair our correlative
11 rights and violate your duties with the Oil & Gas
12 Commission.

13 CHAIRMAN LEMAY: Mr. Carr, I might point
14 out at this time that this case was not advertised
15 correctly in the Hobbs paper and will be readvertised
16 in that paper.

17 You may continue, Mr. Padilla.

18 MR. PADILLA: Mr. Chairman, we will call
19 Craig Duke at this time.

20

21 BENTON CRAIG DUKE

22 The witness herein, after having
23 been first duly sworn upon his oath, was
24 examined and testified as follows:

25

1 DIRECT EXAMINATION

2

3 BY MR. PADILLA:

4 Q. Mr. Duke, first of all, let me ask you to
5 state your full name and where you reside.

6 A. Benton Craig Duke, 2402 Castleford,
7 Midland, Texas.

8 Q. Mr. Duke, what do you do for a living?

9 A. I'm a Landman in the oil and gas
10 exploration business.

11 Q. Were your credentials accepted as Landman
12 before the Oil Conservation Commission Hearing?

13 A. Yes, sir, they were.

14 Q. Did you testify at that hearing
15 concerning this matter?

16 A. Yes, I did.

17 MR. PADILLA: Mr. Chairman, we tender Mr.
18 Duke as a Petroleum Landman.

19 CHAIRMAN LEMAY: His qualifications are
20 acceptable. One moment, please.

21 (Whereupon, there was a brief
22 discussion held off the record.)

23 MR. PADILLA: For purposes of exhibits,
24 in order to track more accurately with the Division
25 record, we have marked the geologic exhibits

1 starting from Exhibit No. 5 in that order, and we
2 have purposely omitted Exhibit No. 4 so as to
3 maintain some integrity or continuity. We have the
4 same numbers as before except the first three.

5 MR. CARR: I'd also like to state that in
6 preparing the exhibits for this case, we have moved
7 a type log up in the exhibits because we have kept
8 the same numbering system so that we don't have the
9 same clash with different numbers.

10 CHAIRMAN LEMAY: You may continue.

11 BY MR. PADILLA:

12 Q. Mr. Duke, will you refer to what we have
13 marked as Exhibit No. 1 and tell the Commission what
14 that is?

15 A. Yes, sir. It's a land plat and an
16 approximate breakdown of the working interest
17 percentages for an east-half proration unit
18 consisting of the east half of Section 34, Township
19 24 South, Range 34 East in Lea County, New Mexico.

20 Q. Mr. Duke, you have stated that this is an
21 approximate breakdown.

22 I take it you are referring to the
23 breakdown of working interest owners in the
24 percentages that are at the top of that exhibit?

25 A. Yes, sir. They have changed as of 8:00

1 last night. Another reason we don't have the exact
2 is because we weren't privy to the operating
3 agreement of which Enron sent it in in inserts and
4 other parties were party to.

5 However, I can tell you an approximate
6 working interest for Midland Phoenix has changed
7 from 41.1474 to 52.98314. The reason that is is
8 that we have struck a deal with Mr. Bob Landreth,
9 and he is now joining Midland Phoenix in this east-
10 half compulsory pooling.

11 Q. Where is that interest or where is the
12 land with interest located in Section 34?

13 A. It's located -- he's got in the northeast
14 quarter and in the northeast-southeast, 35 unleased
15 net mineral acres. In the west half of the
16 southeast and the southeast-southeast, he has
17 contractual interests which are governed by the
18 operating agreement of which Enron is the operator
19 or was the operator.

20 Q. Now, in your exhibit, in Section 34, you
21 have colored that exhibit in red and you have
22 colored it also in yellow.

23 Can you tell us what the red is?

24 A. The red is just an outline of an east-
25 half proration unit, the standard location for an

1 east-half.

2 Q. Has the yellow changed as of 8:00 last
3 night?

4 A. Yes, sir, it has. Like I said, our
5 interest has jumped -- working interest, as well as
6 before in the previous Commission Hearing, J. Howard
7 Moore, Limited, is also with us. So that would give
8 us approximately 63, roughly, percent working
9 interest.

10 Q. Now, in looking at the yellow, as
11 depicted in your Exhibit No. 1, what did that
12 constitute?

13 A. That was the unleased -- that 200-acre
14 tract is a fee tract of land of which we picked up
15 oil and gas leases covering that.

16 Q. And you control all of the 200 acres?

17 A. Yes, sir, that is correct.

18 Q. What interests do you control outside of
19 the yellow area and within the east half proration
20 unit in the red, as of 8:00 last night?

21 A. We control, like I said, approximately 11.8-
22 some-odd percent. That is combined. It's hard for
23 us to break it down, like I said, without having a
24 copy of that operating agreement to know exactly
25 what Mr. Landreth's and Mr. Jeffcoat's contractual

1 interest is. But outside of that 200-acre tract,
2 they roughly have 1 to 2 percent, something like
3 that.

4 Q. Do you have interest now in all of the
5 east half of Section 34?

6 A. Yes, sir, that is correct.

7 Q. Do you have anything further concerning
8 Exhibit No. 1?

9 A. No, sir.

10 Q. Let's turn now to what we have marked as
11 Exhibit No. 2 and tell us, tell the Commission, what
12 that is.

13 It's a series of correspondence, Mr. Duke?

14 A. Right. I believe that would be letters
15 dated March 22nd, 1989 -- is that what you are
16 referring to?

17 Q. Yes, sir.

18 A. Yes, sir. On March 22nd, 1989, Midland
19 Phoenix Corporation sent a letter to Enron Oil & Gas
20 Company, Attention: Mr. Frank Estep; Enserch
21 Exploration, Inc., Attention: Mr. Dave Leaverton;
22 Samedan Oil Corporation, Attention: Jack E. Anderson
23 and Leon Jeffcoat, Trustee, wherein we proposed a
24 well in an unorthodox location be at 660 from the
25 south and 1980 from the east of Section 34.

1 We gave estimated dry-hole costs and
2 completed dry-hole costs which were taken directly
3 off of our AFE which was prepared by our engineer.

4 We also gave -- if they decided not to
5 participate, and would prefer to farmout for this
6 15,800-foot Morrow test -- we gave terms which would
7 be acceptable for us.

8 We further stated in there that we would
9 like a response to this proposal at the earliest
10 possible convenience, since we would like to spud
11 the well in the very near future.

12 And upon hearing back from all these
13 parties one way or another as to what their
14 intentions were, we would forward a formal AFE and a
15 copy of a 1982 AAPL 610 Form Operating Agreement for
16 their approval.

17 We further stated that we understood that
18 there was possibly an operating agreement in
19 existence, and we would work with them any way
20 possible to -- either in an -- whether it be an
21 overlapping or to execute a new agreement just
22 covering the east half.

23 In the same regards, we sent a separate
24 letter on the same date, March 22nd, 1989, at the
25 same location to Mr. Bob Landreth. The reason we --

1 Q. Mr. Duke, let's not go into Mr.
2 Landreth's letter, since you already made a deal
3 with him.

4 A. Okay.

5 Q. Let me ask you regarding the first letter,
6 whether you received a response from any of the
7 addressees on that with the exception of Leon
8 Jeffcoat, whom you made a deal with, also.

9 My question is directed at Enron's answer
10 and Samedan; what was their response?

11 A. Yes, sir, we did hear back on April the
12 14th, 1989, from Enserch Exploration. John McGee,
13 the Senior Landman for Enserch, wrote us a letter in
14 reference to our letter dated the 22nd of March,
15 1989.

16 Basically, they, Enserch, state that they
17 do not intend to join said well and they do not
18 intend to grant a farmout of Enserch's interest in
19 the captioned land. It says, further, they intend
20 to contest unorthodox location. And it just says
21 let them know anything else.

22 Other than that, we did not hear from
23 anybody regarding our proposal until such time as we
24 received the compulsory pooling notice from Mr. Carr.

25 Q. Is that letter from Enserch in this

1 exhibit?

2 A. Yes, sir.

3 Q. Can you point it out to the Commission?

4 A. It was Exhibit 4 before the Commission
5 last time. I'm not sure --

6 Q. And it's in this packet now; is that
7 right?

8 A. Yes, sir, that is correct. Yes, sir, it
9 is.

10 Q. When did you receive a response from
11 Enron, if any time?

12 A. We received a response, other than, like
13 I stated, the compulsory pooling, on May the 2nd.
14 Basically, what they did is they sent us a letter
15 whereby they proposed a well for a south-half Morrow
16 proration unit and a non-standard 160-acre southeast
17 quarter Atoka proration unit. That was the first
18 we'd heard from them in writing, other than, like I
19 said, the compulsory pooling notice from them.

20 Q. You got the compulsory pooling notice
21 first?

22 A. Yes, sir, that was the response to our
23 original proposal.

24 Q. What efforts did you try to negotiate a
25 voluntary joinder of the east half of Section 34

1 prior to the Division Hearing?

2 A. We tried on numerous occasions to -- you
3 know, we contacted the rest of the parties. Samedan,
4 we chatted with them; talked to Mr. Landreth. Enron
5 would not really respond to us.

6 Q. Did you call Enron?

7 A. Yes, sir, we did. We finally got
8 communication going after we were instructed to,
9 after the original hearing was postponed until the
10 24th.

11 Q. So --

12 A. But prior to that, there was no
13 communication.

14 Q. There was no telephone communication?

15 A. Well, we called them, but we never got
16 return calls.

17 Q. Once you were instructed by the Division
18 to communicate with Enron, what efforts did you make
19 to communicate with Enron?

20 A. We sent -- at that particular point, that
21 was May the 10th, the hearing in which the Examiner
22 instructed us to communicate with all the parties --
23 so we sent a letter to Enron dated May the 11th,
24 whereby we had decided to drop our unorthodox
25 location for the simple reason economics did not --

1 we could not stand a penalty, an allowable penalty.

2 In actuality, it was a better location
3 after, you know, some consideration. We moved it to
4 1990 from the south and 1980 from the east, which
5 was a standard for the east half.

6 And we sent this letter to Enron and told
7 them we declined their offer of May the 2nd to
8 participate in the drilling at their standard
9 location for the south half and unorthodox or
10 non-standard southeast proration unit for the Atoka.

11 We, there again, proposed the same 15,800-
12 foot Morrow test at a legal location. And we also
13 told them that in lieu of participating, that we
14 would be willing to accept a farmout from them,
15 delivering 75 percent with 25 percent back-in after
16 payout.

17 And we respectfully requested a response
18 to this proposal at the earliest possible
19 convenience. And, upon hearing from them, we would
20 forward to them a formal AFE, as was -- basically
21 the same letter as we proposed before, other than
22 the location change.

23 Q. At what time did you decide to file a
24 compulsory pooling application for the east half of
25 Section 34?

1 A. After about 30 days, when we got no
2 response from Enron, we had had prior dealings where
3 we had proposed certain things and gotten no
4 response. We decided that it was going -- that was
5 the way it was going to have to come down anyway.

6 Q. Mr. Duke, when did you start leasing land
7 in the east half of Section 34 or trying to make
8 efforts to acquire interests in the east half of
9 Section 34?

10 A. To the best of my recollection, Mr.
11 Padilla, it was around February of 1989. January or
12 February, somewhere in that time.

13 Q. Do you know what the history was of
14 leasing activity by Enron or an affiliated company
15 of Enron or the predecessor?

16 A. Yes, sir, I do. We had -- Enron had
17 leased the same acreage that we leased previously in
18 order to prevent a well from being drilled in this
19 east-half proration unit. They let the leases
20 expire in November.

21 We were trying to put our prospect back
22 together and subsequently start leasing it after the
23 first of the year.

24 Q. Do you know whether Enron made efforts to
25 lease that land, also?

1 A. Yes, sir, they did. I've got those
2 letters here. On March 16th, they sent out letters --
3 I've just got copies of two of them -- to Mr. Boley
4 Embrey and Alan Jochimsen, who are mineral owners in
5 that east half.

6 They requested an oil and gas lease cover
7 the northeast quarter and the northeast-southeast of
8 Section 34. These fellows had -- these are mostly
9 pros in here. By that, I mean they are in the oil
10 business themselves, and were fully aware that Enron
11 had leased it prior, previously, to prevent a well
12 from being drilled. Of course, these people were
13 wanting a well drilled.

14 Anyway, on March 16th is when Enron sent
15 those letters out requesting leases.

16 Q. Are they in Exhibit No. 1?

17 A. Yes, sir, they sure are.

18 Q. When did you acquire those leases from
19 these gentlemen?

20 A. We acquired them, like I said, around
21 through January or February. I don't have the
22 actual leases.

23 Q. About a month or so --

24 A. Yes, sir.

25 Q. -- before Enron attempted the lease?

1 A. Yes, sir, that's true.

2 Q. Mr. Duke, do you have anything further
3 concerning this particular exhibit?

4 A. No, sir.

5 Q. Mr. Duke, did you compile this exhibit
6 and prepare Exhibit No. 1?

7 A. Yes, sir.

8 MR. PADILLA: Mr. Chairman, we'd move the
9 admission of Exhibits 1 and 2, and we pass the
10 witness at this time.

11 CHAIRMAN LEMAY: Without objection,
12 Exhibits 1 and 2 will be entered into the record.

13 (Whereupon, MIDLAND PHOENEX
14 EXHIBITS 1 and 2 were admitted into
15 evidence.)

16 CHAIRMAN LEMAY: Mr. Carr?

17

18 CROSS EXAMINATION

19

20 BY MR. CARR:

21 Q. Mr. Duke, what is your position with
22 Midland Phoenix?

23 A. I am a Landman.

24 Q. And how long have you been a Landman for
25 Midland Phoenix?

1 A. Since the forming of the company
2 approximately November of 1988.

3 Q. That's when the company was formed?

4 A. That's when we got together, yes, sir.

5 Q. Prior to that time, had you worked as a
6 Landman?

7 A. Yes, sir, I had.

8 Q. Was that your position with Enron?

9 A. Yes, sir.

10 Q. While working as a Landman with Enron,
11 did you become familiar with the Pitchfork area,
12 which is the subject of today's hearing?

13 A. Yes, sir, I did.

14 Q. Were you involved with the status and
15 familiar with the status of the leases in the area
16 while working with Enron?

17 A. Yes, sir.

18 Q. I think you indicated that you leased the
19 northeast quarter sometime this year. I just missed
20 the date.

21 A. I say January or February. I don't have
22 the actual date.

23 Q. This acreage had previously been under
24 lease with Enron; is that correct?

25 A. That is correct.

1 Q. In fact, they had leased it and drilled a
2 well on it back when you were with them?

3 A. Yes, sir, that is true.

4 Q. Who makes the decision in your company to
5 go out and lease a particular tract?

6 A. It's a decision based strictly on
7 geological, geophysical and management -- you know,
8 monetary, financial --

9 Q. Are you involved in that decision process?

10 A. Yes, sir.

11 Q. Is it done at a meeting? Do you get
12 together and discuss it?

13 A. Yes, sir.

14 Q. And the considerations are land
15 considerations, as well as geological and geophysical?

16 A. There are land considerations taken into
17 account, but, primarily, it's geological and
18 geophysical.

19 Q. Looking at the area that's the subject of
20 today's hearing, Section 34, have you recently
21 acquired any additional leasehold interests in that
22 acreage?

23 A. Any additional leasehold interests?

24 Q. Yes.

25 A. No, sir, we have not.

1 Q. Do you have top leases on any of the
2 acreage currently under lease to Enron?

3 A. Yes, sir, we sure do.

4 Q. When will those become effective if, in
5 fact, the acreage isn't developed?

6 A. They will become effective on December
7 7th, 1989.

8 Q. Does Midland Phoenix, if they prevail in
9 this case, propose to be prepared to go forward and
10 develop the lands prior to that date?

11 A. We have been prepared to go forward, Mr.
12 Carr, the whole time. We were ready May 10th. It
13 was postponed because of Enron. It came May 24th,
14 and it was also postponed. We won the first
15 hearing. We were ready to drill by October 1st.
16 You all asked for an appeal and --

17 Q. My question is: Will you be prepared to
18 go forward before December the 7th?

19 A. We would have to discuss that, Mr. Carr.

20 Q. You may not be?

21 A. That is possible.

22 Q. And if you did not, then your ownership
23 position in that tract would change, would it not?

24 A. In what tract?

25 Q. In the east half of Section 34. If no

1 well is drilled by December the 7th on that
2 property, then the ownership of the interest will
3 change?

4 A. That is correct.

5 Q. Now, you originally proposed the well
6 south of the current location, I believe you
7 testified?

8 A. That is correct.

9 Q. And then a decision, if I understood your
10 testimony, was made to move the well because of the
11 potential penalty you perceived being imposed on it
12 at that location?

13 A. That is correct. We were told it was
14 approximately 66-and-two-thirds was the equation, or
15 whatever, that they used.

16 Q. Because you were that much too close to
17 an end line just on a percent of encroachment upon
18 the acreage --

19 A. Well, for an east half -- for an
20 unorthodox location in an east-half proration unit.

21 Q. Then you testified that you subsequently
22 concluded that the present location is a better
23 location?

24 A. I wouldn't say necessarily better. It's
25 just for the Morrow Formation, our geologists and

1 geophysicists -- which I'm sure you will get into
2 with them later -- will show you from that simple --
3 from that formation, it is a better location.

4 However, the bank location, which will be
5 brought out later -- I don't feel I should get into
6 that --

7 Q. You think there are probably better
8 witnesses for me to pursue this with?

9 A. Yes, sir, I would say that. Yes, sir.

10 Q. When you talk about geological and
11 geophysical input as to the new location being
12 better, who was involved in making that decision?
13 Was Mr. Hodges involved?

14 A. Yes, sir.

15 Q. Mr. Dicey?

16 A. Yes, sir.

17 Q. Mr. Broten?

18 A. Yes, sir.

19 Q. Was there engineering input into that
20 decision?

21 A. No, not really, not from that standpoint.
22 Engineering was not directly involved. It was
23 primarily geological.

24 Q. On your Exhibit No. 2, you have a number
25 of letters that basically outline or detail the

1 efforts made during the last six months to obtain a
2 voluntary agreement for development of Section 34.

3 Is that a fair characterization?

4 A. Yes, sir, I guess so.

5 Q. Has a voluntary agreement been reached
6 for the development of this acreage?

7 A. Obviously not.

8 MR. CARR: That's all I have.

9 CHAIRMAN LEMAY: Thank you, Mr. Carr.

10 Mr. Pearce?

11 MR. PEARCE: Nothing.

12

13 EXAMINATION

14

15 BY CHAIRMAN LEMAY:

16 Q. One question, please, Mr. Duke.

17 A. Yes, sir.

18 Q. Concerning the top leases you have in
19 Section 34, did you agree to drill the well prior to
20 the expiration of those leases had this case not
21 been continued?

22 A. Yes, sir. We were to drill the well,
23 first off with our first proposal, by June or July,
24 and the hearing was delayed. And then the order
25 came out saying we could do the spud by October 1st.

1 We were ready to do so at that time, spud by
2 October 1st. And then that's when they appealed
3 before the full Commission.

4 CHAIRMAN LEMAY: That's the only question
5 I have.

6 THE WITNESS: Yes, sir.

7 CHAIRMAN LEMAY: You may be excused.

8 Mr. Padilla, you may proceed.

9 MR. PADILLA: At this time, Mr. Chairman,
10 we will call Phil Stinson.

11

12 JAMES PHILIP STINSON

13 The witness herein, after having
14 been first duly sworn upon his oath, was
15 examined and testified as follows:

16

17 DIRECT EXAMINATION

18

19 BY MR. PADILLA:

20 Q. Mr. Stinson, for the record, please state
21 your full name.

22 A. James Philip Stinson.

23 Q. Where do you live?

24 A. 6101 Mecca, Odessa Texas.

25 Q. Do you work for Midland Phoenix?

1 A. I am a drilling consultant.

2 Q. Mr. Stinson, did you testify before the
3 Division hearing in this matter?

4 A. No, I did not.

5 Q. Mr. Stinson, do you have a degree in
6 engineering?

7 A. No, sir, I do not.

8 Q. What is your experience in the oil and
9 gas industry as a drilling specialist?

10 A. I worked for Roden Oil Company, HNG Oil
11 Company, and Enron Oil & Gas for twenty years.

12 Q. Doing what, Mr. Stinson?

13 A. I worked every position from drilling
14 foreman to Vice-President of Drilling for twenty
15 years. I have worked as a drilling foreman and
16 progressed up to Vice-President of Drilling in 1978
17 and was Vice-President until '86.

18 Q. Mr. Stinson, did you prepare the AFE in
19 this case for drilling of the Midland Phoenix well?

20 A. Yes, sir, I did.

21 Q. What other AFE's have you prepared in
22 this area for drilling wells of the kind that is
23 proposed by Midland Phoenix?

24 A. I've prepared or approved all of the
25 AFE's in the Pitchfork Ranch Fields that were

1 drilled by HNG-Enron.

2 MR. PADILLA: Mr. Chairman, we tender Mr.
3 Stinson as a drilling specialist.

4 CHAIRMAN LEMAY: His qualifications are
5 acceptable.

6 BY MR. PADILLA:

7 Q. Mr. Stinson, let me hand you what we have
8 marked as Exhibit No. 3, and ask you to identify
9 that, please (indicating)?

10 A. (Witness refers to document.) This is
11 Midland Phoenix's AFE for the drilling of the Madera
12 34 Federal Com. No. 1.

13 Q. What is the bottom line for drilling the
14 proposed well, as the figures are projected on that
15 AFE?

16 A. \$1,783,540.00.

17 Q. And that's for a completed well?

18 A. That's for a completed well.

19 Q. What are the proposed well costs for a
20 dry well?

21 A. \$1,379,000.00.

22 Q. Have you seen the AFE prepared by Enron
23 in this case and submitted to the Division?

24 A. Yes, sir.

25 Q. How does your AFE vary from that

1 submitted by Enron?

2 A. Ours is some \$299,000.00 higher.

3 Q. Can you explain why it's higher?

4 A. Yes, sir. There's 160-some-odd-thousand
5 dollars of contingencies that are left out of the
6 Enron AFE.

7 Q. Why are contingencies in your AFE -- why
8 have you listed those? What is the purpose of
9 having the contingencies?

10 A. For unexpected things that happen to you
11 in drilling a well.

12 Q. Is this reasonable in making AFE's of
13 this kind?

14 A. It's customary to put contingencies in.

15 Q. What specific contingencies does your AFE
16 contain?

17 A. Also, one difference in our AFE versus
18 Enron's AFE is we plan to set 7-5/8ths casing for
19 the second intermediate strain rather than the 7-inch
20 proposed by Enron.

21 Q. Why is that?

22 A. We figure we will probably have to run a
23 drilling liner and think we can get a better cement
24 job and a slightly larger hole and give us a better
25 chance of completing the well.

1 Q. Why is this important?

2 A. This liner will be run as a drilling
3 liner during the drilling of the well; but
4 eventually, when we come back, hopefully, to the
5 Atoka, it will be used as a production liner.

6 Q. Now, let me go back to the previous
7 question I had asked, and that question was, what
8 are the specific contingencies that you have
9 provided for in this AFE?

10 A. There is no specific contingencies. It's
11 10 percent of the cost.

12 Q. Okay. And that's not unreasonable in
13 drilling wells of this nature?

14 A. No, sir.

15 Q. Have you included this type of
16 contingency in other AFE's that you have prepared in
17 the Pitchfork Field?

18 A. Yes, sir.

19 Q. And that's been accepted by all working
20 interest owners?

21 A. Yes, sir.

22 Q. In your opinion, Mr. Stinson, is this AFE
23 reasonable as to total costs for a completed well
24 and for dry-hole costs?

25 A. Yes, sir, I believe it is.

1 MR. PADILLA: Mr. Chairman, we tender
2 Exhibit No. 3, and then pass the witness at this
3 time.

4 CHAIRMAN LEMAY: Without objection,
5 Exhibit 3 will be entered into the record.

6 (Whereupon, MIDLAND PHOENIX
7 EXHIBIT 3 was admitted into evidence.)

8 CHAIRMAN LEMAY: Mr. Carr?
9

10 CROSS EXAMINATION
11

12 BY MR. CARR:

13 Q. Mr. Stinson, an AFE is just an estimate
14 of the cost; isn't that correct?

15 A. An AFE is an estimate of cost. That's
16 correct.

17 Q. And when you put together an AFE, and you
18 don't put contingencies in it, and then you have
19 something surprise you when you're drilling the well,
20 you are the guy that has to pay for it, aren't you?

21 A. Yes, sir.

22 Q. So that's why you put contingencies in?

23 A. (Indicating affirmatively.)

24 Q. And if there is no contingency, then
25 still, ultimately, the actually costs of drilling

1 the well are going to be factors that control; isn't
2 that right?

3 A. Yes, sir.

4 Q. How many wells have you been involved
5 with down in the Pitchfork area?

6 A. I think the number is 25.

7 Q. Have you prepared AFE's on all those 25?

8 A. I have either prepared or approved them;
9 yes, sir.

10 Q. Of those 25, how many of them have had a
11 5-7/8ths-inch (sic) casing?

12 A. None of them, sir.

13 Q. Have you prepared AFE's for costs
14 associated with re-entering existing wells?

15 A. Yes, sir.

16 Q. Have you done that and estimated the cost
17 that might be incurred in a re-entry of the Moore
18 No. 1 Well in the northeast quarter of Section 34?

19 A. No, sir, I have not.

20 MR. CARR: That's all I have.

21 CHAIRMAN LEMAY: Thank you, Mr. Carr.

22 Additional questions of the witness?

23 (No response.)

24 CHAIRMAN LEMAY: If not, the witness may
25 be excused.

1 Mr. Padilla?

2 MR. PADILLA: We will call at this time
3 Tim Dicey.

4

5 TIMOTHY RICHARD DICEY

6 The witness herein, after having
7 been first duly sworn upon his oath, was
8 examined and testified as follows:

9

10 DIRECT EXAMINATION

11

12 BY MR. PADILLA:

13 Q. Mr. Dicey, would you please state your
14 name?

15 A. My name is Timothy Richard Dicey.

16 Q. Mr. Dicey, you are President of the
17 Midland Phoenix Corporation?

18 A. That is correct.

19 Q. You testified at the Oil Conservation
20 Commission hearing, did you not?

21 A. Yes, sir.

22 Q. And you testified as an exploration
23 specialist at that hearing. Is that correct?

24 A. That is correct.

25 Q. You prepared exhibits for introduction at

1 the hearing today?

2 A. That is correct.

3 MR. PADILLA: Mr. Chairman, we tender Mr.
4 Dicey as an exploration specialist at this time.

5 MR. CARR: No objection.

6 CHAIRMAN LEMAY: He will be so qualified.

7 BY MR. PADILLA:

8 Q. Let's go to what we have marked as
9 Exhibit No. 5 and 6, and can you identify those for
10 the Commission?

11 A. Yes, sir.

12 Q. Mr. Dicey, let's turn now to what has
13 been marked as Exhibit No. 5, and have you tell the
14 Commission what that is.

15 A. Okay. Exhibits No. 5 and 6 are both
16 cross sections made through the area which is under
17 dispute. They are both stratigraphic cross sections,
18 which means they are not held on a sub-sea structure,
19 but on a particular formation marker.

20 They have been made to show the different
21 producing horizons that may be found in this area.
22 In particular, if we start from the bottom up, we
23 see what has been called by HNG-Enron the Morrow C
24 Sand, which is the primary producing zone in the
25 Pitchfork Ranch Field and is the primary producing

1 objective that we hope to encounter in our proposed
2 work.

3 This particular cross section is running
4 from west to east; west on the left, east on the
5 right. It starts in the main body of the field and
6 goes east through the well to the north of our
7 proposed location, the HNG-Moore 34 No. 1, and
8 pinches way off to the east in a dry hole.

9 You can see in here, these wells -- this
10 well to the east is an 11-12 BCF well as current cum
11 will show. You can see the quality of the sand in
12 that well.

13 Q. Mr. Dicey, you said "that well to the
14 east."

15 Is that well to the west?

16 A. To the west, I'm sorry.

17 Q. And you are referring to the first well
18 on the cross section on the left-hand side?

19 A. That is correct, and the Madera 33 No. 1.

20 The sand in that well, as we are moving
21 eastwards this time, going through the wells, you
22 can see the quality of the sand doesn't really
23 change very much. In fact, in the Moore 34 No. 1,
24 you can see we have a very thick section of sands
25 very similar to the HNG Madera 33 No. 1, which

1 produced at a level of 12 BCF.

2 As we move up the cross section, other
3 potential zones we will hope to encounter in here,
4 two I will have to come back to on the other cross
5 section.

6 The next one up is the Warren Sand. That
7 shows on the next cross section. We have a 4-foot
8 sand indication in the Moore 34 No. 1. We think
9 we're on the edge of a sand body there.

10 We then have a very spectacular looking
11 sand in what's been called the A Sand section in the
12 Morrow again. This sand looks very similar to a
13 sand in the HNG-Warren 3 No. 1, which, as of yet,
14 hasn't been tested, but gave a very substantial kick
15 when drilling down and it's been high priced
16 currently to what is producing from deep formations.

17 Moving up the road, we come up into the
18 Atoka series. You can see this very thin sand --

19 Q. Mr. Dicey, when you refer to the Atoka,
20 is that covered in blue on your cross section?

21 A. No, sir. The difference in colors in the
22 cross sections, yellows are indicating sand
23 formations, blues are indicating limestone
24 formations.

25 There's a slight difference in blue color

1 for what we call the Atoka Bank, and I'll come to
2 that in a minute.

3 But this Atoka Sand in here is very thin
4 sand and looks very prolific. The best one of the
5 field, it was the first one that HNG completed in
6 that sand, the HNG Pitchfork 34 State Com. No. 1, I
7 think it was. As you can see, it's got like 6 or 8
8 foot of sand in this well, has currently produced at
9 7-and-a-half BCF, I believe, and is still producing
10 3-and-a-half million cubic feet of gas per day.

11 It should be noted at this instance this
12 well is in the western half of Section 34.

13 The next well that was drilled -- I'm
14 sorry -- the next well that was completed in the
15 Atoka Sand for HNG Enron was a well three miles away.
16 That well had already seen considerable pressure
17 depletion because of the drainage from this well.

18 Now, our proposed location is merely a
19 half mile to the east of this. We feel we have sand
20 in that half section primarily because we know there
21 is sand to the east. Way east, we know there is a
22 trend as we go to this Pitchfork 36 well. We have
23 4-foot sand in there.

24 In the Moore 34, No. 1, we find there is
25 a 3-foot trace of sand in that well, and we feel

1 there's a good chance we will see some sand in a
2 good proportion of the east half of Morrow Section
3 34.

4 Q. Mr. Dicey, when you have a 3-foot sand
5 section, can the well be a pretty good well with
6 that kind of sand thickness?

7 A. In different places, yes, sir, it can.
8 In this instance, we didn't see -- I say "we," I'm
9 meaning HNG when we drilled this -- we didn't see a
10 gas kick at that time.

11 I don't really want to go into details
12 about the chronology of what happened when we
13 drilled. I'll leave that to Mr. Broten when he
14 testifies and he can tell you what happened going
15 down with the mud log. But, essentially, we see a
16 trace of sand in there. It's obviously tight and
17 not producible in this well, but we feel we are on
18 the leading edge of a sand body which covers at
19 least the southeast quarter and a portion of the
20 northeast quarter of Section 34.

21 I would like to emphasize at this point
22 that the Pitchfork 34 No. 1 was drilled and
23 completed in 1983, if I recollect correctly. And
24 although the Moore 34 was drilled a year later, no
25 other attempt has been made to complete in the Atoka

1 Sand east of the Pitchfork 34.

2 Now, with consideration to drainage, that
3 we see pressure depletion in a well three miles to
4 the west, we feel that it is probably quite
5 reasonable to suppose we're going to see drainage to
6 maybe three miles to the east if that sand continues
7 that far.

8 Therefore, I would suggest that this well
9 has been draining. The east half of Pitchfork 34
10 has been draining considerably those lands under the
11 east half of Section 34, and that, in the time
12 period from these two wells being drilled, no
13 attempt by Enron has been made to produce the Atoka
14 Sand on those lands, i.e. protecting the correlative
15 rights for all people in the east half of Section 34.

16 Q. When you say "this well," I want to make
17 sure --

18 A. Each time I've been saying "this well,"
19 I'm sorry, I'm meaning the HNG Pitchfork 34 No. 1.

20 Q. Where is that located?

21 A. At the standard location, 1980 from the
22 south line, 660 from the west line of Section 34 as
23 a west-half standard proration unit.

24 Q. Okay. Would you continue with your
25 explanation, or are you done with that?

1 A. I'm pretty well done with that one. Let
2 me go to Exhibit No. 6.

3 Exhibit No. 6, this time, is the same
4 type of cross section. It runs north-south this
5 time instead of east-west, north being on the
6 right-hand side of the cross section, south being on
7 the left.

8 Again, we show the Morrow C Sands, the
9 primary producing zone. But in this instance, there
10 are a series of channel sands which are higher in
11 the section than the Morrow C Sand which runs about
12 north-south, and that's what we're trying to show in
13 this cross section, one of them being what's been
14 called the Sinatra Sand. It's this sand in here
15 running east-west.

16 We see Page 3 No. 1 in Section 3 to the
17 south -- I'm sorry, right there, and it is a very
18 prolific well in this sand.

19 Going north, we see only a very slight
20 trace of this sand. In fact, it's probably somewhat
21 cherty. Again, we feel we may be on an edge to this
22 sand. We feel these sands are running north- south.

23 Higher up in the section, we have what's
24 been called the Warren Sand. This is the sand I
25 remarked on as looking very similar to this A Sand

1 that we see in the Moore 34 No. 1, very similar in
2 character. This one hasn't been completed yet, but
3 it had a very high pressure kick when we drilled
4 down into it. We feel it's productive. Currently
5 the Warren 3 No. 1 is completed downhole in the C
6 Sand.

7 We see a trace of this sand into the well
8 to the west or northwest Enron Page 3 No. 1, and we
9 see a 4-foot zone of the Warren Sand in the Moore 34
10 No. 1.

11 Again, we feel we're on the edge of a
12 sand body with this. Furthermore, as Mr. Broten
13 will testify, we saw a gas kick when we were
14 drilling down into it.

15 Again, I come back to this A Sand, which
16 we see in here. I don't think that needs any
17 explanation.

18 Again, we have the Atoka Sand, as it's
19 drawn in across this cross section.

20 And the highest section of all producing
21 formations in the Pennsylvanian, which we are
22 concentrating on, is this Atoka Bank series, which
23 is very productive to the north in Antelope Ridge.
24 There is a series of limestone banks, one laid on
25 top of the other.

1 These units come and go very quickly.
2 What we found here is that in drilling a well
3 specifically for the Atoka Sand, we inadvertently
4 came across this zone, a very porous zone, in one of
5 these Bank units.

6 Q. Where was that, Mr. Dicey?

7 A. This was the Page 3, No. 2, just south of
8 where we're looking in Section 3. It had -- this
9 was the last well to be drilled into the Atoka Sand.

10 The Atoka Sand was showing very
11 significant depletion at that stage. This limestone
12 unit shows essentially virgin pressure for the Atoka
13 and is believed, therefore, to be potentially
14 prolific.

15 But, in the same instance, it is the only
16 well that has shown significant porosity in these
17 Bank units. There are little bits and pieces here
18 and there. There is one marked right here at Page 3
19 No. 1 to the south and other bits and pieces
20 throughout the field, but nothing that is worth
21 anything.

22 Hence, it was one of our objectives, when
23 we first proposed a well in Section 34, to,
24 hopefully, encounter this zone essentially to
25 increase our economic profile in drilling this well

1 to be as close to this well as we possibly could.

2 That's why we had the unorthodox location.

3 However, since we came -- since that time,
4 we gained access to the mud log for the Moore 34 No.
5 1, found that the -- there was actually more gas in
6 that well when we drilled than we had originally
7 anticipated.

8 We felt this well had essentially been
9 damaged when it was drilled. That's why we were
10 interested in a prospect on that east half.

11 We didn't realize how much gas there was
12 actually in that well. And we felt that Morrow, as
13 it was our primary objective, we should make the
14 best location, and, therefore, we went back to the
15 standard location. That's the geologic reason for
16 our location change.

17 Q. Mr. Dicey, in the Antelope Ridge, how far
18 do these Atoka Banks extend?

19 A. Very shortly. Sometimes they go from one
20 to two locations. Sometimes you go from one
21 location to the next and not get a darn thing. You
22 can have a real prolific well next to essentially a
23 dry hole.

24 Q. What well control do you have for that
25 Atoka Bank north of the proration unit?

1 A. None whatsoever. It's a one-well feature,
2 essentially. We can come in here and look at the
3 bank unit as a whole. But as far as this particular
4 bank formation is concerned, this particular net
5 unit, we've only got the one well to deal with.
6 There is no telling where it goes.

7 All we can tell is it essentially is
8 nowhere else in the Pitchfork area, unless you go
9 way over to the west, and then there is a well over
10 to the west that has a porous zone.

11 Q. How far west?

12 A. About 4 miles to Section 29. I think
13 it's the Marshall 29 No. 1, something like that. I
14 don't remember what the exact name of the well was.

15 Q. Mr. Dicey, why are these cross sections
16 important in your presentation?

17 A. This area is very difficult to correlate
18 in terms of which units go where. You have multiple
19 cycles of deposition of limestone and sands, and
20 it's very easy to get off on one of those cycles.

21 With cross sections, it tends to keep
22 people honest. You can make a map on essentially
23 anything. But if you make it from a cross section
24 and make sure everything correlates correctly, there
25 is no way you can miscorrelate something or leave

1 something out.

2 Q. Are your maps based on your findings from
3 these cross sections?

4 A. Absolutely.

5 Q. Are you ready to go on now to your maps,
6 Mr. Dicey?

7 A. Yes, sir.

8 Q. Let me hand you what we have marked as
9 Exhibit No. 7 (indicating).

10 A. Thank you. Why don't you give me No. 8,
11 too, while you are there?

12 Q. I will just hand you 7 through 13
13 (indicating).

14 A. All right. Thank you.

15 Q. What does Exhibit No. 7 show, Mr. Dicey?

16 A. Exhibit No. 7 shows the Morrow C Sand,
17 which I pointed out on the cross sections as being
18 the main objective in the Pitchfork Ranch Field.
19 There are two maps, one overlaid on the other. The
20 background map is a gross isopach showing all the
21 sands present in each of the wells.

22 The colored map is a net sand isopach
23 using a 6 percent porosity cutoff. This essentially
24 shows or tries to show the best zones to drill for
25 in this sand, where the thickest parts of the

1 productive zone are.

2 Exhibit No. 8 is a structural map hung on
3 a shale marker immediately above the Morrow C Sand
4 section, and shows the structural picture for this
5 sand system.

6 Q. Mr. Dicey, in relation to your cross
7 sections, you are coming from the bottom up. Is
8 that correct?

9 A. That is correct.

10 Q. And your maps -- the first map is going
11 to show the Morrow C Zone and then the --

12 A. Then we'll go up the cross section to the
13 higher sands and higher units.

14 Q. Okay. What else do you have to tell us
15 concerning Exhibit No. 7?

16 A. That the east half of Section 34 has a
17 nice looking net porosity load of potentially
18 productive sand on it.

19 It was tested by the HNG Moore 34 No. 1,
20 but we believe that the formation was damaged by
21 heavy mud and lost circulation material, and could
22 not be completed as a commercial well.

23 We believe that this sand being under the
24 east half of Section 34, under all of the east half
25 of Section 34 is potentially productive for the

1 whole of the east half of Section 34, and that the
2 Moore well does not condemn that unit.

3 Q. What else do you have concerning that
4 exhibit, or do you want to go to Exhibit No. 8 at
5 this time?

6 A. Let me think. Oh, let me point out one
7 other feature of this map.

8 The red dots on here or the wells marked
9 in red are producers in the C Sand. Half circles in
10 red indicates wells that had good shows, were
11 attempted, completed or whatever. That's all I have
12 for these two exhibits.

13 Q. Let's go on to Exhibit No. 9, then, and
14 have you identify that for the Commission and tell
15 us what it contains.

16 A. Okay. This is the next zone up, higher
17 than the C Sand. It's what we have loosely called
18 the Morrow Sinatra Sand series, and it is a series
19 of at least two sand bodies essentially almost on
20 top of each other.

21 We see these sands as trending north to
22 south as they were deposited by channels moving
23 north to south. You can see on here differences in
24 colors, the coloring indicating gray being thinnest,
25 yellow being thickest sections of net porous sand,

1 greater than 6 percent.

2 Q. In relation to your proposed unit, how
3 does the sand -- or to your proposed well, to the
4 actual location itself, how does the sand thickness
5 compare or show in your exhibit?

6 A. It shows that there is a good chunk of
7 sand in this series in the east half of Section 34
8 covering at least three-quarters of the east-half
9 proration unit.

10 Q. Would that make the entire east half
11 reasonably capable of production from this sand?

12 A. Yes, sir.

13 Q. Go on with your testimony or your
14 description of that exhibit.

15 A. Again, the wells with red marks on them
16 are wells in which there is gas production from this
17 sand.

18 Q. Are you ready to go to Exhibit No. 10 now,
19 Mr. Dicey?

20 A. Yes, sir.

21 Q. Okay.

22 A. Exhibit No. 10 is another channel sand
23 again coming essentially from north to south. It is
24 what we've called the Morrow Warren Sand series.
25 This map is made with a net porosity cutoff of 8

1 percent.

2 Again, it shows variations in thickness
3 of the sand from gray, being thinnest, to hot red as
4 being the thickest.

5 There is one well which has that very
6 thick sand. I show it on the cross section which
7 was Exhibit No. 6, which is the well on the most
8 southern end. It shows a very strong sand section
9 in that well. You can see it is in the south here,
10 in the south half of Section 3, as indicated by a
11 red half star as having a good show while drilling.

12 Going to the Moore 34 No. 1, we found we
13 have a 4-foot net sand greater than 8 percent.
14 Again, we had a gas increase when we were drilling.
15 We feel we're on the edge of one of these channels
16 moving south.

17 CHAIRMAN LEMAY: Excuse me. Could you
18 hold up Exhibit 10?

19 THE WITNESS: I'm sorry sir, (indicating).

20 CHAIRMAN LEMAY: Okay. That's marked
21 Exhibit 11 on this one. Thank you.

22 BY MR. PADILLA:

23 Q. Mr. Dicey, you mentioned one of the wells
24 that had a good showing that was shown on the cross
25 section. Can you go down and show us where that

1 well is?

2 A. Certainly. This is the Warren 3 No. 1.
3 You can correlate that sand all the way up to the
4 Moore 34 No. 1, where we had that 4-foot sand and
5 the gas increase (indicating).

6 That's all I have for that exhibit.

7 Q. Okay. Can you go to Exhibit No. 11,
8 please. Please show the Commission what exhibit
9 that is.

10 A. Yes, sir, Exhibit No. 11 is this one
11 (indicating). It's the next sand body up in the
12 section. You can see it on Exhibit No. 6. It's
13 this unit right in here (indicating).

14 Again, there are two maps superimposed on
15 each other. The background map is a gross map
16 showing total thickness of sand. The colored map is
17 where we see a porosity greater than 8 percent,
18 again, hopefully, showing potentially productive
19 zones within that sand.

20 The gray is the thinnest part of that net
21 sand. The bright yellow is the thickest.

22 Because of the thicknesses we saw in the
23 Pitchfork 34 No. 1 to the west and the Moore 34 No.
24 1 to the north, we feel we have a very good chance
25 of a very thick, productive sand in our location in

1 the east half of Section 34.

2 Q. Let me see if I understand your testimony.
3 In terms of the proposed location, you are saying
4 that the sand is good sand?

5 A. That's correct, it's an optimum location
6 for that sand.

7 Q. At the standard location?

8 A. That's correct.

9 Q. What else do you have concerning that
10 exhibit?

11 A. Nothing that comes to mind.

12 Q. Okay. Let's go on to Exhibit No. 12,
13 then. Would you show that to the Commission so that
14 we're talking about the same thing (indicating)?

15 A. (Indicating.)

16 CHAIRMAN LEMAY: Got it.

17 THE WITNESS: Exhibit No. 12 is a net
18 porosity isopach map made on that Atoka Sand, that
19 thin sand which I showed you on both the exhibits
20 Nos. 5 and 6, this sand up here (indicating).

21 It shows that that sand is indeed very
22 extensive, but relatively thin. Nowhere does it get
23 more than 12 feet that we found.

24 The HNG Pitchfork 34 Fed. Com. No. 1 to
25 the west of the section, Section 34, is the best

1 well in the field -- in this -- producing from this
2 sand within the field. It has cumed, as far as I
3 can recollect, about 7-and-a-half BCF from the sand
4 and is still producing at 3-and-a-half million a day.

5 As you can see from this map, we see a 3-
6 foot trace of sand in the Moore 34 No. 1. We feel
7 we are on the leading edge of a sand body and that
8 we have potential production at our proposed
9 location.

10 BY MR. PADILLA:

11 Q. Mr. Dicey, in looking at all of the
12 proration units in this area that you have been
13 talking about, are there any non-standard proration
14 units in the Morrow or the Atoka?

15 A. No, sir. All the wells which HNG and
16 Enron have drilled in the Pitchfork Ranch Field were
17 all standard proration units, all 320's, either lay-
18 down or stand-up. All the well locations were
19 standard, legal locations within those proration
20 units.

21 Q. Mr. Dicey, in your description of the
22 geology of this area, are these formations
23 homogeneous throughout every one of these proration
24 units?

25 A. No, sir, they vary quite considerably.

1 Q. I take it that it's not unusual to see
2 some proration units that are not fully productive,
3 necessarily, but can be shown by geology?

4 A. That is correct.

5 Q. Does this exhibit illustrate that?

6 A. Yes, sir. The way we have the net --
7 this particular map you can see that in the
8 northwest quarter of Section 34, that indeed we have
9 the 2-foot line and the zero line running through
10 this, so that we see essentially no sand in part of
11 the northwest quarter of Section 34.

12 Q. How about other proration units, as shown
13 on that map?

14 A. In Section 33, the west half, we don't
15 have the zero line going through there, but less
16 than 2 foot of sand exists in the northwest quarter.
17 I don't know how productive 2 foot of sand may be or
18 less than 2 foot, I should say.

19 Q. No distinction has been made in these
20 proration units to exclude acreage?

21 A. These were all developed on 320 standard
22 proration units.

23 Q. Are they all standard locations, as shown
24 on that exhibit?

25 A. Yes, sir.

1 Q. What else do you have to tell us concerning
2 that particular exhibit?

3 A. Just to comment yet again that all the
4 Atoka Sand producers in the field are the wells
5 marked in red.

6 Q. Let's go on to Exhibit No. 13 and have
7 you identify that. What is that, Mr. Dicey?

8 A. This is a structure map made on the base
9 of the Atoka carbonate marker. It's where I've hung
10 both of these cross sections to show the structural
11 picture that we're implying on this stratigraphic
12 cross section, this marker right in here above the
13 sands.

14 Making this map is to give a structural
15 indication of what the sands in the Atoka are doing
16 or, indeed, the rest of the Atoka, for that matter.

17 Q. What are the rest of the wells doing in
18 the Atoka?

19 A. In terms of production?

20 Q. Yes, sir.

21 A. Fair to poor. A lot of the -- the best
22 well in the field, as I said, is the HNG 34 No. 1 to
23 the west. It's still producing at 3-and-a-half
24 million per day, as far as the most recent
25 production books show.

1 However, the other wells are essentially
2 producing under a million cubic feet of gas a day,
3 essentially. They have all been drilled since this
4 34 Well.

5 Q. What would you expect to obtain in the
6 Atoka Formation at your location?

7 A. I would expect a thick sand, but I expect
8 it to be dramatically depleted by the well in the
9 western half of Section 34 and, indeed, the well on
10 the northern half of Section 3.

11 Q. Did that have anything to do with your
12 decision to place the well at the location that you
13 are proposing?

14 A. No, sir. The reason for the location we
15 have right now is because we think we have a very
16 good chance of a prolific well in the Morrow
17 formation and that the Atoka is a very secondary
18 formation right now.

19 But, in the same instance, we feel we do
20 have productive Atoka Sand under a good proportion
21 of the east half and that we would request our
22 rights to go and produce that gas.

23 Q. In terms of evaluating what your primary
24 target is going to be, that is Morrow or Atoka, did
25 the well in the southwest quarter of Section 34 have

1 any contribution towards making that decision?

2 A. It had some contribution, because it
3 encountered some of those zones in it. Indeed, we
4 think that because that well was drilled with heavy
5 mud, that those formations were indeed very heavily
6 damaged.

7 Q. In terms of the depletion that you spoke
8 about before, did that have any influence concerning
9 the decision to go to the Morrow?

10 A. No, sir.

11 Q. Okay.

12 A. No.

13 Q. Still, the Morrow is your primary target?

14 A. Absolutely.

15 Q. Mr. Dicey, do you have anything further
16 concerning your testimony?

17 A. Not that I can think of.

18 MR. PADILLA: Mr. Chairman, we tender
19 Exhibits 5 through 13, and we keep in mind that
20 we've omitted No. 4.

21 CHAIRMAN LEMAY: Those exhibits will be
22 admitted into the record without objection.

23 (Whereupon, MIDLAND PHOENIX

24 EXHIBITS 5 through 13 were admitted
25 into evidence.)

1 CHAIRMAN LEMAY: I'd like to take a break
2 at this point. Would that be acceptable? We'll
3 take a 15-minute break.

4 (Whereupon, there was a brief
5 recess taken.)

6 CHAIRMAN LEMAY: We shall resume. Are
7 you through with the record, Mr. Padilla?

8 MR. PADILLA: Yes, sir, I was.

9 CHAIRMAN LEMAY: The exhibits are entered
10 into the record.

11 Mr. Carr?

12

13 CROSS EXAMINATION

14

15 BY MR. CARR:

16 Q. Mr. Dicey, what is your current position
17 with Midland Phoenix?

18 A. I'm President of Midland Phoenix
19 Corporation.

20 Q. And prior to becoming President of
21 Midland Phoenix, you were with Enron Oil & Gas?

22 A. That is correct.

23 Q. How long were you with Enron?

24 A. Nearly six years.

25 Q. What positions did you hold while with

1 Enron?

2 A. When I started with HNG on January 1st,
3 '83, I started as Senior Geophysicist and progressed
4 to District Geophysicist, to Division Geophysicist
5 and to Acting Exploration Manager.

6 Q. When did you become Acting Exploration
7 Manager?

8 A. March or April of 1988.

9 Q. Working in these various positions, they
10 were basically geological or geophysical in
11 character? Is that a fair characterization?

12 A. Yes, sir.

13 Q. In working with Enron, did you have
14 occasion to work with Mr. Hodges?

15 A. Absolutely.

16 Q. Do you work with him today in Midland
17 Phoenix?

18 A. That is correct.

19 Q. Who is Mr. Hodges?

20 A. The gentleman sitting behind you.

21 Q. What does Mr. Hodges do?

22 A. He finds oil and gas.

23 Q. What are his credentials? Is he an
24 engineer? Is he a geologist?

25 A. He's a geologist by training.

1 Q. And Mr. Hodges' name appears on a number
2 of the exhibits that you presented here today; is
3 that correct?

4 A. That is correct.

5 Q. In fact, many, if not all, of the isopach
6 maps of the area bear his name and not yours?

7 A. That is correct.

8 Q. The reason for my question is I want to
9 be sure that we know who he is and that he works
10 with you. Is that right?

11 A. Yes, sir.

12 Q. Did he actually prepare these exhibits?

13 A. Yes, sir.

14 Q. Have you reviewed them independently?

15 A. Yes, sir.

16 Q. Can you testify to their accuracy?

17 A. Yes, sir.

18 Q. Have you worked with him in a geological
19 capacity over the last six years?

20 A. Yes, sir.

21 Q. You have come to respect and trust his
22 judgment?

23 A. That is correct.

24 Q. Mr. Broten, is he also a geologist with
25 Midland Phoenix?

1 A. That's correct.

2 Q. Did you work with him previously in Enron?

3 A. Yes, sir.

4 Q. Did he have any input or any involvement
5 in the preparation of Exhibits 7 through 12?

6 A. Some input. We talk amongst ourselves in
7 terms of the kind of picture we're doing or
8 geological modeling or whatever.

9 Q. Did you also take that approach,
10 basically, when you were working at Enron?

11 A. We tried our very best to. It became
12 very difficult.

13 Q. But that was basically the approach that
14 you took?

15 A. Yes, sir.

16 Q. I noticed on some of the exhibits with
17 Enron that were submitted at the prior hearing that
18 we had, your initials and Mr. Hodges' and Mr.
19 Broten's?

20 A. Yes, sir.

21 Q. You haven't used that same approach, I
22 guess, in identifying the exhibits that you have
23 prepared here today?

24 A. How do you mean?

25 Q. Well, if we look at Exhibit No. 7 --

1 A. Well, because Mr. Hodges essentially did
2 all the work in putting that map together, and the
3 maps for Enron, and I'm sure you will have them out
4 in a minute, they are a compilation of work done
5 over about five or six years since, essentially, the
6 field was discovered by as many geologists.

7 Q. Is it fair to say that Mr. Hodges is the
8 primary person who prepared Exhibits 7 through 12?

9 A. Yes, sir.

10 Q. Now, I believe you indicated that, in
11 your opinion, the Pitchfork 34 Well in the west half
12 of 34 was draining the Atoka reserves from under
13 that section?

14 A. Yes, sir.

15 Q. Following the drilling of that well, HNG
16 drilled its Moore 34 in the northeast of that
17 section; is that correct?

18 A. That's correct.

19 Q. If I understood your testimony concerning
20 the Atoka in the 34, there was no showing in the
21 Atoka in that well; is that correct?

22 A. That's correct, no gas show.

23 Q. There has been no other effort, if I
24 understood your testimony, to attempt to complete a
25 well in the east half of Section 34?

1 A. In the Atoka, that's correct.

2 Q. Were you attempting to suggest that there
3 was something that had been done imprudently by an
4 additional well not having been drilled on that
5 acreage?

6 A. There is that suggestion.

7 Q. In your role as Exploration Manager and
8 District Geophysicist and all, you would have been
9 in a position, while with Enron, to recommend an
10 additional well be drilled, would you not?

11 A. In my last half year, yes.

12 Q. And you didn't make such a recommendation,
13 did you?

14 A. Not over the last months I was with Enron, no.

15 Q. Now, if we go to your Exhibit No. 5,
16 which is a cross section, and I can't read these
17 logs; I will tell you that.

18 A. Okay, this is 5.

19 Q. If we look at that, I believe you
20 testified that your primary objective or a primary
21 objective was the C Zone --

22 A. That is correct.

23 Q. -- in the proposed well. Is the log for
24 the Moore 34 shown on Exhibit No. 5?

25 A. Yes, sir.

1 Q. In that well, what kind of a log is that?

2 A. That's a CNL neutron density log. It's a
3 porosity log.

4 Q. Does it show permeability?

5 A. No, sir.

6 Q. So what we can gain from this is the
7 appearance of porosity in the C Zone in the No. 34
8 Well; is that correct?

9 A. That's correct.

10 Q. This well was tested, was it not, by
11 Enron?

12 A. Yes.

13 Q. And it was determined to be tight, was it
14 not?

15 A. No, sir.

16 Q. It was not?

17 A. It flowed 1.75 million cubic feet of gas
18 a day, decreasing to about 200,000. It gave the
19 appearance of being tight. We believe that because
20 of excessive lost circulation, material, as with the
21 introduction of heavy oil-inverted mud, 13.3
22 pounds-per-gallon mud while drilling through the C,
23 essentially damaged the C Sand Formation and changed
24 its permeability.

25 Q. You believe that it is capable of

1 completing a producing well in this well bore in the
2 C Sand?

3 A. Not now, no, because the formation has
4 been damaged around the well bore. In fact, we did
5 consider, at one time, is it sensible to go back
6 into the Moore 34 Well to recomplete it?

7 But, No. 1, we believe the formation has
8 been damaged near the well bore and is essentially
9 not retrievable.

10 No. 2, because the well was set up to
11 drill an Atoka test and not for the Morrow, the
12 whole casing program is skinnied down and this whole
13 section was drilled with essentially a skinny bit, a
14 4-and-three-quarter-inch bit, making it relatively
15 difficult to deal with. There are a lot of
16 problems. Certainly, as far as re-entry is
17 concerned, it's probably impossible to deal with.

18 Q. So, based on the way the well was drilled,
19 you concluded it isn't capable in this well for
20 completing a producing --

21 A. Not as a re-entry, no.

22 Q. The A Sand is also an objective, is it
23 not?

24 A. That is correct.

25 Q. If we look at the A Sand -- and I think

1 you had a log of the -- is the 34 Moore Well also on
2 No. 6?

3 A. Yes, sir.

4 Q. Your testimony indicated, I think, that
5 you felt that in the A Zone you were located
6 basically on the edge of the sand body?

7 A. Not in the A Zone, no.

8 Q. How are you positioned in that?

9 A. Not centrally, but pretty well inside it,
10 yes.

11 Q. Was an attempt to complete made by Enron?

12 A. Yes, sir.

13 Q. Were they able to complete a well?

14 A. Very similar to the C Sand, it came on
15 under 2 million a day and decreased rapidly. For
16 the same reason, this whole interval right from
17 where we set casing at 13 whatever it was,
18 intermediate right to TD, was exposed to heavy mud
19 and lost circulation material.

20 We don't know where that mud or lost
21 circulation material went to. All we know is that
22 each of these sands was exposed to it and had
23 potential damage.

24 We know the A Sand has a potential clay
25 problem and is going to be more sensitive maybe even

1 than the C Sand to that kind of business.

2 Q. And you say that there was a potential
3 for damage because of the way the well was completed?

4 A. Because of the way it was drilled, yes.

5 Q. And that the only way you're going to
6 find out whether or not this Bank Formation can
7 produce --

8 A. Yes, sir.

9 Q. -- or not is to drill another well; is
10 that --

11 A. Yes, sir.

12 Q. -- correct?

13 A. Yes, sir.

14 Q. We've got to talk at different times for
15 the Reporter. I'll wait for you to answer and if
16 you will wait for my questions, we'll do all right.

17 Where were we? I think, Mr. Dicey, that
18 I had asked you whether or not -- to determine
19 whether or not you could produce reserves in these
20 zones because of the possibility of damage as a
21 result of the way the No. 34 was drilled, and it was
22 your opinion that a new well had to be drilled?

23 A. Yes, sir.

24 Q. And you are proposing a new well in the
25 southeast quarter or the northwest quarter of the

1 southeast quarter of 34?

2 A. Yes, sir.

3 Q. And that is actually on the Enron lease?

4 A. It's on our lease now, too.

5 Q. But it is on the acreage that is covered
6 by the operating agreement?

7 A. Well, that is true. Let me change that a
8 little bit. We have a farmout covering that.

9 Q. Covering 8 percent interest?

10 A. That is correct.

11 Q. Now, if we look at the Atoka, if I also
12 understood your testimony, as you have continued to
13 work this prospect, it has become a less attractive
14 potential zone. Is that right?

15 A. I don't know about less attractive. As
16 far as the Atoka Sand is concerned, there are
17 reserves there still to be produced out of the east
18 half, even though maybe the 34 has drained it quite
19 excessively.

20 Now, if we are talking about the Atoka
21 Bank, that is an unproven unit. All I can say is
22 that when the Page 3 No. 2 was drilled into it, it
23 had a gas kick with essentially virgin Atoka
24 pressure of about 10,000-plus pounds, showing it to
25 be a potentially very prolific reservoir.

1 But there is no well that produces in
2 this immediate area. It's the only well that has
3 had a net porosity in that zone unless you go way up
4 to Antelope Ridge. Then you are looking at very
5 similar zones, and those zones are quite prolific up
6 there.

7 Q. But it is a secondary --

8 A. It is a secondary --

9 Q. -- consideration?

10 A. It is a secondary consideration. That is
11 correct.

12 Q. We've got to keep the answers and
13 questions off of each other or the Court Reporter
14 can't get them.

15 A. Oh, I'm sorry.

16 Q. Did you, at any time while you were
17 working with Enron, express displeasure with how
18 they drilled or completed any of the wells in this
19 area?

20 A. It had been a thought -- yes.

21 Q. Did you express any concern about how the
22 No. 34 Moore Well had been drilled and completed?

23 A. It had been discussed at different times
24 in conjunction with the Pitchfork 34, which every
25 now and again was discussed in terms of formation

1 damage, yes.

2 Q. Did you ever suggest that an additional
3 well should be drilled on the northeast quarter of
4 34?

5 A. It was suggested to us by other parties,
6 but I did not.

7 Q. And you did not recommend that to
8 management?

9 A. No, sir, I did not.

10 Q. Let's take a look at the plats that have
11 been prepared by Mr. Hodges that you have testified
12 from. I'd like to have --

13 A. Hang on a minute.

14 Q. All right. And I think I'd like to work
15 through 7 through 12. I just want to be sure I
16 understand the basis of your interpretation.

17 A. Yes, sir.

18 Q. The first question, Mr. Dicey, is what
19 information was actually utilized in preparing these
20 exhibits?

21 Did you use well control in some of those?

22 A. Solely well control. That is correct.

23 Q. You did not integrate seismic into these
24 presentations?

25 A. No. We don't have access -- Enron has a

1 large data base of seismic data, a lot of it
2 proprietary information across the field.

3 The field was originally discovered using
4 an integration of seismic data and subsurface data,
5 and was certainly developed using seismic data.

6 But we don't have access to that, so we
7 can't use it. All we can use is the information we
8 have at hand, which is old well information from our
9 local libraries.

10 Q. So the answer is you used well control
11 data only in preparing these exhibits?

12 A. That is correct.

13 Q. If you look at Exhibit No. 7, what well
14 control data do you have actually north of the Moore,
15 the dry hole, and the northeast of 34? What control
16 data do you have for placing the contours in the
17 Morrow C Sand?

18 A. In which section?

19 Q. I'm talking about --

20 A. Section 27?

21 Q. I'm asking you to focus on Section 34.

22 A. Yes.

23 Q. You've got a proposed location in the
24 east half?

25 A. Yes.

1 Q. And you've got one well north of that
2 being simply the Moore 34?

3 A. Yes.

4 Q. Do you have any other control north or
5 east of that that you have utilized in constructing
6 these contours?

7 A. Yes, sir. There are two wells in Section
8 27, the BTA Well and the Southland Royalty Well, and
9 there's a well in Section 36 to the east.

10 Q. That the Pitchfork 36 --

11 A. 36 State No. 1.

12 Q. -- State?

13 A. That is correct.

14 Q. And that Pitchfork State was a dry hole;
15 is that correct?

16 A. That is correct.

17 Q. And the well in the southwest quarter of
18 27 was dry, was it not?

19 A. Yes.

20 Q. What about the BTA No. 1 just north and
21 west of that?

22 A. It is a producer.

23 Q. It's in the C Zone; isn't that correct?

24 A. Yes.

25 Q. So that is the closest producing well in

1 the C Zone?

2 A. Probably the 33 No. 2 is the closest one,
3 about a mile to the west.

4 Q. But north of you and east of you, that is
5 the closest producer north of you?

6 A. Well, going directly north, yes.

7 Q. So then what we have is that is the only
8 producing well in the C Zone north of the proposed
9 location or east of the proposed location?

10 A. Yes, sir.

11 Q. If we go to the structure map again, this
12 is just well control data. This is Exhibit No. 8;
13 is that correct?

14 A. Yes, sir.

15 Q. And then on to Exhibit No. 9, this is an
16 isopach map of the Sinatra Sands. Isn't that
17 correct?

18 A. No. 9, yes, sir.

19 Q. Again you used well control data. Is
20 that right?

21 A. Yes, sir.

22 Q. Can you tell me why, on this exhibit, you
23 did not elect to utilize the data on the HNG
24 Pitchfork 36 State Well over in Section 36?

25 A. We didn't draw it on there. We think

1 there is a potential bar in evidence. See, there is
2 a big fault over to the east of the field here, as
3 you can see on this exhibit. And the only well that
4 tested on the down side of that fault is the 36 No.
5 1.

6 So it's very difficult to tell where the
7 sands are going from that well. Really, I'm not
8 very keen on encouraging people to make maps on one
9 well control.

10 Q. Now, I think what I'd like to do at this
11 time, Mr. Dicey, is ask that you refer to what has
12 previously been admitted in this case as Enron's
13 Exhibit No. -- was admitted at the Examiner level as
14 Enron Exhibit No. 20 and was incorporated today into
15 the record.

16 You are familiar with this exhibit, are
17 you not (indicating)?

18 A. Yes, sir.

19 Q. This is, in fact, an isopach map on the
20 Morrow Sinatra Sand series. Is that what it is
21 entitled?

22 A. That is correct.

23 Q. And your Exhibit No. 9 is also an isopach
24 map on the Morrow Sinatra Sand sections; is that
25 correct?

1 A. That is correct.

2 Q. Now, if I look at the dates on Exhibit
3 No. 20, it appears that the last revision indicated
4 was February, I believe, it's the 17th, 1988. Is
5 that right?

6 A. Yes, sir.

7 Q. Now, after February 17, 1988, were any
8 additional wells drilled in the immediate area that
9 would affect your interpretation of the Sinatra Sand
10 series?

11 A. There are some wells to the south of the
12 field which have influenced our use of geologic
13 models for interpreting this sand.

14 It must be borne in mind that this map
15 was made, as I say, and the next one you are going
16 to bring out, as a compilation of maps made by up to
17 five or six different people.

18 Because of the pressure involved in Enron
19 or became involved in Enron, any one of the later
20 people who updated these maps did not have time to
21 go back and check every well that went into the
22 original map. So things like the Moore 34, for
23 instance, particularly as it was considered to have
24 no sand on this map, would not have been
25 reconsidered for looking back.

1 Generally speaking, for somebody to pick
2 zero sand, it means it's got railroad tracks.

3 Now, as it happens the Moore 34 was about
4 the fifth well drilled in the field. And our
5 knowledge of how the formations lie on top of each
6 other, how the stratigraphy is was relatively new at
7 that time.

8 Our interpretations, of course, were with
9 the data we had and has been developed since the
10 drilling of these wells. We drilled 26-odd wells
11 and then on to 32 for the whole field.

12 As we've utilized more information, we
13 get -- we've updated this map. But, like I say,
14 we've never gone back and checked the original wells.
15 We assumed they are correct.

16 Now, since we've become -- left Enron, I
17 mean the people who originally worked on these, we
18 started out with nothing, no maps, no cross
19 sections, no anything, so we've had to come and
20 start this thing from scratch again which involves
21 looking at every single log.

22 Now we find that going back, particularly
23 to the Moore 34, we found that originally the well was
24 miscorrelated; that, in fact, there was an Atoka
25 Sand in there, a little trace of Sinatra Sand in

1 there. And, of course, that's going to influence
2 how we draw it. And, therefore, which I'm sure your
3 next question is going to be, is why our maps are
4 different to these maps.

5 Q. Why don't you give me a chance to ask the
6 question?

7 A. Well, I'll save time.

8 Q. H. C. Hodges' name appears on Exhibit No.
9 20; is that right?

10 A. That's this one (indicating)?

11 Q. Yes.

12 A. Yes, sir.

13 Q. And H. C. Hodges is the man who prepared
14 your Exhibit No. 9; correct?

15 A. Yes, sir.

16 Q. And there's been no new data, nor new
17 wells since --

18 A. There was that BTA Well.

19 Q. Which BTA Well?

20 A. The one in the west half of Section 27.

21 Also, there was the Enron Center Roja (sic) 17 or
22 whatever it was, No. 1, which also influenced how we
23 drew some of these maps.

24 Q. In fact, however, there is nothing that
25 is directly offsetting Section 34, is there?

1 A. Not directly.

2 Q. Nothing closer than the BTA Well?

3 A. That is correct.

4 Q. And if you compare Exhibit No. 20 with
5 the exhibit you presented today, in fact, the
6 exhibit today places the Sinatra Sand over the
7 northeast of 34, and there was none over the
8 northeast of 34 in your prior interpretation?

9 A. That is correct.

10 Q. When you prepared the exhibit today, you
11 didn't take into account the 13 feet of pay in the
12 Pitchfork 36 State Well, and, yet, if you look at
13 the Exhibit No. 20, you have honored that and pulled
14 the Sinatra Sand off of the --

15 A. That is true. It's a bit of artistry in
16 terms of the Enron map.

17 Q. And these are prepared by the same
18 individual; isn't that correct?

19 A. That is correct.

20 Q. Is it fair to say that Exhibit No. 20 was
21 your best interpretation --

22 A. At the time --

23 Q. -- last year?

24 A. At the time with the time available to
25 look at the data involved, yes.

1 But, as I emphasized, we didn't go back
2 and look at every well to make sure that our
3 predecessors, who created a good chunk of these maps,
4 had, in fact, not miscorrelated or had got the
5 picture right with the information they had at the
6 time.

7 Q. And No. 20 only indicates "JRB." Who is
8 that?

9 A. James Broten.

10 Q. "TRD"?

11 A. That's me.

12 Q. And H. C. Hodges?

13 A. That's correct.

14 Q. Exhibit No. 9 was prepared March the 20th,
15 1989. Is that right?

16 A. Draftingwise, yes.

17 Q. And at that point in time, you had
18 already decided to go forward with the east half
19 unit of 34?

20 A. Yes, sir.

21 Q. If we go to your Exhibit No. 10, this is
22 the Warren Sand -- in fact I don't have any
23 questions on this except -- no. I have no questions
24 on that.

25 A. On, okay.

1 Q. I'd like to take you to Exhibit No. 21 --

2 A. What is 21?

3 Q. I'm sorry, Exhibit No. 12. I'm going to
4 hand you what was previously admitted into evidence
5 as Exhibit No. 21 at the Examiner Hearing
6 (indicating).

7 A. (Witness refers to document.)

8 Q. Mr. Dicey, if I understood your testimony
9 earlier today, and correct me if this is wrong, you
10 indicated that, in your opinion, there is little to
11 no gas that is being produced out of the Atoka in
12 the northwest of Section 34; is that correct?

13 A. Yes, sir.

14 Q. Again, we have, marked as Exhibit No. 21,
15 an Atoka carbonate structure map that appears to
16 have been prepared by you, Mr. Broten, and Mr.
17 Hodges with Enron. Is that correct?

18 A. Yes, sir.

19 Q. Looking at Section 34 -- and since this
20 is a composite map, it's more difficult to read it --
21 and if you compare that to your Exhibit No. 12, it
22 appears that there is a zero isopach line coming
23 across Section 34 virtually through the Moore 34
24 Well and off to the northwest. Is that correct?

25 A. Yes, sir.

1 Q. Based on this interpretation, it
2 virtually excludes, in this Atoka Sand, any
3 productive acreage in the northeast of Section 34.
4 Isn't that right?

5 A. As far as this map is concerned, yes.

6 Q. If we go to Exhibit No. 12, this map is
7 dated April the 10th; isn't that right?

8 A. The drafting of this map is dated April
9 the 10th, yes.

10 Q. And that is after you had come forward
11 with a proposal to develop the east half of 34.
12 Isn't that right?

13 A. Let me elaborate a little here. These
14 maps, as I'm stating, the dates on all the maps that
15 we tendered as exhibits are either March or April of
16 this year. This is the date on which I drafted
17 these maps, not the date on which these maps were
18 created or made.

19 We first started mapping this in November
20 of 1988. In fact, we mapped the whole field. We
21 did a field study for the purpose of purchasing
22 Pitchfork Ranch Field from Enron, which, of course,
23 didn't pan out, obviously, but that's the
24 origination of these maps.

25 The dates reflected up here, as Mr. Carr

1 is pointing out, is the date on which I drafted
2 these maps. Of course, the drafting is specifically
3 for these hearings, not the original map.

4 Q. And the Exhibit No. 12, which was drafted
5 specifically for this hearing, attributes productive
6 acreage to the northeast of 34. Isn't that right?

7 A. That is correct, and re-interpreting all
8 these wells in the field -- like I said, we had to
9 go back and look at every single well again, not
10 take points at face value.

11 In fact, I believe Mr. Cherryhomes
12 started the original map on the Atoka, and it could
13 well be his point on the Moore 34 that we were using
14 that procreated through all these maps.

15 However, we started from scratch with
16 every single well again, and we found that the
17 original correlation of the Moore 34, there was an
18 Atoka Sand there. The original correlation was not
19 correct. There is a trace of sand, if you put it
20 together right.

21 Q. If we compare Exhibit 12 with Exhibit 21,
22 the new exhibit attributes reserves in the Atoka
23 Sand to the northeast quarter of 34 --

24 A. That is correct.

25 Q. -- that were not attributed to it before?

1 A. That is correct.

2 MR. CARR: That's all I have.

3 CHAIRMAN LEMAY: Questions of the witness?

4 (No response.)

5 CHAIRMAN LEMAY: Mr. Dicey, I have a
6 couple of questions.

7

8 EXAMINATION

9

10 BY CHAIRMAN LEMAY:

11 Q. Your main goal in drilling this well,
12 your primary objective, I take it, is the Morrow C
13 Sand?

14 A. The Morrow C and the Morrow A.

15 Q. The Morrow A?

16 A. We perceive all those objectives in there
17 equally.

18 Q. If you are not qualified to answer this,
19 just say so, but do you know the depositional
20 environment of the Morrow C Sand?

21 A. I don't know it. From all the work that
22 we have done, we feel that the depositional
23 environment is probably a deep marine turbidite.

24 You see, to the east, you have the
25 Central Basin Platform rising up at this time.

1 Those sands derive from the eroding platform and are
2 channeled down into this area. This area, then,
3 essentially has a platform, essentially a structural
4 platform. These sands, as soon as they hit that
5 change in slope, we see them being dumped into a
6 series of fan loops sitting one on top of the other.
7 Where you've got the thickest sands is where you've
8 got a stacking of these fan loops.

9 Now, what we have, after that was
10 deposited, then you've got a structural change. You
11 had this lot lifted up, and then after that, you had
12 a series of channels being deposited essentially
13 around the edge of the field, and, hence, the Warren,
14 the Sinatra, and the A Sand.

15 Q. To shorten my question, I guess, in a
16 very broad sense, do you know Stu Martin?

17 A. Yes, sir, he works with us.

18 Q. Have you read his paper on the deposition
19 within the field, and do you agree with it?

20 A. Yes, sir. That's what I'm quoting, in
21 fact.

22 Q. Are there any other blanket sands, thick
23 sands, in the Morrow C section where you've drilled
24 the well correctly and you've had thick sand that
25 was tight sand?

1 A. Not in the Pitchfork Ranch Field. Well,
2 there are sands that are tight in there, yes. I
3 think those are sands in one of the western wells.
4 I can't remember which one of them now. I'd have to
5 go and refer back and look at it. I'm sorry.

6 Q. What I'm trying to get at is generally if
7 you show a thick isopach on the gross section of
8 Morrow C Sand --

9 A. Yes.

10 Q. -- assuming the turbidite-type deposition,
11 generally does that have porosity?

12 A. No, not necessarily. In fact, looking at
13 this much more regionally, out to the west over in
14 the Mesa Jackson area, Jackson Unit, that Mesa
15 Jackson Well had like 80 feet of C Sand in it, and
16 it produced very, very poorly because it is
17 essentially tight.

18 We believe it was cherted up after
19 deposition after the Pitchfork Ranch Field was
20 lifted up, that lifting keeping the Pitchfork Ranch
21 Field essentially the porosity open, permeability
22 open, whereas everywhere else around lying
23 relatively low has been essentially cherted up and
24 lost its primary porosity permeability.

25 Q. In trying to analyze whether the Morrow C

1 Well in Section 34 was due to lack of permeability
2 or formation damage, is there any reason that you
3 agreed it was drilled poorly? Sometimes it's hard
4 to really know.

5 A. We didn't know. It was the fifth well
6 along. Throughout any major field development, it's
7 a learning curve, and you learn, as you go along,
8 what you can and what you cannot do.

9 That being one of the early wells, it was
10 one of the ones that we learned from.

11 Q. What I'm trying to get at is are there
12 other examples where you can see thick Morrow Sand
13 in the C Zone with porosity indicated on the log? I
14 don't know if there is permeability indicated or not,
15 where there is porosity, but there is no
16 permeability, where it has been drilled correctly
17 and you can assume it's not due to formation damage.

18 A. Not in this immediate area that I can
19 think of.

20 Q. I had a question concerning your maps
21 going up in this section, I think it was Section 23.
22 There appears -- you carry some trends up into
23 Section 23, but I assume that's your artistic
24 license?

25 A. May I ask you which maps?

1 Q. Yes. Exhibit 9. I was looking for
2 control on the Sinatra Sand where you load it up
3 there, but I don't see any --

4 A. That's true. There is no small element
5 of artistic license involved in that. But when you
6 have data points, however dense the data points, you
7 still need to fit a geologic model to what you are
8 looking at to make what you hope is the best picture
9 of what's going on. And that's what we've attempted
10 to do here.

11 We probably have fewer data points. We're
12 still using that geologic model. We know the sands
13 come from the north, moving essentially north-south
14 in this kind of channel system.

15 We've extended that. There are a few
16 wells to the north that have traces again in it; not
17 on this map, but, like I say, these maps were taken
18 from a much broader study. So, obviously, these
19 don't show where those data points are coming from.

20 Q. I was wondering if there was well control
21 in Section 23 that doesn't show because of your
22 legend here.

23 A. Loosely speaking, yes, sir.

24 CHAIRMAN LEMAY: That's all the questions
25 I have.

1 Are there additional questions on
2 Redirect?

3

4 REDIRECT EXAMINATION

5

6 BY MR. PADILLA:

7 Q. I have one question, Mr. Dicey.

8 Can you go to your cross section and
9 point out that trace of sand in the Sinatra?

10 A. Yes, sir, right there (indicating).

11 Q. How much sand do you see there?

12 A. 3 feet, plus or minus.

13 Q. Is that sufficient to obtain production
14 from that?

15 A. Probably not. It's difficult to tell
16 because when that well was drilled, you got gas
17 increases ever since you started into the Morrow A
18 Sand. You had different gas increases all the way
19 down. It's difficult to tell where they are coming
20 from.

21 I think probably it's more likely from
22 the Warren, in this instance, and this is merely a
23 trace indicating a leading edge of a sand body.
24 We're looking optimistically at this. We are an
25 exploration group trying to develop, you know, play

1 sands as we see them.

2 You can be equally pessimistic and say no,
3 it's just a little bit of nothing in particular and
4 it doesn't go anywhere.

5 Q. But it's not zero?

6 A. It's not zero, no.

7 MR. PADILLA: That's all I have.

8 CHAIRMAN LEMAY: Any additional questions
9 of the witness?

10 (No response.)

11 CHAIRMAN LEMAY: You may be excused, and
12 you may call your next witness, Mr. Padilla.

13 MR. PADILLA: We will call Jim Broten at
14 this time.

15

16 JAMES RUSSELL BROTEN

17 The witness herein, after having
18 been first duly sworn upon his oath, was
19 examined and testified as follows:

20

21 DIRECT EXAMINATION

22

23 BY MR. PADILLA:

24 Q. Mr. Broten, for the record, would you
25 state your name, please?

1 A. Yes, sir. My name is James Russell
2 Broten.

3 Q. How do you spell your last name?

4 A. B-r-o-t-e-n.

5 Q. Mr. Broten, where do you live?

6 A. I reside at 2509 Noel Avenue, Midland,
7 Texas.

8 Q. Do you work for Midland Phoenix?

9 A. Yes, I've been associated with Midland
10 Phoenix.

11 Q. In what capacity?

12 A. Presently, Vice-President of Operations.

13 Q. And what background do you have as far as
14 technical knowledge?

15 A. I have a degree in geology from Arizona
16 State University. I came to work, did two years
17 well-site consulting and mud logging.

18 After that two-year period, I went to
19 work for HNG Oil as a Development Geologist, and
20 progressed up to Exploration Geologist, and later
21 was promoted to Senior Exploration Geologist.

22 Q. Mr. Broten, did you testify in the
23 Division Hearing in this case?

24 A. Yes, sir, I did.

25 Q. Were your credentials accepted as a

1 Development Geologist?

2 A. Yes, they were.

3 MR. PADILLA: We tender Mr. Broten as an
4 expert witness at this time in this case.

5 CHAIRMAN LEMAY: His qualifications are
6 acceptable.

7 BY MR. PADILLA:

8 Q. Mr. Broten, let's jump right into what we
9 have marked as Exhibit No. 14, which is a mud log.

10 Would you describe to the Commission what
11 that mud log contains and what you have cited in
12 that log?

13 A. Certainly. What we have is a mud log
14 that was recorded during the drilling of the Moore
15 34 No. 1. It's of very significant importance in
16 that it disputes the notion that this is the driest
17 well ever drilled in the area. We have had
18 excellent gas shows while drilling.

19 Q. Mr. Broten, could you speak a little
20 louder?

21 A. Yes. What you see before you is a
22 portion over the Atoka-Morrow sections. We have a
23 heading on it to identify it as the Moore 34 No. 1.

24 Q. Starting from the bottom up, or starting
25 with the Morrow C Zone, can you describe where that

1 show is contained on that log?

2 A. Normally, when you describe a mud log,
3 you like to proceed from the top down.

4 Q. Is that what you are going to do?

5 A. It is. It gives a chronology of what
6 happened during the drilling operation.

7 Q. Why don't you do that, start from the top
8 to the bottom, then?

9 A. Okay. The first interval I'd like to
10 draw your attention to would be the Atoka Sand
11 interval.

12 Before we get going here, I'd like to
13 note that it's common, on mud logs and electric logs,
14 that you have a drilling TD depth differential here,
15 difference, I should say, in that here our actual
16 driller's depth will sometimes be deeper or
17 shallower than what the electric log shows. And as
18 you match up the electric log with the mud log, you
19 take that into consideration.

20 The case is true here on the Moore 34.
21 We need to make that adjustment because the TD on
22 the mud log or the driller's depth is 15,376, and
23 the electric log is 15,364. That is a 12-foot
24 difference at total depth. So when I refer to
25 intervals, I'm referring back and forth from the

1 cross section which has the Moore 34 density log on
2 it and the mud log which is in front of you.

3 With that clarified, I start with the
4 Atoka Sand. We see that interval on the mud log
5 from 14,092 to 14,102, corresponding to 14,078 to
6 088 on the electric log.

7 What we observed here is a drilling break.
8 We see downtime gas increases and trip gas. A trip
9 for a new bit occurred at 14,116. This is just
10 below the Atoka Sand interval. And as these samples
11 were circulated up, here is where we begin to see
12 the sand, and this leads us to believe that we have
13 sand present in this interval and that we are able
14 to record it in the trip sample.

15 Proceeding downwards into our next
16 interval of interest, it will be the Atoka A Sand.
17 We find that at 14,614 to 642 on the mud log,
18 corresponding to 14,598 to 14,627 on the C&L density
19 log.

20 Q. Mr. Broten, did you mean the Morrow A
21 Sand? You said the Atoka A Sand.

22 A. Yes, I'm sorry, the Morrow A Sand.

23 Q. Did you mean the Morrow A Sand?

24 A. Yes.

25 Q. Go ahead.

1 A. Okay. What we see on the mud log here is
2 a drilling break from about 40 minutes per foot to 2
3 minutes per foot.

4 At that point, the well was shut in for
5 30 minutes and was observed to have a 15-barrel gain.
6 A 20-to-30-foot flare was recorded with 2 million on
7 the peak load tube.

8 At that point, we were still drilling
9 with a dry-run fluid of 10 pounds per gallon. That
10 has increased to 10.7 pounds per gallon, and we
11 continued drilling.

12 We can also note the C&L density log's
13 very favorable porosity is also in this interval.
14 The density porosities were recorded up to 20
15 percent, a cross plot average of roughly 14 percent,
16 and the resistivities were in the range of 35 Ohms.

17 This flags this interval as a potential
18 pay zone, as well as the show during drilling. And
19 the samples recorded also -- what we look for in the
20 cuttings reflect a potential reservoir. And what we
21 saw within this reservoir, we saw a sand that was a
22 fining-upward sand from very coarse to fine-grained,
23 unconsolidated to partly consolidated.

24 And the key here is we had residue
25 staining on the individual sand grains, and, also,

1 condensate was observed on the mud pit. So this was
2 a very strong show observed at this point.

3 The well continued to drill forward with
4 the 10.7 pounds per gallon drilling fluid. But at
5 this point, we were carrying a 6-to-8-foot pulsating
6 flare. Where we get this flow from is the drilling
7 fluid is circulated through a separator, which
8 knocks out the gas prior to reaching the sample trap
9 collection system, which may be located at the flow
10 line or the shale shaker.

11 The next interval of interest occurs in
12 what we correlate to be the Warren Sand, which is on
13 the mud log at 14,740 to 744. The electric log
14 reads this at 14,728 to 732.

15 Here again, we're seeing, on the electric
16 log, porosities up to 10 percent, cross plotting
17 around 6 percent, and, again, resistivities in the
18 neighborhood of 35 Ohms.

19 Here we went into this interval drilling
20 with a 6-to-8-foot flare, and the gas increased to a
21 10-to-20-foot flare, indicating the presence of gas
22 in that reservoir as we were drilling.

23 The samples also reflect the potential
24 reservoir has -- it showed it contains a sand that
25 was very fine-grained, consolidated, angular to

1 rounded.

2 Q. Mr. Broten, a while ago you said you had
3 resistivities of 35 Ohms.

4 What does that mean?

5 A. First off, there is no indicator for
6 permeability. And when you have a favorable
7 resistivity response, you can make sort of a
8 qualified estimation that this may be permeable.

9 Then the second thing you get from a
10 resistivity log is that you can gather whether or
11 not this is a wet or potentially hydrocarbonate
12 interval, wet.

13 Q. In terms of this well, what does that
14 mean?

15 A. This, to me, would flag it as a potential
16 reservoir.

17 Q. Okay. Go on now to your next --

18 A. Okay. I want to bring up there was a
19 trip at 15,125, where we observed various -- this
20 would include -- when we have a trip, we have downtime.
21 There was still drilling with a 10.7 pound per
22 gallon drawing.

23 During this particular trip, we observed
24 a very strong show of gas as this trip gas was
25 circulated up. This would indicate that during the

1 downtime, we had this formation feeding gas into the
2 well bore, and it definitely wasn't decreasing. It
3 was still increasing. So we look at this as a
4 favorable response.

5 In fact, at that time, they were getting
6 so much gas back that they had to race this show
7 back into the hole so they wouldn't lose the entire
8 circulation. The fluid was starting to flow up and
9 then they managed to trip back in in time to safely
10 control the well, but it was a concern at the time.
11 So we were seeing continued strong gas presence in
12 the well bore.

13 I'd like to proceed into the Morrow C
14 Sand. We see that in the mud log at 15,196 to 15,248 --
15 I'm sorry -- 15,222, 15,272, which corresponds to
16 the electric log depths of 15,196 to 248.

17 Here, first off, on the electric logs we
18 see density porosities up to 10 percent with average
19 cross plot porosities in the neighborhood of 4-to-6
20 percent. Here we have a wide range of resistivity
21 readings anywhere from 90 Ohms up to a thousand Ohms.

22 We had a very strong show as we drilled
23 into this well. When I say "strong show," I mean we
24 had to shut in this well. When I say "we," I'm
25 referring to, at the time, I was with HNG. The well

SANTA FE DEPOSITION SERVICE

1437 PASEO DE PERALTA

SANTA FE, NEW MEXICO

(505) 822-4642

1 was shut in when it had 1400 to 1600 pounds on the
2 backside that increased to 2200 pounds.

3 As we circulated gas through the choke,
4 we observed 2.2 to 2.4 million cubic feet of gas per
5 day. To continue drilling the well, we found it
6 necessary to mud up, and the wellout was displaced
7 with oil-based mud weighted in the neighborhood of
8 13 pounds to 13.3 pounds per gallon.

9 This indicates a very strong show. In
10 fact, it was so strong that it necessitated a change
11 in the mud systems.

12 The samples themselves reflected a very
13 positive indicator for a reservoir. We knew what we
14 needed to see in the C Sand in the samples, and this
15 wellbore exhibited what necessitates to us to be
16 optimistic about its potential.

17 We saw sand here that was very fine to
18 very coarse, consolidated to unconsolidated, with
19 residue staining on the individual sand grains.
20 This is exactly what we looked for in the Pitchfork
21 Ranch C pay zone. So this flags this well as a good
22 potential wellbore for production.

23 As we proceeded with the drilling
24 operations, the 13-pound-plus mud proved to be too
25 much for the formations already drilled, and they

1 began to suffer lost-circulation problems
2 necessitating the addition of lost-circulation
3 materials. This continued until TD was reached six
4 days later.

5 Our contention is that this is the point
6 where the wellbore had the potential to be damaged
7 throughout the section, as all the sands --
8 potential pays were exposed to this mud.

9 Q. Mr. Broten, in view of your experience
10 with this well, what kind of mud programs could you
11 use or what would you do differently to minimize any
12 damage to the Morrow?

13 A. I wouldn't have shot the wellbore with
14 overkill, which, apparently, was the case here.
15 Hindsight is always perfect sight.

16 At the time, we didn't realize that when
17 this heavy mud hit this formation, there was
18 potential for damage.

19 However, now, with our experience in the
20 area, we realize that you don't need a 13-pound;
21 that's overkill. You can go in with a lesser mud
22 rate, probably in the 11-to-12 pound range.

23 Q. Is the Morrow Formation susceptible to
24 this kind of damage either through water or mud or
25 some other material?

1 A. Yes, sir, it's noted throughout New
2 Mexico to be a sensitive sand formation. Any time --
3 it's got peculiarities involved in that it has clays
4 associated with the sand that -- in particular, I'm
5 speaking of kayolinite, a particular type of clay;
6 that it's a clay that if it's abused, you might say,
7 in the formation, it will clog up the well bore so
8 that, essentially, you lose your permeability to the
9 formation around the well bore, and, essentially,
10 that creates a dry hole.

11 Q. Mr. Broten, would re-entry of this well
12 be something that could be done?

13 A. Because of what I've just mentioned, it
14 rules it out. You would have to drill at another
15 location that is safely removed from the potential
16 surrounding well-bore damage. That distance is hard
17 to determine, so you would want to make sure it was
18 adequate, that it was far away. You don't want a
19 twin well like this.

20 Q. Is your proposed location far enough away
21 at this time?

22 A. Yes. We feel it is a prudent location
23 and it's an optimum location to test this. We feel
24 that there are reserves here and that we do have a
25 reservoir potential.

1 Q. Mr. Broten, do you have anything further
2 to add to your testimony?

3 A. Not at this time.

4 MR. PADILLA: We will pass the witness,
5 and we offer Exhibit No. 14, Mr. Chairman.

6 CHAIRMAN LEMAY: Exhibit No. 14 will be
7 admitted into the record without objection.

8 (Whereupon, MIDLAND PHOENIX
9 EXHIBIT 14 was admitted into evidence.)

10 CHAIRMAN LEMAY: Mr. Carr?

11

12 CROSS EXAMINATION

13

14 BY MR. CARR:

15 Q. Thank you. Mr. Broten, how long were you
16 employed by Enron?

17 A. Nearly eight years.

18 Q. While employed with them, were you at all
19 times employed as a geologist or did you also serve
20 as a mud logger. Are those different positions?

21 A. Prior to my employment with HNG-Enron, I
22 had worked as a mud logger.

23 Q. But all the time you were with HNG-Enron,
24 you worked as a geologist?

25 A. That's correct.

1 Q. Were you working as a geologist for them
2 when the Moore 34 Well was drilled in the northeast
3 of Section 34?

4 A. That is correct.

5 Q. Were you involved in the drilling of that
6 well?

7 A. Yes, I was.

8 Q. When is the mud log actually run? Is it
9 run while the well is being drilled?

10 A. During operations, while the drill bit is
11 drilling, and as we circulate that cut sample and it
12 is read immediately at the surface by the geologist
13 that is collecting the samples.

14 Q. Were you that geologist who was
15 collecting the samples on the 34?

16 A. No. We had mud loggers doing that for us,
17 and we would basically look over their shoulder, if
18 need be. But this particular outfit here has
19 excellent mud loggers.

20 Q. Did you see the mud log on this well soon
21 after it was run?

22 A. Daily. We get daily reports on the
23 progress of the well from the mud loggers.

24 Q. So you were familiar with what was going
25 on --

1 A. As it was going on.

2 Q. -- as it was going on?

3 A. Yes.

4 Q. If we look at the Atoka Sand, I think you
5 testified, and correct me if this is wrong, but did
6 you state that there was a show while drilling the
7 well in the Atoka Sand?

8 A. I didn't mean to infer that. However, we
9 do see indications of downtime throughout that
10 interval.

11 What we go by here is we have downtime
12 gas and then we have a trip gas noted in the gas
13 column on the mud log.

14 What that is really showing is that when
15 you are drilling this well bore, there were periods
16 when they actually shut down the well and the sample
17 column would basically go back to bottom and then
18 have to kick in the pump and circulate back up. So
19 it would increase the lag time for the samples.

20 Q. When we talk about a show, my question is
21 when I look at the mud log, it says there is a show
22 of sand.

23 I want to know if you are trying to tell
24 us there was a gas show other than just the trip gas
25 show or whether you just had a show of sand.

1 A. It was a show of sand.

2 Q. And then the gas was a trip gas which
3 could come out at any place in that wellbore?

4 A. That is correct.

5 Q. In drilling this well, you drilled the
6 No. Moore 34 using a brine water instead of a mud.
7 Isn't that right?

8 A. That's correct, until we reached the C
9 Sand.

10 Q. This was a 10-pound, approximately, brine
11 water as you went through the Atoka?

12 A. That's correct.

13 Q. In other wells you were involved with,
14 didn't you, in fact, have to use about a 14-pound
15 mud when you drilled in the Atoka?

16 A. Normally, when we drilled into the Atoka
17 Sand Reservoir, it took about a 14-pound mud to
18 control the wellbore.

19 Q. And that wasn't needed?

20 A. No, sir.

21 Q. Didn't that suggest to you that you
22 didn't have the the Atoka present?

23 A. This indicates to me that we were in the
24 impermeable or on the edge of a sand body. This was
25 a good show to lead us into -- some exploration tool

1 that we can use to get us into the reservoir, which
2 we believe lies to the east and southeast of this
3 well.

4 Q. You saw the sand but not the gas?

5 A. That's correct.

6 Q. Now, I just want to be sure I understand
7 what you've said.

8 The 34 was drilled using a brine water,
9 and then, if I understand you, when you got to Atoka
10 Sand, was it at that time that mud was utilized in
11 the well?

12 A. In the C Sand when we had the gas show
13 yes.

14 Q. That's the deepest interval; is that
15 right?

16 A. Actually, that's not the -- if I
17 understand what you are saying, the well was drilled
18 with the brine water system until we experienced a
19 strong gas show in the Morrow C Sand. That
20 necessitated a heavier mud to be implemented.

21 Q. When they used that mud, it made contact
22 with the formation, and that's how the damage you
23 see occurred?

24 A. Exactly. That transpired from that time
25 forward. The entire wellbore was open and exposed

1 to whatever drilling mud was in the wellbore.

2 Q. When Enron went back and tried to
3 complete in the Morrow A Sand, they did test that
4 sand; is that correct?

5 A. That's correct.

6 Q. They shot 20 holes; isn't that correct?

7 A. Yes, that's correct.

8 Q. Was that an adequate testing of that zone,
9 in your opinion?

10 A. I feel that was a fair test. I feel that
11 they had -- it was a lost cause before they started.
12 The damage was there. That was just an attempt to
13 maybe overcome the damage, and there was no success.

14 Q. Were you involved at all in the drilling
15 of the discovery well, the Madera 28 No. 1?

16 A. Actually, the discovery well was the
17 Madera 32 No. 1. The Madera 28 came second.

18 Q. Was that the second one?

19 A. Yes.

20 Q. Were you involved with the drilling of
21 either of those?

22 A. Yes, I was.

23 Q. What zone does the discovery well produce
24 from?

25 A. Morrow C Sand.

1 Q. Wasn't it also drilled using this mud?

2 A. It was an oil-based mud, yes.

3 Q. The Madera 28, it was also drilled using
4 this mud, was it not?

5 A. An oil-based mud, that's correct.

6 Q. And it produced from the C Sand; isn't
7 that right?

8 A. That's correct.

9 Q. Because of the heavy gas shows in the
10 Page No. 1 south of Section 3, heavy mud had to be
11 used, didn't it?

12 A. In the Page Well?

13 Q. Yes, the Page No. 1.

14 A. That's correct. If you look at the
15 chronology --

16 Q. Really just as examples, that was another
17 well and this was different from the Sinatra; is
18 that right?

19 A. Yes.

20 Q. And heavy mud was used in that; isn't
21 that correct?

22 A. Yes.

23 Q. If we look at the Pitchfork 34 Well in
24 the west half of Section 34, mud was used in that
25 one; isn't that right?

1 A. That's correct.

2 Q. And the Morrow --

3 A. In fact, there was noted on one of these
4 exhibits that was entered at the Division Hearing,
5 it was even noted that there was lost-circulation
6 problems in that wellbore, too.

7 Q. And so do you have an opinion as to
8 whether or not the Morrow was damaged in the 34, the
9 Pitchfork?

10 A. I believe there were problems.

11 Q. Is it your testimony that the Moore 34 in
12 the northeast doesn't condemn the zones because of
13 the completion? Is it also fair to say that the
14 Pitchfork 34 doesn't condemn the Morrow in the west
15 half of Section 34?

16 A. Let's say that that could be true. I
17 feel that I'd like to qualify that "Yes" or "No."
18 The volume of sand found in the Moore 34 exceeds the
19 amount of sand found in the Pitchfork 34. Therefore,
20 I believe the reservoir is improving to the east,
21 actually.

22 Q. Do you have an opinion as to whether or
23 not the reservoir is present in the Morrow at the
24 Pitchfork 34 Well?

25 A. I believe we're looking at a smaller sand

1 body, which I don't think -- if you use a
2 volumetric-type of calculations, you're going to see
3 less reserves there than you would in the east half.

4 Q. But some reserves?

5 A. Hopefully.

6 MR. CARR: That's all I have.

7 CHAIRMAN LEMAY: Thank you, Mr. Carr.

8 Additional questions of the witness?

9 (No response.)

10

11 EXAMINATION

12

13 BY CHAIRMAN LEMAY:

14 Q. Mr. Broten, do you know Mr. Northcut?

15 A. Yes, I do.

16 Q. Do you consider him a competent logger?

17 A. I do.

18 Q. You agree with --

19 A. I find this to be a very excellent mud
20 log. I could demonstrate how it sets up with the
21 electric log, if you would like. It's very good.

22 CHAIRMAN LEMAY: I think it matches well.

23 That's all the questions I have.

24 Any Redirect?

25 MR. PADILLA: I have no questions. Mr.

1 Chairman, we will rest at this time. We've
2 concluded our portion of the case.

3 I would like to incorporate our overhead
4 charges, as contained in the Commission's Order, and
5 we can stipulate to that.

6 MR. CARR: I believe the Division record
7 contains overhead charges. It contains a request by
8 Midland Phoenix who paid the operator, and I think
9 all the necessary stones that you have to touch for
10 an application are covered there. And we certainly
11 have no objection. They are in the record.

12 CHAIRMAN LEMAY: All right. They will be
13 incorporated. Thank you, Mr. Padilla.

14 I think this is a good time to break and
15 return at 1:15.

16 (Whereupon, the hearing in the
17 above-referenced matter was adjourned
18 for the lunch recess.)

19

20 * * *

21

22

23

24

25

SANTA FE DEPOSITION SERVICE

1437 PASEO DE PERALTA SANTA FE NEW MEXICO (505) 822-1612

1 CHAIRMAN LEMAY: We will continue with
2 our case with Mr. Carr.

3 MR. CARR: May it please the Commission,
4 at this time we would call Robert McCommon.

5

6 ROBERT McCOMMON, JR.

7 The witness herein, after having
8 been first duly sworn upon his oath, was
9 examined and testified as follows:

10

11 DIRECT EXAMINATION

12

13 BY MR. CARR:

14 Q. Will you state your full name?

15 A. Robert McCommon, Junior.

16 Q. Mr. McCommon, where do you reside?

17 A. At 4511 LLano in Midland, Texas.

18 Q. By whom are you employed and in what
19 capacity?

20 A. I'm employed by Enron Oil & Gas Company
21 as a Landman.

22 Q. Mr. McCommon, have you previously
23 testified before the Oil Conservation Division and
24 had your credentials as a Petroleum Landman accepted
25 and made a matter of record?

1 A. Yes, sir, I have.

2 Q. Are you familiar with the applications
3 filed in this case, this consolidated case?

4 A. Yes, sir, I am.

5 Q. Both the Midland Phoenix application and
6 the application of Enron?

7 A. Yes, sir.

8 Q. Are you familiar with the subject area?

9 A. Yes, sir.

10 MR. CARR: Are the witness's
11 qualifications acceptable?

12 CHAIRMAN LEMAY: They are acceptable.

13 BY MR. CARR:

14 Q. Mr. McCommon, would you briefly state
15 what Enron seeks in this case?

16 A. Yes, sir. We seek the compulsory pooling
17 of the Atoka and Morrow Formations, spacing units,
18 approval of a non-standard proration unit in the
19 Atoka and approval of a well location in the Atoka.

20 Q. Have you prepared certain exhibits for
21 presentation here today?

22 A. Yes, sir, I have.

23 Q. Would you refer to what has been marked
24 as Enron Exhibit No. 1, identify this exhibit, and
25 review it for the Commission?

1 A. Yes, sir. This is a land plat that I
2 prepared (indicating). It shows on it the proposed
3 location of the Enron Pitchfork 34 Federal Com. No.
4 2 Well. This is located 1980 from the east line and
5 660 from the south line of Section 34, Township 24,
6 Range 34 East, Lea County, New Mexico.

7 Also depicted herein is the -- outlined
8 in blue is the southeast quarter of Section 34,
9 which is the proposed non-standard 160-acre
10 proration unit for the Atoka, and outlined in orange,
11 being the south half of said Section 34, the
12 proposed 320-acre proration unit for the Morrow
13 Formation.

14 Q. What are Enron's proposed objectives in
15 the well in the southwest and southeast of 34?

16 A. Okay. Our objectives are the
17 Morrow-Sinatra Sand, the Atoka Reef, and the Atoka
18 Sand.

19 Q. Would you now look at what has been
20 marked as Exhibit No. 2, and identify that for us?

21 A. Yes, sir. This is three pages long, and
22 it shows the mineral ownership or interest ownership
23 in various portions of Section 34.

24 Page 1 is the mineral ownership based on
25 a takeoff that was conducted by an independent

1 Landman in the county records of Lea County.

2 It covers the northeast quarter and the
3 northeast quarter of the southeast quarter of
4 Section 34. It was done on March 17th, 1989.

5 The second page shows the leasehold
6 ownership subject to an existing operating agreement
7 between Enron, Enserch, Robert Landreth and Samedan
8 Corporation in the southeast quarter of Section 34,
9 which is our proposed 160-acre non-standard Atoka
10 proration unit.

11 It also goes on to show unleased mineral
12 owners and leasehold ownership not subject to the
13 operating agreement.

14 This schedule was prepared off the take-
15 off that was done on March the 17th.

16 The third page is basically the same type
17 of information, interests subject to working
18 interests, the owner-operating agreement, and also
19 the interest of unleased minerals and leasehold
20 ownership not subject to an operating agreement.
21 But this covers the south half of Section 34.

22 Again, this information, or specifically
23 these lower portions, is based on the takeoff that
24 was done on March 17th.

25 Q. Now, Mr. McCommon, what percentage of the

1 ownership in the south half of the Morrow Formation,
2 and I'm talking here about working interest
3 ownership, was voluntarily committed to the drilling
4 of this well?

5 A. Mr. Carr, probably the 87.5 percent shown
6 on Page 3 here, because that is subject to the
7 operating agreement.

8 Q. Now, when you were developing these
9 figures, were you including in the 87-plus percent
10 figure the interests of Robert Landreth?

11 A. Only the leasehold interests that he has
12 subject to the operating agreement, not his mineral
13 interest which is depicted in the lower half of that
14 page.

15 Q. All right. Now, in the southeast quarter
16 of Section 34, what percentage of those owners in
17 the Atoka have voluntarily committed to the well?

18 A. 75 percent, which is subject to the
19 operating agreement.

20 Q. Would you briefly review for the
21 Commission the efforts that have been made by Enron
22 to locate and obtain all interest owners in the
23 south half of Section 34 that are affected by this
24 application?

25 A. Yes, sir. In that regard, I'd like to

1 refer to Exhibit 2, which is the smaller clipped
2 section of papers.

3 Without going through them in great
4 detail, all of this information, except for one or
5 two items which I will point out, were presented in
6 my testimony and were introduced as exhibits in my
7 testimony before the Division.

8 What we have done, upon obtaining a take-
9 off on the mineral ownership, we sent letters out to
10 some unleased mineral owners attempting to acquire
11 oil and gas leases, whereupon we found out that some
12 of these had been committed to Midland Phoenix.

13 You will also see, contained in this pile
14 of paper, various letters back and forth between
15 Midland Phoenix and Enron Oil & Gas Company
16 proposing wells, requesting farmouts, trying to
17 obtain each others voluntary joinders.

18 You will also see some letters from Bob
19 Landreth between Enron Oil & Gas Company, Midland
20 Phoenix, et cetera.

21 The thing I would like to point out to
22 the Commissioners is, at the very end, there is a
23 segment that's stapled. Right before that, there is
24 a schedule which looks like this (indicating).

25 This was done at the request of Mr.

1 Stogner at the hearing on the 10th. He had
2 requested that Midland Phoenix and Enron go out and --
3 he wanted to see us make a little stronger effort to
4 see if we could not come to a voluntary joinder, and
5 requested that we present a log of our meetings and
6 telephone conversations, and that's what this is.

7 The last item, which is not entered in
8 the testimony, is just copies of letters that we
9 sent out to our working partners, telling about the
10 hearing.

11 Q. Since the May hearing, have you continued
12 to communicate with Midland Phoenix in an effort to
13 resolve those questions concerning development of
14 this acreage?

15 A. Yes, sir, quite extensively.

16 Q. In your opinion, has a good-faith effort
17 been made to obtain a voluntary joinder for the
18 development of this tract?

19 A. Yes, sir.

20 Q. At this point in time, no agreement has
21 been reached?

22 A. That's correct.

23 Q. Mr. McCommon, were Exhibits 1 through 3
24 prepared by you or compiled under your direction and
25 supervision?

1 A. Yes, sir.

2 MR. CARR: At this time, may it please
3 the Commission, we move for the admission of Enron
4 Exhibits 1 through 3.

5 CHAIRMAN LEMAY: Exhibits 1 through 3 are
6 in the record without objection.

7 (Whereupon, ENRON EXHIBITS 1
8 through 3 were admitted into evidence.)

9 MR. CARR: That concludes my Direct
10 Examination. I would note that we do not have an
11 Exhibit 4. That was the Notice of Affidavits that
12 really were not relevant in this first case.

13 CHAIRMAN LEMAY: So noted.

14 Mr. Padilla?

15

16 CROSS EXAMINATION

17

18 BY MR. PADILLA:

19 Q. Mr. McCommon, first of all in regard to
20 this last schedule you were talking about, is it
21 your testimony that you worked out this schedule
22 only after Mr. Stogner requested that the parties
23 start communicating with each other?

24 A. Yes, sir.

25 Q. Before May 15th, 1989, had you called

1 Midland Phoenix?

2 A. Before May 15th?

3 Q. Yes, sir.

4 A. I can't remember. Not to my recollection.

5 Q. Do you know, of your own personal
6 knowledge, whether anyone with Midland Phoenix or
7 Enron, I should say, had called anyone at Midland
8 Phoenix concerning your application to force pool?

9 A. Not to my knowledge, sir.

10 Q. You testified during the hearing before
11 the Division that you had had numerous meetings with
12 Enron concerning development of the south half in
13 the southeast quarter.

14 Did any of those meetings involve Midland
15 Phoenix?

16 A. No, sir, they did not.

17 Q. Were they invited to those meetings?

18 A. No, sir, they were not.

19 Q. You knew then that Midland Phoenix owned
20 an interest, at least in the southeast quarter, did
21 you not?

22 A. At what time, Mr. Padilla?

23 Q. At the time you made your application.

24 A. Yes, sir, I did.

25 Q. Now, subsequent to the Division Hearing,

1 what specific agreements had you proposed to Midland
2 Phoenix?

3 A. A number of things. We have been in
4 extensive conversations with them even from the
5 standpoint of on the plane after the hearing back to
6 Midland that day.

7 We have talked about things like because
8 a lot of the people who work with Midland Phoenix
9 are previous employees of Enron, and they do know
10 our acreage position quite well, that if there were
11 any undeveloped acreage, non-producing acreage, that
12 maybe Enron had leased under their direction or
13 based on their geological ideas but something we
14 might not be interested in, that we could maybe do
15 an acreage in that regard.

16 Q. Isn't it true that Midland Phoenix made
17 this proposal to you and you may have considered
18 that?

19 A. I do not know who actually made that
20 first gesture, but I do know that it was something
21 that we both attempted to negotiate a settlement on.

22 Q. Did your Houston management refuse any
23 kind of dealings with Midland Phoenix?

24 A. No, sir.

25 When you say "dealings," are you talking

1 about offers or acreage negotiations?

2 Q. Any kind of agreement with Midland
3 Phoenix.

4 A. They made some offers to us that were
5 unacceptable, yes, sir.

6 Q. Did you consider them?

7 A. Yes, sir. I say "I" did; management did.

8 Q. Why were they unacceptable?

9 A. I can't answer that question. I could
10 only speculate. And, like I said, I really don't
11 know.

12 Q. Who was communicating the proposals to
13 your management?

14 A. I would communicate them to my boss or it
15 would be like our Division Land Manager or Gary
16 Thomas, who is our Division Manager or
17 Vice-President. Then he would coordinate it. I
18 guess you could consider him part of management, and
19 he would, in turn, communicate that to Houston to
20 our management.

21 Q. What kind of feedback did you get as a
22 result of your submittal of these proposals?

23 A. For the most part, that they were just
24 unacceptable, that we were too far apart in our
25 evaluation of whatever the particular case was.

1 Q. I'd like for you to be a little bit more
2 specific, if you know. I assume that you knew at
3 least, through your Division Manager, why the
4 proposals were unacceptable?

5 A. I guess I'd have to say, more than likely,
6 that Midland Phoenix gave a great value, whether you
7 want to put it in reserves or dollar figures,
8 whatever, to the northeast quarter of Section 34.

9 Based on our geology and our
10 interpretations, we didn't. Therefore, our
11 management didn't. So, therefore, you are talking
12 about negotiations, you know, apples equaling
13 oranges. There was never a meeting of the minds or
14 agreement as to the value of that.

15 Q. Mr. McCommon, how much were you willing
16 to pay for the acreage in the northeast quarter of
17 Section 34?

18 A. In what regard? Are you talking about
19 paying Midland Phoenix?

20 Q. You were trying to lease this land, were
21 you not?

22 A. Yes, sir, we did make an attempt.

23 Q. What kind of monies were you willing to
24 pay for those leases?

25 A. I believe, at one time or another, we may

1 have offered I'm going to say \$150.00 or maybe more.

2 I can't remember right now.

3 Q. Per acre?

4 A. Yes, sir. That's been some time ago.

5 Q. That's not cheap on a per-acreage basis,
6 is it?

7 A. I wouldn't consider it cheap.

8 Q. Do you know why Enron allowed the acreage
9 in the northeast quarter to expire, the leases that
10 Enron had that expired in late 1988 in the northeast
11 quarter and the northeast quarter of the southeast
12 quarter?

13 A. No, sir, I do not. Since my employment
14 started there after the first of the year, I was not
15 aware of why that decision was made.

16 Q. You did receive instructions at one time
17 to obtain those leases. Is that correct?

18 A. That is correct.

19 Q. Let me show you what we have marked as
20 Enron Exhibit No. 15.

21 MR. CARR: Did you mark that Enron 15?

22 MR. PADILLA: I'm sorry, Midland Phoenix
23 No. 15 (indicating).

24 BY MR. PADILLA:

25 Q. Mr. McCommon, first of all, can you

1 identify what this document is?

2 A. Mr. Padilla, since I've only seen this
3 right now, I can only identify as far as what it
4 says at the top. I have never seen this before. It
5 says, "Pitchfork Ranch Field Workover Planout."

6 Q. Would it it surprise you to know that
7 this is something that has been worked up by Mr.
8 Cherryhomes, as I understand. He testified at the
9 Division Hearing.

10 A. It wouldn't surprise me. It's got down
11 here L. W. Helms on it. I can't testify whether it
12 was drawn up by Mr. Cherryhomes. I'm not surprised.
13 I don't know.

14 Q. Let me call your attention to the
15 right-hand side of the right-hand side of that
16 document. It says at the top, the square up there,
17 it states:

18 "Secure lease for the east
19 half of Section 34."

20 As I read that, it was to be done the
21 first quarter of 1989.

22 Is that correct?

23 A. According to this, yes, sir.

24 Q. Why would the entire east half of Section
25 34 be important to Enron?

1 A. I can't answer that question. I don't
2 know the answer.

3 Q. Have you tried to obtain the -- since the
4 hearing before the Oil Conservation Division, have
5 you negotiated with anyone else other than Midland
6 Phoenix to acquire their interests?

7 A. Yes, sir, we've talked to, I guess,
8 everybody that's under the force -- everybody that
9 we've identified in the ownership here, we've
10 contacted one way or the other to obtain their
11 voluntary joinder. Yes, sir.

12 Q. Have you reached agreement with anyone
13 else?

14 A. No, sir.

15 Q. Have you reached agreement with Samedan?

16 A. No, sir.

17 MR. PADILLA: I believe that's all I have,
18 Mr. Chairman.

19 CHAIRMAN LEMAY: Thank you, Mr. Padilla.

20 Additional questions of the witness?

21 MR. CARR: No additional questions.

22 CHAIRMAN LEMAY: You maybe be excused.

23 MR. PADILLA: We will offer Exhibit No. 15.

24 MR. CARR: No objection.

25 CHAIRMAN LEMAY: Exhibit 15 into the

1 record without objection.

2 (Whereupon, MIDLAND PHOENIX

3 EXHIBIT 15 was admitted into evidence.)

4 MR. CARR: May it please the Commission,
5 at this time we will call Terry Cherryhomes.

6

7 TERRY LEE CHERRYHOMES

8 The witness herein, after having
9 been first duly sworn upon his oath, was
10 examined and testified as follows:

11

12 DIRECT EXAMINATION

13

14 BY MR. CARR:

15 Q. Would you state your full name for the
16 record, please?

17 A. Terry Lee Cherryhomes.

18 Q. Mr. Cherryhomes, where do you reside?

19 A. Midland, Texas.

20 Q. By whom are you employed and in what
21 capacity?

22 A. Enron Oil & Gas as the Chief Production
23 Geologist for the Midland Division.

24 Q. Have you previously testified before the
25 New Mexico Oil Conservation Division and had your

1 credentials as a petroleum geologist accepted and

2 made a matter of record?

3 A. Yes, sir I have.

4 Q. Are you familiar with the applications
5 filed for Midland Phoenix and for Enron that has
6 been consolidated for today's hearing?

7 A. Yes, I am.

8 Q. Have you studied the area which is the
9 subject of each of these applications?

10 A. Yes, I have.

11 MR. CARR: Are the witnesses
12 qualifications acceptable?

13 CHAIRMAN LEMAY: They are acceptable.

14 BY MR. CARR:

15 Q. Are you familiar, Mr. Cherryhomes, with
16 the rules that govern development of the Atoka and
17 Morrow Formations in this area?

18 A. Yes, sir.

19 Q. What are the spacing and the location
20 requirements set forth in those rules?

21 A. The spacing is 320 acres. They can
22 either be stand-up or lay-down proration units
23 within a 640-acre section.

24 The well spacing has to be 660 feet from
25 the long sides and 1980 feet from the short sides of

1 the proration unit.

2 Q. Have you prepared certain exhibits for
3 presentation to the Commission today?

4 A. Yes, sir.

5 Q. Would you refer to what has been marked
6 for identification as Enron Exhibit No. 5?

7 A. Okay.

8 Q. Identify that and review the relevant
9 portions of that exhibit for the Commission.

10 A. Okay. This is -- you could call it a
11 type log or a composite log of the potential pays
12 and pays that are found in all or any of the wells
13 in the Pitchfork Field.

14 Now, not all of the wells have each of
15 these pays in them that are productive, but what we
16 have done is taken, for instance, the Atoka Reef
17 from one well where it was good, and composited a
18 log that we refer to at times just to, for one thing,
19 to keep in order from shallow to deep, the different
20 pays that are in the field. Sometimes our own
21 management forgets whether the Warren Sand is above
22 or below the A Sand or whathaveyou.

23 So what we do normally is -- we could
24 stretch it out here and maybe refer to it as we go
25 along (indicating).

1 Q. Is the purpose of this exhibit primarily
2 for orientation as you work through your subsequent
3 exhibits?

4 A. That's correct.

5 Q. Would you now refer to what has been
6 marked Enron Exhibit No. 6?

7 A. Okay.

8 Q. Would you identify this, please?

9 A. I might mention this is the only new
10 exhibit that we have from the previous hearing here.

11 Enron Exhibit No. 6 is a completion zones
12 map of this portion of the Pitchfork Ranch Field.
13 This is not all of the field, just centering around
14 Section 34 here.

15 And it shows the zones that the wells are
16 completed in now and the zones that have been
17 abandoned or the zones that have shows. Well, the
18 shows will come later.

19 It also shows the cumulative production
20 underneath the well through 1-1-89. It has not been
21 revised since 1-1-89.

22 Q. Mr. Cherryhomes, if we go to the No. 1
23 Moore Well in the northeast of 34, that is color-
24 coded and indicated as the Wolfcamp Well.

25 What is the status of that well in the

1 Atoka and the Morrow?

2 A. As we will see later on the next exhibit,
3 this well was drilled from surface to within -- well,
4 6 feet into the bottom pay, the C Sand that's been
5 discussed today with 10 pound to 10.5-pound brine.

6 This is very important, and the people
7 that have been involved in the wells out here
8 realize when I say that, that we had no potential
9 pays in this wellbore. It was a dry hole
10 essentially from top to bottom.

11 Q. The well in the west half of 34, the
12 Pitchfork No. 1, that is the well that is, although
13 shown as producing from the Atoka, that was a
14 non-commercial well; is that correct?

15 A. That's correct.

16 Q. Who is the operator of Section 3
17 immediately south of the proposed location?

18 A. Enron.

19 Q. And the two wells that are indicated down
20 there, one is producing from the Sinatra in the
21 immediate offset from the Atoka, is that correct, in
22 the north of Section 3?

23 A. In the north half?

24 Q. Yes.

25 A. That's correct.

SANTA FE DEPOSITION SERVICE

1 I might point out here that if you will
2 look at the well in Section 27, it has a dry hole
3 symbol on it.

4 Really, all of our maps from the Atoka to
5 the base of the C Sand in the Moore Well that's in
6 the northeast quarter of Section 34, we should have
7 a dry hole symbol on every one of them.

8 The well in the southwest quarter is
9 producing out of the Atoka Sand, and it should have
10 a dry hole symbol on all of the Morrow, because they
11 are both Morrow dry holes.

12 Q. All right, Mr. Cherryhomes. Would you
13 now go to what is marked Enron Exhibit No. 7?

14 A. (Witness complies.) Enron Exhibit No. 7
15 is a map that shows a non-commercial production test
16 by zones on the Enron-operated wells.

17 Q. All right. Would you focus on the wells
18 in 34, and review that information for the Commission?

19 A. Okay. Let's look at the well in the
20 southwest quarter of 34, The Pitchfork Ranch Federal
21 Com. No. 1. This well was drilled before the Moore
22 Well that's in the northeast quarter.

23 This well is now an Atoka producer, and
24 it forms a west half stand-up 320-acre standard
25 Atoka proration unit.

1 Looking on this map -- and by the way,
2 the writing out to the west of that well goes with
3 this well, not with the wells in Section 33.

4 This particular well was drilled -- to TD --
5 it actually went through a D Sand which is below the
6 C Sand. The D Sand was not tested. It had porosity.

7 But this little symbol around this well
8 shows that three zones were production tested. Two
9 of them have "N's" which means they were
10 non-commercial. The red zone in the A Sand result
11 was also non-commercial. There should be three N's
12 there.

13 But, anyway, if you will look to the west
14 of that well, we perforated and acidized and tested
15 the C Sand, which is the major, main field pay at
16 the Pitchfork, twice. We perforated it, tested it,
17 we squeezed it, reperforated, acidized; and both
18 times we recovered water overload with the gas, a
19 gas show. So we are satisfied that that is a water-
20 wet well in the C Sand.

21 It's tight, also. It gave up quite a bit
22 of water. It was tight, as has been mentioned
23 before, I think by heavy drilling fluid, or the
24 possibility exists.

25 We tested the B Sand coming up a section,

SANTA FE DEPOSITION SERVICE

1 and it was tight. We had a 10-foot, a 6- foot and a
2 10-foot flare at any given time. It was tight, and
3 we moved up to the A Sand.

4 The A Sand is one of the sands that does
5 not go around the flanks of this field; it goes
6 across the crest of this field, the porosity does.
7 It goes from east to west, pretty much.

8 We perforated and acidized this sand with
9 3,500 gallons, and it flowed at the rate of 1.1
10 million. Actually, that was natural. Then we
11 acidized it. And then it flowed at 1 million and
12 decreased in 24 hours to 80 Mcf a day. And we
13 recovered 220 barrels of water overload.

14 And I don't remember how many days we
15 stayed on this before we moved up to the Atoka Sand
16 and made a gas well. But we spent adequate time, in
17 my estimation.

18 We don't want to walk off and leave any
19 gas down there, that it won't be produced. So we
20 adequately tested these three Morrow Sands in this
21 well bore.

22 Q. In your opinion, is this well capable of
23 producing from the Morrow Formation?

24 A. We had one zone that was not tested that
25 we'll see later on my Sinatra map. It had 8 feet of

1 upper Sinatra Sand that didn't appear at the time.
2 We just moved up and made a gas well. We messed
3 around and spent a lot of money on these lower zones.

4 Q. What does this well data tell you about
5 the Morrow Formation surrounding the wellbore?

6 A. It tells me that it's been adequately
7 tested in the west half of Section 34, at least in
8 the southwest quarter.

9 Q. Let's go to the well to the northeast of
10 34, and I'd ask you to review the information on
11 that well.

12 A. The well in the northeast quarter is the
13 Moore 34 No. 1 that we keep mentioning that we feel
14 like has been adequately tested in the Morrow C Sand.
15 It was acidized with 5,000 gallons, and then it was
16 re-acidized with 10,000 gallons, and we recovered
17 most of the load water. It had about a 5-to-8-foot
18 flare, and we deemed it to be tight and moved up the
19 hole to the A Sand.

20 We perforated the A Sand, acidized it.
21 It flowed 750 Mcf, decreased to 150 Mcf, and we
22 recovered 193 barrels of water overload.

23 So based on these two wells, we feel like
24 that most of the Morrow Sands have been adequately
25 tested. I mentioned the Sinatra in the southwest

1 Phil Stinson a little credit in this meeting. He
2 was our Vice-President of Drilling and Production.
3 And I don't believe that we were flying by the seat
4 of our pants all the time. I think we knew a little
5 bit more about how to drill wells than what has been
6 brought out before. That's neither here nor there,
7 but anyway --

8 Q. My question is if you are drilling this
9 well and you are getting a gas show in the Atoka
10 drilling with brine water, what tells you that you
11 are getting a show?

12 A. Past histories on other wells. We would
13 have had the Pitchfork 34-1. That's why we drilled
14 the Moore to start with.

15 The Moore Well was permitted only to the
16 Atoka, to start with. We realized, when we drilled
17 this 3 feet or trace of Atoka Sand and we drilled it
18 with 10 pound brine, that we had no well. We had a
19 dry hole, essentially.

20 So we permitted it onto the Morrow.
21 That's why we drilled it. We had condemned the
22 Morrow in our own minds at that time.

23 Q. If you are drilling with brine water and
24 you start to get a gas show, what happens on the
25 well? Do you get a kick? What happens?

1 A. We have one well in the field that this
2 happened on. It blew the pipe out of the hole. It
3 cut the mud log trailer in two with the drill pipe,
4 and we had the mud up to 14.5 pounds per gallon.
5 You really know it when you hit the Atoka or any of
6 the -- or the A Sand. It takes 14 -- or it did at
7 the time -- 14 pound or better mud weight to control
8 it.

9 So my point here is that we drilled this
10 well to 6 feet into the bottom sand that it
11 penetrated with 10-pound brine. We had no gas in
12 this well bore other than trip gas until we got into
13 the C Sand, and we did have a show in the C Sand.
14 We changed out to the mud program to 13.3 pounds oil
15 and mud.

16 Q. If you had had a show in either the Atoka
17 or the A Zone, would you have had to change to mud
18 at that point?

19 A. That's correct.

20 Q. And how would you know you needed to do
21 that?

22 A. Well, it comes to see you, as we say; the
23 gas kick. I wouldn't have wanted to have been there.

24 Q. Let's go to Exhibit No. 8, and I'd ask
25 you to identify this, please.

1 A. Exhibit No. 8 is a structure map
2 constructed on the base of the Atoka carbonate.
3 It's the same place that Mr. Dicey pointed out in
4 his discussion. It's right above where the Atoka
5 Sand is developed.

6 This map is really -- has not too much to
7 offer, other than the fact that it shows you, in
8 this portion of the Pitchfork Field, that the
9 structurally higher part is back to the northwest,
10 and that going to the east and the southeast, we
11 continue to dip into this major fault that's on the
12 east side of the map over here.

13 We see no reason for another high to be
14 out here or whatever. It's just regional. It's
15 dipping off of the field to the east.

16 This water is high. That isn't actually
17 a gas-water contact. We tested water as high as
18 this in some of these wells, so the actual water
19 contact could be higher than this if it carries
20 around the field.

21 Q. All right. Let's move on to Exhibit No.
22 9. I'd ask you to identify, first of all, what
23 Exhibit 9 is.

24 A. Exhibit 9 is an isopach map that I made
25 on the Atoka Reef.

1 Q. As we go through each of these zones, you
2 might make a reference to the type log and indicate
3 exactly where we are talking about.

4 A. Okay. It's the top carbonate, colored
5 red on the right side of this type log, the way it's
6 hanging over here (indicating). It's just above the
7 Atoka Sand.

8 Q. Would you go back now to Exhibit 9, and,
9 first of all, I think, identify the basic parameters
10 you used as you approached this mapping effort?

11 A. Okay. First of all, the porosity in this
12 area of the field in most of the field is only found
13 in two to three wells. I used a 6-percent porosity
14 cutoff, since it was a carbonate with gas, and the
15 contour interval or isopach interval is 10 feet.

16 We have a lot of negative control on
17 porosity in all these wells that have zero feet of
18 porosity. They have -- most of them have reefal-type
19 carbonate in them, but no porosity.

20 So the size and extent of this reef is
21 basically unknown at this time. We had plans to
22 test the well in the north half of Section 3, try to
23 use pressure information to help us in figuring out
24 how large this is, but it didn't work out that way.
25 We didn't get to do it.

1 So this map is very generous, that I've
2 flip-flopped the control I have in the two wells in
3 the north half of 3, flip-flopped them. They cover
4 most of the south half of Section 34. And as you
5 can see, it shows very little to nothing in the
6 northeast quarter.

7 Q. Let's move on now to Exhibit No. 10. I'd
8 ask you to identify this, please.

9 A. Exhibit No. 10 is an isopach map of the
10 net Atoka Sand porosity.

11 Q. Where is this on the type log?

12 A. The Atoka Sand is found right here
13 (indicating).

14 Q. That's the second shaded red area from
15 the top of this?

16 A. That's correct.

17 Q. This sand produces in each of the wells
18 on this portion of the Pitchfork Ranch Field that
19 are colored solid purple.

20 The half circles were the wells that had
21 shows when we drilled through it.

22 Actually, we later had a program to
23 develop this Atoka Sand, and it was with Parker
24 Drilling Company.

25 We went back and essentially twinned --

1 although not all of these wells are twins, they are
2 a little further apart -- the wells that we
3 originally had found gas in.

4 So, at that time, if we had felt like --
5 and I might mention that all of the Enron people
6 that are now with Midland Phoenix were with Enron at
7 that time. That would have been the time to
8 recommend to drill an Atoka Sand well next to this
9 Moore dry hole if someone felt strongly enough that
10 it was going to produce over there.

11 It was not recommended, and we did not
12 drill it at that time.

13 Q. Now, let me ask you, you've drawn a zero
14 line that traverses the north -- it skirts around
15 the northeast corner of section -- northeast quarter
16 of Section 34; is that correct?

17 A. That is correct.

18 Q. In pulling your zero line that far, you
19 have placed the contour over the zero in that field
20 encountered in the Moore No. 1. Is that correct?

21 A. That's correct.

22 Q. How does that concur with the way you
23 treated wells in which you discovered zero net feet
24 in other sections offsetting there?

25 A. Well, to the north I have it pulled away

1 from it. In Section 2 to the southeast, I have it
2 almost through that wellbore.

3 Basically, in this part of the field, it
4 would -- it's hard to say. I couldn't say for sure,
5 but it would take 2 or 3 feet of really good
6 permeable sand to probably get into the reservoir.

7 We have wells on the west side of the
8 field with 4 feet that had no show and would not
9 produce.

10 But I've been generous putting this zero
11 line through this wellbore. The difference between
12 the maps in the cross section that were discussed
13 this morning, I'm talking about zero feet of
14 porosity greater than or equal to 8 percent. It had
15 a trace of sand, as was brought out, 1, 2, 3 feet of
16 sand.

17 Once again, we drilled it with 10-pound
18 brine. It had no gas.

19 Q. Mr. Cherryhomes, you are familiar with
20 the map of the Atoka Sand, Exhibit 21, that we
21 discussed with Mr. Dicey this morning?

22 A. Yes, sir.

23 Q. How does this interpretation of this net
24 Atoka Sand compare to the interpretations made by
25 Mr. Dicey, Mr. Hodges, and Mr. Broten when they were

1 employed by Enron?

2 A. If I can take a second here, it was
3 brought out this morning that probably four or five
4 different geologists with Enron HNG have mapped this
5 field at one time or another.

6 Mr. Helms and I pulled together a field
7 study starting in October or November of 1988, and I
8 basically mapped almost all of the sands, if I
9 didn't map all of them, and I used maps that Mr.
10 Hodges, Mr. Dicey, Mr. Broten had helped to make at
11 Enron, because I still considered the work, in my
12 estimation, is good work.

13 My map here is a mirror image of the map
14 Exhibit 20 or 21, as far as the isopach in Section
15 34. I may have traced it.

16 Q. This was prepared prior to the time that
17 this matter became an issue?

18 A. Yes, sir.

19 Q. Would you refer to Exhibit No. 11, please?

20 A. (Witness complies.)

21 Q. First of all, identify this exhibit.

22 A. Okay. This is an isopach map of the
23 Morrow A Sand which is the upper -- it isn't exactly
24 the uppermost. There is the X Sand, but it produced
25 in one well, I believe, on the northwest side of the

1 Pitchfork, and it basically does not develop in the
2 field. But this is the uppermost probably Morrow
3 Sand that covers a big part of the field.

4 And as I mentioned before, as you can see
5 from my isopach, it's headed basically slightly
6 northeast to the west across the field. It goes
7 across the crest of the field, this sand right here
8 (indicating).

9 Q. Right above it on the type log would be
10 what?

11 A. The X Sand. That's the one I mentioned.

12 Q. Where is the Sinatra Sand?

13 A. The Sinatra is right here (indicating).

14 Q. All right. Let's go back now and look at
15 the Morrow A.

16 I'd ask you, based on your study of the
17 area, if you can reach any conclusion about the
18 potential for this sand producing at the proposed
19 well location?

20 A. Yes, sir. In my estimation, since we've
21 tested gas and water in both of these dry holes in
22 Section 34, I would not move downdip. I don't think
23 I could convince my management to move downdip from
24 water and drill another \$2 million well.

25 I would say that neither Midland

1 Phoenix's location or our location -- I would be
2 happy if it did produce, but I would not expect it
3 to produce. And I would not expect it to produce in
4 the northeast quarter, since there is a well that
5 tested and had water.

6 Q. Are you ready to go to Exhibit No. 12?

7 A. Yes, sir.

8 Q. Could you identify that, please?

9 A. Exhibit No. 12 is an isopach map of the
10 Warren-Como Sand. It's using a porosity cutoff of
11 greater than or equal to 8 percent. The isopach
12 interval is a 10-foot isopach interval.

13 This sand in the Warren No. 1 and 3 No. 1
14 in the southeast corner of Section 3 is one of the
15 cleanest Morrow Sands that I have seen in the
16 Pitchfork Field.

17 Unfortunately, it has been found in very
18 few wells. It is commingled in a well way over on
19 the southwest side of the field, an Amoco well. It
20 took 14-pound per gallon mud weight to control it
21 when we drilled it in the Warren well.

22 The Page 3-1 has 3 feet, and there is a
23 well or two other wells that may have 2 or 3 feet,
24 but that's basically it. I have not that much
25 control.

1 I've trended it like I have based on a
2 dry hole in the north half of Section 11 that had a
3 15-foot flare, gas flare. I feel like it's probably
4 on the edge of this sand.

5 So with no more control, I've laid it in
6 there like this. It could go another way.

7 Q. Do you see anything that would suggest it
8 would be productive under Section 34?

9 A. No, I don't.

10 Q. Would you now go to Exhibit No. 13 and
11 identify Exhibit No. 13, please?

12 A. Exhibit No. 13 is a structure map I
13 constructed on top of the Sinatra Sand, and the
14 contouring is a hundred feet, and this is a primary
15 objective at our location.

16 Q. What is basically the significance of the
17 structure in the Sinatra-Morrow Zone?

18 A. Once again, I'm showing the relationship
19 of wells and that you are dipping back off to the
20 east.

21 Water has been tested, for instance, in
22 the well in Section 2 and, basically, other than the
23 color symbols here that show the wells that produce
24 out of the Sinatra, that's roughly it.

25 Q. Let's now go to Exhibit No. 14.

1 I'd ask you to first identify what
2 interval you are talking about and then show where
3 it is located on the type log.

4 A. Okay. Exhibit No. 14 is the -- is an
5 isopach map of the combined Sinatra Sands. And in
6 parts of the field, you can divide the sand into two
7 bodies, an upper and a lower sand.

8 Basically, the lower sand is the one that
9 is so prolific. The solid orange circles show wells
10 that are producing, two of them in Section 3. I'll
11 point it out. It's this sand right here
12 (indicating).

13 As you can see, this must have been taken
14 to make this composite log from a well in Section 10,
15 maybe. It's one sand body, in places.

16 Q. Mr. Cherryhomes, when you say "this sand
17 right here," on the type log they are identified by
18 name?

19 A. That's right.

20 Q. Let's go to Exhibit No. 14, and I'd ask
21 you to review what is depicted on this exhibit.

22 A. Once again, this exhibit shows a
23 meandering channel-type sand that we have a lot of
24 wells here that have no upper or no lower porosity
25 at either end. Yet, we have some wells -- one well

1 in the north half of Section 3 has 18 feet of lower
2 Sinatra Sand.

3 If you look back on the first exhibit I
4 had, you can see the cumulative production. It's a
5 very prolific well.

6 The well in the southeast quarter also
7 has been a good well, and it's producing out of the
8 Sinatra Sand.

9 Moving up to Section 34, the well in the
10 southwest quarter I mentioned a while ago, it has 8
11 feet of total Sinatra Sand porosity, and it's upper
12 Sinatra Sand.

13 We really have not much production
14 history on the upper sand. It's been commingled,
15 and it's been tested with water in it in the lower
16 parts of the field in the flank areas of the field.

17 I'm showing here that this is about as
18 generous an interpretation as I feel like giving
19 this sand. And I show very little to no commercial
20 gas in the northeast quarter of Section 34.

21 Q. When was this exhibit prepared?

22 A. This exhibit was prepared January the
23 19th of this year.

24 Q. At the time it was prepared, were you
25 aware of any plans for further development of

1 Section 34?

2 A. From --

3 Q. From Midland Phoenix?

4 A. No, I was not, from Midland Phoenix.

5 Q. All right. Let's very briefly address
6 what has been marked Exhibit No. 15. What is that?

7 A. Exhibit No. 15 is an isopach map of the
8 Morrow B Sand that you can see on the type log.
9 It's marked "B Sand."

10 This sand -- one reason I have it in here,
11 is that it has been commingled with other sands in
12 other parts of the field, but it does not produce as
13 a single sand anywhere in the Pitchfork. It does
14 exhibit shows, and it could be a potential pay, but
15 I do not really expect it to be productive in
16 Section 34.

17 Q. Let's go now to Exhibit No. 16. Would
18 you identify that, please?

19 A. Exhibit No. 16 is a structure map on top
20 of the Morrow C Sand. This has a contour interval
21 of a hundred feet.

22 Once again, it mirror-images almost the
23 other structure maps that were mapped up higher in
24 the field. It shows the wells that are producing
25 out of the C Sand and the wells that have had shows

1 and have been production tested but were
2 unsuccessful.

3 If you look at a north-south line being
4 the west line of Sections 27, 34, 3, there is only
5 one well that is producing out of the C Sand east of
6 that line. It's up in Section 27, and it's just
7 barely a commercial well.

8 Do you see the dry hole right to the
9 southeast of it? It was tight. It made a maximum
10 of very little gas on the test.

11 The two wells in Section 34 were both
12 production tested, as I went into already earlier
13 today, and they were unsuccessful.

14 Wells to the south are tight; had gas
15 shows, some of them.

16 But what I'm saying is not all of these
17 wells can be blamed on the engineers and their
18 completion techniques. These wells were tight with
19 very little permeability. And you can get a gas
20 show or maybe it will come on strong initially and
21 deplete in a day or two or twenty days. It's tight.
22 It's not commercial, and that's my feelings here.

23 The main reason I'm even discussing this
24 is it is not a potential objective in my mind at our
25 location or at Midland Phoenix's location. You can

1 see that this is just dipping right on off to the
2 east.

3 Q. Based on your study of the Morrow C Sand,
4 do you have an opinion as to whether or not there
5 are commercial reserves under the northeast quarter
6 of Section 34?

7 A. No. Based on what we've already said, I
8 do not see -- in my -- based on my interpretation
9 and the way I feel, I see no commercial reserves in
10 the C Sand.

11 Q. Now let's move to Exhibit No. 17. I
12 would ask you to identify that.

13 A. Okay. This is an isopach map of the
14 Morrow C Sand, the one that we just looked at the
15 structure map on. There is no need belaboring the
16 test data on these two wells in Section 34. They
17 were unsuccessful.

18 We weren't in the habit of walking off
19 and leaving gas reserves. We like to make money,
20 just like everybody else does. So I see no
21 potential in Section 34.

22 Q. Now, in your Exhibits Nos. 6 through 17,
23 have you mapped each zone that you believe could
24 possibly contribute production to a well in the east
25 half of Section 34?

1 A. I have, with the exception of the

2 Wolfcamp pay, which was completed in that well.

3 Q. We're focusing here just in the Atoka and
4 the Morrow.

5 Have you mapped all of those zones?

6 A. Yes.

7 Q. What conclusions can you reach from your
8 work on this area about the ability of the northeast
9 quarter of Section 34 in the Atoka and the Morrow to
10 contribute reserves to a well in the east half of 34?

11 A. I honestly can say that I don't see any
12 potential in the northeast quarter of Section 34.

13 Q. Do you have an opinion as to which of the
14 proposed well locations is most appropriate for
15 development of this acreage?

16 A. Yes, sir, Enron's.

17 Q. Why is that?

18 A. It's offsetting more closely production
19 to the south.

20 The Sinatra map shows that we have a good
21 shot at making a Sinatra well which produces in the
22 two wells in Section 3.

23 The Atoka Sand, as I've shown, we should
24 have around 8 feet of sand or porosity in our well.
25 It may be drawn down pressurewise, but it could

1 still be a good amount of gas there that we can
2 produce.

3 Q. Is the location of the proposed well in
4 the Morrow Formation a standard location?

5 A. Yes, sir, it is.

6 Q. Because of the proposed unorthodox
7 location, is there a standard location in the Atoka?

8 A. No, there isn't.

9 Q. Were any of the Exhibits 6 through 17 or
10 5 through 17 changed or in any way altered in
11 preparation for the hearing on these applications?

12 A. No, sir.

13 Q. Were Exhibits 5 through 17 prepared by you?

14 A. Yes, sir.

15 MR. CARR: At this time, we move the
16 admission of Enron Exhibits 5 through 17.

17 CHAIRMAN LEMAY: Without objection,
18 Exhibits 5 through 17 --

19 THE WITNESS: I'd like to say one other
20 thing to answer your question. I believe I did part
21 of the composite log. I may not have. Someone in
22 our office did, and the draftsman finalized it.

23 MR. CARR: Have you reviewed it and is it
24 accurate for purposes for which you employed it
25 today?

1 THE WITNESS: Yes.

2 MR. CARR: We'd move admission.

3 CHAIRMAN LEMAY: Without objection, they
4 are admitted into evidence.

5 (Whereupon, ENRON EXHIBITS 5
6 through 17 were admitted into evidence.)

7 MR. CARR: That concludes my Direct.

8 CHAIRMAN LEMAY: Thank you, Mr. Carr.
9 Mr. Padilla?

10

11 CROSS EXAMINATION

12

13 BY MR. PADILLA:

14 Q. Mr. Cherryhomes, when did you make a
15 recommendation to drill a well in the southeast
16 quarter of Section 34?

17 A. It was after we received Midland
18 Phoenix's proposal. I believe March the 27th.

19 Q. Let me refer you to this. We had marked
20 this Midland Phoenix Exhibit No. 15 (indicating).

21 I will ask you if you know what that
22 exhibit contains?

23 A. (Witness refers to document.) Yes, sir,
24 I do. I did not make this. The information that I
25 had -- and Mr. Helms and I worked real close on this.

SANTA FE DEPOSITION SERVICE

1437 PASEO DE PERALTA

SANTA FE, NEW MEXICO

(505) 424-1111

1 He took this and put it into this form. I'm sure
2 that he discussed it with other people to see which
3 quarter that we would plan to do this work in.

4 Q. Do you recall when you received the
5 Midland Phoenix application for compulsory pooling
6 or their first proposal to drill in the northeast
7 half of Section 34?

8 A. Do I recall it? Yes, sir, I do.

9 Q. About what time was that?

10 A. I'm not for sure whether March 22nd was
11 the first proposal or the second proposal. It was
12 the first, I guess. Our letter was dated March the
13 22nd. I believe that was the unorthodox location.

14 Q. Your testimony at the Division Hearing
15 was that you had prepared a study that included a
16 four-volume test which included this schedule, was
17 it not?

18 A. That's correct.

19 Q. And that was done January of 1989?

20 A. If you look on my maps, my part of the
21 study, I actually started in either October or
22 November -- I will say November of 1988 --
23 compiling my maps. And by compiling my maps, I
24 compiled work that had been done by my friends here.
25 We all worked together. So I really finished most

1 of my maps in January or by early January, I believe,
2 of 1989.

3 Q. Is it fair to say that this Exhibit No.
4 15 was a schedule that Enron had prepared for field-
5 wide workover plans or drilling plans for the
6 Pitchfork Field?

7 A. That's correct.

8 Q. Isn't it true that in January, 1989, you
9 had plans for the east half of Section 34?

10 A. Yes, sir, we had plans, but we had not
11 finalized what we planned to do at that time, other
12 than we needed to pick the acreage up which we had
13 allowed to expire.

14 Q. Were you going to combine the northeast
15 quarter with the southeast quarter in figuring a
16 proration unit you proposed for the east half?

17 A. No, because we had not finalized or even
18 knew where our location might be.

19 In fact, we had planned to do some
20 remedial work in some nearby wells before we planned
21 to even pursue drilling another well in Section 34.

22 Q. What was the purpose of your study, Mr.
23 Cherryhomes?

24 A. It was back through from -- I was
25 involved in all these wells that HNG Enron drilled,

1 and we were drilling so fast and in other areas also
2 that, honestly, we had not made complete maps on
3 every formation in this field.

4 And it was brought to our attention by
5 our higher management that this was one of the eight
6 major fields that we had, and that it was a shame
7 that we had not made a field study of this to make
8 darn sure we hadn't overlooked something or come up
9 with workovers or maybe new locations. And that's
10 why --

11 Q. Isn't it true that possibly as a result
12 of this study, you had overlooked the east half of
13 Section 34?

14 A. I have never overlooked it. I had
15 chalked the northeast quarter off a long time ago.

16 Q. My question was was the east half of
17 Section 34, Mr. Cherryhomes. I didn't say the
18 northeast quarter.

19 A. Overlooked it?

20 Q. Yes, sir.

21 A. No, we had acreage. We still have
22 acreage in the southeast quarter.

23 Q. Why would this red rectangle here not
24 include only the southeast quarter?

25 A. I think I explained that in the previous

SANTA FE DEPOSITION SERVICE

1437 PASEO DE PERALTA

SANTA FE, NEW MEXICO

(505) 992-4642

161

1 hearing that we are willing to pay for leases for
2 protection around a field like this. One thing is
3 to keep this from happening again.

4 Q. Were you going to voluntarily, if you had
5 those leases, cut yourself out of the northeast
6 quarter if you had obtained those leases?

7 A. I did not make that decision initially.
8 But once we received a location from Midland Phoenix,
9 we had 30 days to give them an answer.

10 And when we put all of our facts together,
11 it just reminded us, once again, that we did not
12 believe that those people in the northeast quarter
13 ought to share the gas that's coming out of the
14 southeast quarter.

15 Q. Would Enron have a greater position had
16 it had the northeast quarter, if it had obtained
17 those leases in the northeast quarter?

18 A. We would have had greater lease position
19 in the section. Is that what you mean?

20 Q. Yes, sir.

21 A. Sure.

22 Q. And in the east half of Section 34?

23 A. Well, if we leased it, we'd have complete
24 control.

25 Q. Is it your testimony that Enron would

1 have cut itself out of the northeast quarter had it
2 obtained those leases?

3 A. That's what we're here under oath saying
4 today, that we do not believe there is commercial
5 gas in the northeast quarter.

6 Q. That's not the question I'm asking you,
7 Mr. Cherryhomes. I'm asking whether Enron would
8 have voluntarily cut itself out of the northeast
9 quarter of Section 34?

10 A. You'll have to call Mr. Hoglund in
11 Houston for that. I can't answer that.

12 Q. Who is Mr. Hoglund?

13 A. He's the Chairman of our oil and gas
14 company.

15 I don't make the -- what I'm saying is --
16 and I'm not trying to be in any way smart -- I can't
17 make that decision. I know what I would recommend
18 to them.

19 Q. You had weekly meetings every Tuesday,
20 did you not, concerning the application for
21 compulsory pooling that was filed by Midland Phoenix.
22 Is that correct?

23 A. I no longer attend meetings. I've been
24 lowered to a level that -- we've had Monday meetings,
25 Tuesday meetings. We have a lot of meetings in our

SANTA FE DEPOSITION SERVICE

1437 PASO DE PERALTA SANTA FE, NEW MEXICO (505) 992-4642

1 oil company.

2 Q. You testified at the hearing --

3 A. You are correct.

4 Q. -- that you had Tuesday morning meetings?

5 A. That's correct.

6 Q. During those meetings did you discuss
7 developing all of the east half of Section 34?

8 A. No. We never really discussed it until
9 we got the Midland Phoenix proposal and that kind of
10 jacked us up to get something done.

11 Q. Let me ask you, the left rectangle there
12 that states "Deplete Atoka SD," what does that mean.
13 It's on the third level, I guess.

14 A. Okay. I see what you mean, in the Page
15 3-2. It's the only -- that's one of the Atoka twin
16 wells. That's the only pay we have in -- no, I'm
17 sorry. That's the one with the lease in the Vaca.
18 We would deplete the Atoka Sand.

19 Mr. Helms is the one that should be
20 answering that.

21 Q. Well, how would you deplete the sand, the
22 Atoka Sand?

23 A. It never has been nearly as good a well
24 as, say, the 34-1. But we just produced it until we --

25 Q. Mr. Cherrynomes, I'm a little curious

1 here, because I don't understand.

2 Aren't you talking about the east half of
3 34 in this last section of the rectangles?

4 A. Evaluate the drilling location?

5 Q. Well, yes, sir, the left rectangle right
6 below the minus sign.

7 A. No, that well is in Section 3. It's the
8 well just -- it's the well in the north half of
9 Section 3.

10 Q. I see, so that Page 3-2 is the well
11 itself?

12 A. Yes, sir.

13 Q. It's not a reference to a page in your
14 study or anything?

15 A. Oh, no, that's a well, the Page 3 No. 2.
16 See the green block right above it?

17 Q. Yes, sir.

18 A. That's the same thing. Page 3 No. 2 is a
19 well.

20 Q. Were these wells in the Pitchfork 34
21 depleting the southeast quarter of Section 34?

22 A. Pardon me? I missed the first. I didn't --

23 Q. Was the Pitchfork 34 in this Page 3-2
24 depleting the Atoka Formation? Were they depleting --

25 A. The Atoka Sand gas?

SANTA FE DEPOSITION SERVICE

1437 PASEO DE PERALTA

SANTA FE, NEW MEXICO


(505) 833-1111

STATE OF NEW MEXICO)
) SS.
COUNTY OF SANTA FE)

REPORTER'S CERTIFICATE

I, Patricia Lou O'Brien, Certified Shorthand Reporter
and Notary Public of the firm SANTA FE DEPOSITION SERVICE,
do hereby certify that the following transcript is a
complete and accurate record of said proceedings as the same
were recorded by me or under my supervision.

Dated at SANTA FE, NEW MEXICO, this 7th
day of September, 1989.



Patricia Lou O'Brien
Certified Shorthand Reporter

My Commission Expires:
February 16, 1990

SANTA FE DEPOSITION SERVICE

1437 PASEO DE PERALTA
SANTA FE, NEW MEXICO 87501
(505) 983-4643

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

PAGE NO.

1.	Appearances	iii
2.	THE WITNESS: BENTON CRAIG DUKE	
	Direct Examination by Mr. Padilla	1
	Cross Examination by Mr. Carr	23
	Examination by Chairman LeMay	29
	THE WITNESS: PHIL STINSON	
	Direct Examination by Mr. Padilla	30
	Cross Examination by Mr. Carr	35
	THE WITNESS: TIM DICEY	
	Direct Examination by Mr. Padilla	37
	Cross Examination by Mr. Carr	61
	Examination by Chairman LeMay	86
	Redirect Examination by Mr. Padilla	91
	THE WITNESS: JAMES RUSSELL BROTEN	
	Direct Examination by Mr. Padilla	92
	Cross Examination by Mr. Carr	104
	Examination by Chairman LeMay	112
	THE WITNESS: ROBERT McCOMMON	
	Direct Examination by Mr. Carr	114
	Cross Examination by Mr. Padilla	121
	THE WITNESS: TERRY CHERRYHOMES	
	Direct Examination by Mr. Carr	129
	Cross Examination by Mr. Padilla	157
	Examination by Chairman LeMay	174
	THE WITNESS: L. W. HELMS, JR.	
	Direct Examination by Mr. Carr	178
	Cross Examination by Mr. Padilla	185
3.	Reporter's Certificate	iv

* * *

E X H I B I T S

2 MIDLAND PHOENIX EXHIBITS:

3	EXHIBIT 1	23
3	EXHIBIT 2	23
	EXHIBIT 3	35
4	(NO EXHIBIT 4 MARKED OR ADMITTED)	
	EXHIBIT 5	60
5	EXHIBIT 6	60
	EXHIBIT 7	60
6	EXHIBIT 8	60
	EXHIBIT 9	60
7	EXHIBIT 10	60
	EXHIBIT 11	60
8	EXHIBIT 12	60
	EXHIBIT 13	60
9	EXHIBIT 14	104
	EXHIBIT 15	129

10

11 ENRON EXHIBITS:

	EXHIBIT 1	121
12	EXHIBIT 2	121
	EXHIBIT 3	121
13	(NO EXHIBIT 4 MARKED OR ADMITTED)	
	EXHIBIT 5	157
14	EXHIBIT 6	157
	EXHIBIT 7	157
15	EXHIBIT 8	157
	EXHIBIT 9	157
16	EXHIBIT 10	157
	EXHIBIT 11	157
17	EXHIBIT 12	157
	EXHIBIT 13	157
18	EXHIBIT 14	157
	EXHIBIT 15	157
19	EXHIBIT 16	157
	EXHIBIT 17	157
20	EXHIBIT 18	184
	EXHIBIT 19	184

21

* * *

22

23

24

25

SANTA FE DEPOSITION SERVICE

1437 BASEO DE DEPOSITA

SANTA FE DEPOSITA

1437 BASEO DE DEPOSITA

1 Q. Yes.

2 A. All of the wells that we drilled are
3 depleting the Atoka gas out of the sand, yes.
4 That's why we went back and had our in-field
5 drilling program.

6 Q. When was a decision made by Enron to
7 configure the southeast quarter for the Atoka
8 Formation?

9 A. It was during the evaluation of Midland
10 Phoenix's proposal.

11 Q. Was that evaluation, would that
12 evaluation have been the same had Enron obtained the
13 northeast quarter of Section 34?

14 A. I answered that while ago. I don't know.

15 Q. You don't know?

16 A. No.

17 Q. Do you have a guess or an estimate as to
18 what that evaluation would have been, as a prudent
19 operator?

20 A. My recommendation would have been the
21 same as I've recommended here, and sometimes my
22 recommendation is listened to and sometimes it isn't.
23 So I cannot answer for management.

24 Q. You actually recommended from the very
25 beginning a southeast quarter proration unit?

1 A. I recommended a south-half or I joined in
2 with the recommendation of our people for a south-
3 half proration unit, yes.

4 Q. That was only after all the meetings that
5 you had concerning the Midland Phoenix application?

6 A. It was as a result of evaluating that
7 proposal.

8 Q. You don't think much of the Morrow
9 Formation in Section 34, do you?

10 A. Mr. Padilla, I really don't. I wish I
11 could. The C Sand, as has been mentioned before,
12 may possibly have been damaged in the Pitchfork 34-1.

13 Q. Why are you recommending the south-half
14 proration unit for the Morrow?

15 A. Midland Phoenix, in the previous hearing --
16 I couldn't figure out for sure. Mr. Dicey said one
17 time it was the A and B Sand and then the A and C
18 Sand. And then later on in his testimony, it was
19 the C Sand and everything else was secondary.

20 Q. But you have actually two recommendations,
21 one with regard to the Atoka and one with regard to
22 the Morrow. Isn't that correct?

23 A. That's correct.

24 Q. You are still willing to drill a Morrow
25 well; is that correct?

1 A. That's correct. That's correct. We feel
2 like the Sinatra Sand -- based on those two real
3 good wells in Section 3, should we get a well like
4 that, it will pay for that well over and over again.

5 Q. And that well is basically the same
6 location as the Midland Phoenix location; isn't that
7 correct?

8 A. It's the same one as the unorthodox
9 location they turned in first.

10 Q. Is there any difference in your mind or
11 opinion with regard to 1990 from the south (sic) and
12 the 660 from the south as far as the Morrow is
13 concerned?

14 A. I believe it's 1980.

15 Q. Oh, 1980 from the south and --

16 A. Oh, there sure is.

17 Q. Where can you show me that there is such
18 a difference?

19 A. On the Atoka Sand is a good place.

20 Q. I'm asking concerning the Morrow
21 Formation.

22 A. The Morrow?

23 Q. Yes, sir.

24 A. There is no Sinatra in the Moore, and I
25 believe if you look at the maps, you can see. I

1 don't believe I -- I don't remember how many feet
2 that I have mapped through their location. I can
3 check.

4 (Witness refers to documents.) I show 5
5 feet -- and, of course, that's interpretive --
6 through Midland Phoenix's location, and I show 17
7 feet through our location of Sinatra -- Morrow,
8 that's Morrow.

9 Q. How about Morrow C Sand?

10 A. It isn't an objective in our mind. The
11 only reason we're drilling through it is something
12 could happen when we're going through the D Sand.

13 Q. You didn't bother, between the time of
14 the last hearing and this hearing, to try and figure
15 out whether the Morrow Zone may be productive?

16 A. I already have that figured out.

17 Q. You didn't do a cross section of that
18 area, did you?

19 A. No.

20 Q. The only thing you have is a type log; is
21 that correct?

22 A. No, I have maps.

23 Q. I understand that, but --

24 A. I have a cross section hanging on my wall
25 in the office.

1 Q. Why didn't you bring that to this hearing,
2 Mr. Cherryhomes?

3 A. Because it was not needed.

4 Q. You based your maps on that cross section?

5 A. I based my maps on Mr. Dicey's cross
6 sections that he had made two or three years ago and
7 that are Enron's property and on my cross sections
8 that I've made. I don't need cross sections here.
9 Mr. Dicey made the cross sections when he
10 was at Enron, most of them.

11 Q. Did you base your Exhibit No. 9 on Mr.
12 Dicey's cross section?

13 A. No.

14 Q. How did you base your Exhibit No. 9?

15 A. I flip-flopped it. You have 4 feet -- is
16 that the Atoka Reef?

17 Q. That's the Atoka Reef.

18 A. Okay. I've got it right here. I flip-
19 flopped it. That's a geological term. There's not
20 enough control to know which direction that that
21 goes right now.

22 Q. Wouldn't it be -- if you don't know,
23 wouldn't it be fair simply to draw your structure
24 smaller?

25 A. This is an isopach map.

1 Q. Well, an isopach, whatever?

2 A. Well, you could draw it any way you
3 wanted to, as long as you honored the data from
4 these two wellbores.

5 Q. Are you honoring that well data?

6 A. Yes, I am, to my estimation.

7 Q. What well control do you have in Section
8 35?

9 A. No control. You see, those are dashed, a
10 dashed isopach means I don't know where it goes. If
11 you look back to the west, they are solid. I felt a
12 little more confident.

13 Q. So you have a lot of artistic license
14 with regard to this?

15 A. Exactly right. It's a very liberal
16 interpretation.

17 Q. Weren't you very liberal on a lot of your
18 maps?

19 A. That might be your opinion.

20 Q. I'm trying to --

21 A. I feel like I tried to stick closely to
22 the control I had.

23 Q. You used the word in your testimony
24 "generous"?

25 A. That's correct.

1 Q. You were generous to yourself, is that
2 correct, and Enron?

3 A. Yes. It's interpretive. It's no more
4 generous than Mr. Dicey's map of the channel map
5 that he showed this morning.

6 Q. Isn't your location simply based on a
7 closology (sic) or trying to get closer to the well
8 in Section 3?

9 A. I'm a stockholder in Enron, and I'll get
10 as close as I can get to a producing well as long as
11 it's legal.

12 Q. If you are a stockholder in Section -- if
13 you are a stockholder of Enron, can you control the
14 entire east half -- you would want to dedicate the
15 entire east half, wouldn't you?

16 A. I wouldn't.

17 Q. You would cut yourself out of the
18 northeast quarter?

19 A. That's what we proposed in these two
20 hearings we've gone to.

21 Q. You don't own any leases there at this
22 time, do you?

23 A. That's correct.

24 Q. I'm asking you to assume that you own the
25 leases. You tried to obtain them; isn't that

1 correct?

2 A. We tried to get them back.

3 Q. Would your decision be the same if you
4 owned those leases?

5 A. I'll tell you what I base this on.
6 You've asked me this now nine or ten times.

7 I go along with 320-acre proration units
8 in New Mexico because they are based on productive
9 history, as long as there's not a \$2 million dry
10 hole drilled on that proration unit, which we
11 drilled in the northeast quarter.

12 My management would probably have me out
13 on the street if I recommended drilling another
14 northeast quarter location.

15 Q. Mr. Cherryhomes, have you ever
16 recommended re-entering other wells?

17 A. In this field?

18 Q. No, anywhere else.

19 A. Sure.

20 Q. Were those wells dry originally?

21 A. You are making up a hypothetical
22 situation.

23 Q. Well, I am. I am.

24 You profess to be an expert, and I'm
25 asking you that as an expert witness.

SANTA FE DEPOSITION SERVICE

1437 PASEO DE PERALTA SANTA FE, NEW MEXICO (505) 992-4642

1 A. I don't believe I said I was an expert
2 today. Did I?

3 Q. You are. As far as I know, you are an
4 expert geologist, Mr. Cherrynomes.

5 A. I don't know what you are trying to get
6 to. You are not going to make me mad, if that's
7 what you are trying to do.

8 Q. I'm not trying to make you mad. I am
9 simply asking whether you ever made recommendations
10 to re-enter dry holes?

11 A. I cannot name one that I have.

12 Q. Have you drilled a step-out from a dry
13 hole?

14 A. Yes. I haven't. Enron has.

15 Q. Did you make that recommendation?

16 A. No -- I don't know whether I did or not.
17 I don't know where you are talking about. In
18 Pitchfork or where? Eddy county? Lea County?
19 Louisiana?

20 Q. It's not unusual to explore fields that
21 have already been drilled, is it?

22 A. That's why we did this study, to look at
23 uphole potential in every well bore. And based on
24 that study, we have now recommended two more
25 locations in the Pitchfork, one of which will be

1 spudded the middle of September, and the other one
2 we don't know about yet.

3 Q. And that study included some
4 recommendation or some plan to acquire the entire
5 east half; isn't that correct?

6 A. I believe I said that two or three times,
7 yes.

8 MR. PADILLA: I believe that's all I have.

9 CHAIRMAN LEMAY: Thank you, Mr. Padilla.

10 Additional questions of the witness?

11 MR. CARR: None.

12 CHAIRMAN LEMAY: I've got a couple here.

13

14 EXAMINATION

15

16 BY CHAIRMAN LEMAY:

17 Q. Is it true that the only good Atoka well
18 is that well in Section 34, the Atoka Sand well, or
19 are there any others?

20 A. It depends on what you call a good Atoka
21 well. That well, Mr. Lemay, the reason it was
22 completed so early in the life of this field -- and
23 that well was probably about the fifth or sixth well
24 that we drilled. And had we been successful in the
25 Morrow C on those, we would still be producing out

1 of that. I say that because that would have been
2 what would have happened.

3 We were unsuccessful, and it may have
4 been due to drilling too heavy mud in that
5 particular well. We had not finalized the way we
6 did things at the time. We were working on it hard.

7 But anyway, to answer your question, that
8 has been a very good well. It produced two or three
9 years at least before we twinned these other wells.
10 And when we did, we could see a pressure drawdown.

11 Q. What's the pressure in there now? Do you
12 have any information on that?

13 A. Mr. Helms does.

14 Q. That's fine. I'll ask him.

15 A. Okay.

16 Q. The two wells in Section 34, is it
17 possible that there could be some formation damage
18 because of the drilling procedures at that time in
19 the Morrow Sand?

20 A. Definitely in the Pitchfork 34. I could
21 not argue one -- in fact, I think that was the
22 general feeling.

23 You know, in any office the geologist and
24 the engineers bicker with each other but wind up
25 getting along pretty well.

1 I think we as geologists had a tendency
2 to blame poor completions a lot of times on the
3 engineers when it may not have been that. It may
4 have been tight or whatever, you know. So, to
5 answer your question, we could have damaged the
6 Morrow in the Pitchfork 34. Not so in the --

7 Q. How about Morrow Formation, did they miss
8 the circulation in the Morrow?

9 A. I believe there was a little bit lost,
10 but the key to this whole thing it's kind of like
11 air drilling in Sutton County, Texas. When you air
12 drill a well, when you hit a gas zone, you get a
13 flare, and you can almost estimate how good the well
14 is going to be by the length of the flare.

15 This well we tried to drill in balance or
16 maybe slightly under balance a lot of these wells,
17 and you really know it when you get a good show.
18 And we saw absolutely nothing that really looked
19 good until we got into the C Sand. And then we
20 displaced the brine with the oil-based mud at that
21 time.

22 But we production-tested it, and could
23 not make a well. In my estimation, the permeability
24 has gotten worse in the eastern part of the field in
25 the C Sand, for sure.

1 Q. Is it possible that there could be some
2 formation damage, that's why the complete attempt
3 was unsuccessful in the Moore?

4 A. I couldn't say that there was. I mean, I
5 could never say there's not some damage, you know,
6 drilling the Morrow section.

7 In my estimation, I would say no in the
8 Moore. I don't feel like it was damaged.

9 CHAIRMAN LEMAY: Thank you very much.
10 Additional questions of the witness?

11 (No response.)

12 CHAIRMAN LEMAY: None. You maybe excused.

13 CHAIRMAN LEMAY: Let's take a 10-minute
14 recess.

15 (Whereupon, there was a brief
16 recess taken.)

17 CHAIRMAN LEMAY: We shall resume.

18 Mr. Carr?

19 MR. CARR: May it please the Commission,
20 at this time, we'd like to call Mr. Billy Helms.

21

22 L. W. HELMS, JR.

23 The witness herein, after having
24 been first duly sworn upon his oath, was
25 examined and testified as follows:

1

2

DIRECT EXAMINATION

3

4 BY MR. CARR:

5 Q. Would you state your full name for the
6 record, please?

7 A. L. W. Helms, Junior.

8 Q. Mr. Helms, where do you reside?

9 A. In Midland, Texas.

10 Q. By whom are you employed and in what
11 capacity?

12 A. Enron Oil & Gas as a Project Production
13 Engineer.

14 Q. Have you previously testified before the
15 Oil Conservation Division, had your credentials as a
16 petroleum engineer accepted and made a matter of
17 record?

18 A. Yes.

19 Q. Are you familiar with the applications
20 filed by Midland Phoenix and by Enron in the cases
21 that are consolidated here today for hearing?

22 A. Yes.

23 Q. Are you familiar with the area which is
24 the subject of these hearings?

25 A. Yes.

1 MR. CARR: Are the witness's
2 qualifications acceptable?

3 CHAIRMAN LEMAY: His qualifications are
4 acceptable.

5 BY MR. CARR:

6 Q. Mr. Helms, would you identify for the
7 Commission what has been marked as Enron Exhibit No.
8 18?

9 A. It's an AFE that has been prepared for
10 the drilling of this well with a completed well cost
11 of \$1,484,421.00.

12 Q. Were you present this morning when Mr.
13 Stinson testified?

14 A. Yes, sir, I was.

15 Q. And you concur with him that this AFE is
16 substantially below the AFE proposed by Midland
17 Phoenix?

18 A. Yes, sir.

19 Q. Were the differences in those figures as
20 stated by Mr. Stinson, i.e., a difference in casing
21 size and also a 10 percent charge for contingencies,
22 do you concur that those are the basic difference?

23 A. Yes.

24 Q. Why did Enron not put contingencies in
25 their AFE?

1 A. Enron has operated approximately 34 wells
2 in this immediate area. And with the experience
3 that we've had in this area, we didn't feel like
4 adding the contingencies on top of what we felt we
5 could drill the well for was necessary.

6 Q. In the Midland Phoenix AFE, a 7-5/8ths
7 casing is proposed?

8 A. That's correct.

9 Q. In your opinion, is the use of 7-5/8ths
10 casing appropriate for a well in this area?

11 A. It can be done, but 7-inch casing is the
12 normal procedure in this area and has been proven to
13 be adequate.

14 Q. Do you believe that by using a larger
15 casing, the 7-5/8ths casing, as opposed to a 7-inch
16 casing, you can, in fact, get a better cement job or
17 accomplish any other technical purpose?

18 A. No, sir, I do not.

19 Q. In the AFE that you have proposed, do you
20 believe the totals contained on that AFE are in line
21 with what is charged by other operators for similar
22 wells in the area?

23 A. Yes, sir, I do. There was -- the most
24 recent well drilled in the Pitchfork Ranch Field is
25 the Pitchfork 10 Federal No. 1. It's operated by

1 Meridian, and it had an AFE completed cost of
2 \$1,516,000.00.

3 MR. CARR: May it please the Commission,
4 at this time we were going to address the risk that
5 should be assessed against non-joining interest
6 owners in this property. Since we've stipulated
7 with Mr. Padilla that 200 percent is appropriate, we
8 will not address that. That was contained, however,
9 in the record of the Examiner Hearing.

10 At that time, we also presented
11 administrative and overhead charges. The figures
12 that we presented at that time and would present
13 here again today are \$599.00 a month while producing
14 the well and 5992 a month while drilling the well.
15 All of that, again, is contained in the record of
16 the Examiner Hearing.

17 BY MR. CARR:

18 Q. Mr. Helms, would you just identify
19 Exhibit No. 19?

20 A. Exhibit No. 19 are some joint interest
21 billing summaries submitted on wells in which Enron
22 Oil & Gas owns an interest and are operated by other
23 companies.

24 Q. What is the purpose of that exhibit?

25 A. This was to indicate that the overhead

1 rates charged by Enron Oil & Gas or recommended by
2 Enron in this hearing were in line with what was
3 being charged by other operators in the area.

4 Q. And you are recommending that the figures
5 of 599 a month and 5992 be incorporated into any
6 order which results from this hearing?

7 A. That is correct.

8 Q. Could you explain to the Commission how
9 you would recommend that costs be allocated between
10 the Atoka and Morrow Zone as those interests will be
11 pooled?

12 A. We recommended that the owners, as to the
13 Atoka, participate as to their interest in the Atoka.
14 From below that point, the owners in the Morrow
15 would participate as to their interest in the Morrow.

16 We also are aware of some recent orders
17 issued by this Commission pertaining to some TX0
18 Orders, and they set out an allocation form in those
19 Orders. We would be agreeable to either formula as
20 it would please the Commission.

21 Q. Enron is requesting to be designated
22 operator of the well in the southeast quarter of
23 Section 34?

24 A. Yes.

25 Q. Do you believe a penalty should be

1 imposed on the production from this well?

2 A. No, I do not.

3 Q. In terms of a penalty, I'd like to
4 address with you the Atoka.

5 Could you explain to the Commission why
6 you recommended no penalty in the Atoka?

7 A. Mainly, the Atoka Bank Zone is yet
8 unproven. It's the same distance -- this particular
9 well would be the same distance from a common
10 boundary as a well to the south that is potentially
11 productive in the same zone. So that if we imposed
12 a penalty on this well, it would not have the same
13 right to produce those reserves, which would be in
14 competition with a well to the south. That's why we
15 were recommending no penalty.

16 Q. Is the well to the south the Page No. 3
17 Well?

18 A. Page 3, No. 2; that's correct.

19 Q. If a penalty for drainage occurred, would
20 it be enforced to the Page Well which is not
21 penalized?

22 A. Yes, sir.

23 Q. If a penalty was imposed by this Division
24 because of the short acreage in the non-standard 160
25 Atoka unit, what kind of penalty would you recommend?

1 A. It would be an acreage factor. It would
2 be, basically, if we had 160 acres and 320-acre
3 normal spacing for a proration unit, it would be 50
4 percent of the deliverability of the well.

5 Q. How do you recommend the deliverability
6 be established?

7 A. On a semi-annual deliverability test.

8 Q. Were Exhibits 18 and 19 compiled by you?

9 A. Exhibit No. 18 is an AFE prepared by our
10 Drilling Superintendent.

11 Exhibit No. 19 shows joint interest
12 summaries that I pulled together.

13 Q. Have you reviewed these and can you
14 testify that they're accurate?

15 A. Yes.

16 MR. CARR: At this time, we would move
17 the admission of Enron Exhibits 18 and 19.

18 CHAIRMAN LEMAY: Without objection,
19 Exhibits 18 and 19 will be admitted into the record.

20 (Whereupon, ENRON EXHIBITS 18
21 and 19 were admitted into evidence.)

22 MR. CARR: That concludes my Direct
23 Examination.

24 CHAIRMAN LEMAY: Thank you, Mr. Carr.

25 Mr. Padilla?

1

2

CROSS EXAMINATION

3

4 BY MR. PADILLA:

5 Q. Mr. Helms, how many AFE's have you
6 prepared for the Pitchfork Field?

7 A. AFE's? Quite a few; yes, sir.

8 Q. Were they under the direction of Mr.
9 Stinson?

10 A. No, sir, not the AFE's that I have
11 prepared.

12 Now, the AFE's that I've prepared have
13 been not for the drilling of the wells. I never
14 have prepared an AFE for the drilling of a well in
15 the Pitchfork Ranch Field.

16 Q. At the last hearing, you proposed or
17 recommended that no penalty be assessed against
18 Enron for the southeast quarter proration unit?

19 A. Yes, sir.

20 Q. What motivated your change to a 50
21 percent change from the time of the last hearing to
22 now?

23 A. We're still not recommending a penalty.
24 We're still recommending that we have no penalty.

25 Q. And that's strictly on the basis that

1 you're 660 feet from the lease line?

2 A. Yes, sir. We are the same distance from
3 a common boundary if a well is potentially
4 productive from that same zone.

5 Q. Who are you offsetting to the south?

6 A. It's our -- Page 3 Com. No. 2 that we
7 operate.

8 Q. Are you an interest owner to the south?

9 A. Yes, sir, we are.

10 Q. Is the ownership the same in section --
11 in the southeast quarter of Section 34 as it is in
12 Section 3?

13 A. No, they are not.

14 Q. Mr. Helms, regarding the AFE submitted by
15 Midland Phoenix, is it your opinion that the AFE
16 submitted by Midland Phoenix is unreasonable?

17 A. No, sir, it is not.

18 MR. PADILLA: That's all I have, Mr.
19 Chairman.

20 CHAIRMAN LEMAY: Thank you, Mr. Padilla.
21 Additional questions of the witness?

22 (No response.)

23 CHAIRMAN LEMAY: With nothing more, he
24 may be excused.

25 Do either of you have anything else in

1 the case?

2 MR. CARR: Only a closing statement.

3 CHAIRMAN LEMAY: We've got time for a
4 verbal conclusion, if you want to make it. Go ahead.

5 MR. CARR: May it please the Commission,
6 as I told you this morning, this was a correlative
7 rights case.

8 Enron appears before you today asking you
9 to grant them an opportunity to produce its share of
10 reserves under Section 34. And what we are talking
11 about are reserves that we believe are under our
12 tract.

13 If you look at the Morrow Zone, we have
14 two conflicting prudent applications. We submit the
15 Enron application stands before you in a better
16 posture for the south half.

17 I think if you look at the technical
18 presentation as to the Morrow, the reserves are
19 there. We are proposing to develop a standard unit
20 as well as an orthodox and, we submit, better
21 location. It's on our own tract.

22 We have a lower AFE, and we have 87
23 percent of the interest owners in the south half.
24 Even excluding Mr. Landreth's mineral interests, we
25 have 87-plus percent of the interest owners who are

1 supporting this intercession who are represented
2 today by Enron.

3 We submit to you that application should
4 be granted.

5 Midland Phoenix comes in today proposing
6 an east-half unit. We get to the crux of the whole
7 case when we start looking at that, because we
8 submit to you the east-half unit is half
9 nonproductive. We believe the northeast quarter
10 does not contain commercial reserves.

11 They want to come in. They want to
12 develop the east half. They want to place the well,
13 however, on the Enron-operated tract. They have a
14 higher AFE because they are using large casing,
15 something which is new and has never been used by
16 anyone else in this field. We submit that shouldn't
17 be allowed.

18 As to the Morrow, we think when you weigh
19 those factors, it is clear that we should be
20 entitled to operate the south-half unit in the
21 Morrow and go forward with the development of the
22 south half of Section 34.

23 As I told you earlier today, at the end
24 of the day we would present one question to you, and
25 here it is: Is the northeast quarter productive?

1 Midland Phoenix has attempted to create a
2 question about the productive capability of the
3 northeast quarter. And to do this, they have really
4 relied on two things, whether or not the Moore 34
5 Well is a dry hole and whether or not the geologic
6 interpretations stand. Those are the two things we
7 have to look at in deciding whether or not they have
8 been able to develop an argument that would
9 establish commercial reserves.

10 We submit to you they are asking you to
11 take a distorted and unreasonable view of the data.

12 The facts, I think, are pretty clear.
13 When this property was originally developed by Stu
14 Martin, by Mr. Stinson, by Mr. Dicey, by Mr.
15 Cherryhomes, by virtually everybody, they had a
16 common view of property and it was that Section 34,
17 after the Moore 34 well was drilled, wasn't capable
18 of producing commercial reserves in the northeast
19 quarter.

20 We were in agreement then, but things
21 have changed, not the underlying geologic or
22 engineering proration; the ownership has changed.

23 And following the ownership, we have
24 found some renewed perceptions. We have been able
25 to reconstruct, with the same material facts,

1 information which takes the productive capability of
2 the northeast 34 and causes it to rise like a
3 Phoenix, pardon the pun, but it didn't show these
4 things before. And the only material thing that has
5 changed is, in fact, the ownership.

6 We look at the Moore 34. Mr. Broten
7 comes up here. He was a geologist involved at the
8 time that the 34 was drilled. He saw the mud log
9 and got the data reports. He didn't, at that time,
10 say, "We've ruined the formation. We ought to go
11 out when we are infilling these other wells and
12 infill there."

13 He said, "We drilled the well and when we
14 put mud in the C zone, we ruined the well."

15 His testimony also said that the
16 discovery well in this pool, the Madera 32 Well, was
17 drilled with a heavy mud. The mud got on that
18 formation in the Morrow, and didn't kill that. In
19 fact, it's a commercial producer.

20 The same is true of the Madera 28 No. 1.
21 The same is true of the Sinatra-Morrow Sand and the
22 Page No. 1. They weren't damaged by the use of the
23 mud.

24 But, for some reason, the Moore Well can
25 be resurrected because you can discount it because

1 of the drilling techniques employed.

2 We submit to you that they are asking you
3 to take a distorted and an unreasonable view of the
4 evidence.

5 We have one other thing that I think
6 clearly establishes that the presentation of Enron
7 comes in before you in a more credible posture. We
8 developed these maps with their input long before
9 this dispute developed. Our evidence was developed
10 for the purpose of producing the oil and gas to be
11 found in Section 34.

12 The evidence wasn't constructed simply
13 for the purpose of carrying the day before the Oil
14 Conservation Commission.

15 We submit to you when you weigh these
16 things, you are going to find on what we have
17 presented as Enron Oil & Gas is technically correct,
18 it is credible, not only in terms of what we have
19 argued, but the time frame within which it was
20 created and that if you are to carry out your duties
21 and protect our correlative rights, give us an
22 opportunity to produce our just and fair share of
23 the reserves that are under our tract, then you have
24 to go with us.

25 For if you go with them, you become their

1 partner in adding nothing to something, dividing it
2 by 2 and thereby taking it from us.

3 CHAIRMAN LEMAY: Thank you, Mr. Carr.

4 Mr. Padilla?

5 MR. PADILLA: Mr. Carr is exactly right,
6 members of the Commission. This is a case of
7 correlative rights. It's a case to protect the
8 correlative rights of the owners of the northeast
9 quarter.

10 I think our Exhibit No. 15 tells the
11 whole story insofar as it all depends on whose goose
12 is getting gored.

13 The simple truth of the matter is that
14 Midland Phoenix has paid the leases in the northeast
15 quarter of Section 34 after Enron let them expire.
16 They moved to drill a well, and we have had nothing
17 but delays ever since, for whatever reason.

18 My clients have testified that they have
19 been willing to drill that well on the east half and
20 dedicate that well. And, for some reason or other,
21 Enron simply has not agreed to the drilling of the
22 well on the east half.

23 The reason is, we believe, the Pitchfork
24 34 in the southwest of Section 34 is draining that
25 acreage, so why drill a well, but for the

1 application of Midland Phoenix.

2 Once the application of Midland Phoenix
3 was made, then, all of a sudden, the sleeping giant
4 woke up, and we have had problems ever since.

5 Not once did they make a call or try to
6 respond to the proposal of Midland Phoenix to drill
7 a well. They never said the southeast quarter is a
8 better location. They didn't respond to that.

9 The way they responded was to come back
10 and say, "We're going to force pool you in the
11 southeast quarter, and we're going to lay down a
12 proration unit."

13 The whole story, I think, is a question
14 of the ownership, as Mr. Carr says. I don't think
15 that you could believe for a second that Enron would
16 exclude the northeast quarter of the section if they
17 had obtained those leases.

18 We now have a battle of geology. We have
19 very credible witnesses. The Division Examiner
20 weighed this evidence before the Division, made the
21 recommendation. It was based on substantial
22 evidence.

23 We have the same, essentially the same
24 presentation today. That order that was issued by
25 the Division should be upheld by the Commission.

1 There is simply nothing that has changed.

2 The only thing new is a type log that I
3 think Mr. Cherryhomes felt compelled to bring
4 because he had no cross sections. By his own
5 admission he created some maps which he says were
6 generous to their side.

7 Mr. Dicey testified that the reason that
8 cross sections are necessary in this case is to show
9 the extent of formations. Enron hasn't shown that
10 kind of thing, other than to draw maps such as their
11 Exhibit 9, which, by Mr. Cherryhome's own admission,
12 has no well control.

13 The cross sections control the maps that
14 Midland Phoenix presented for you.

15 But ultimately, you have to look at our
16 Exhibit No. 15. Enron simply had the plans to
17 develop the east half and the east region. And for
18 that reason and for that reason alone, you have to
19 doubt the credibility that Enron brings to this case
20 today as far as lay-down units and the unit
21 comprised of the southeast quarter for the Atoka
22 Formation.

23 Enron doesn't think much of the Morrow
24 and yet is willing to drill in the Morrow Formation
25 that comprises the south half of the section.

1 So the credibility that Enron brings here
2 today simply should be considered by the Commission
3 in making its decision. But, ultimately, you have
4 to reach a decision, and the decision of the Hearing
5 Examiner of the Division was accurate and supported
6 by substantial evidence.

7 Thank you.

8 CHAIRMAN LEMAY: Thank you, Mr. Padilla.

9 How about some statements in the case?

10 Mr. Pearce?

11 MR. PEARCE: I'd like to call the
12 Commission's attention to a letter dated August 10th
13 of 1989 from Mr. James W. Lynn, Vice-President of
14 Parker Drilling Company.

15 That letter was addressed to the Division
16 and referenced the case. It should be in the
17 Commission's case file. If not, I can get you
18 copies of it.

19 The letter on its face shows copies going
20 to Mr. Padilla and Mr. Carr, also. If they don't
21 have it, I'll get copies to them.

22 It generally expresses Parker Drilling's
23 concerns about Enron's position and the impact it
24 may have on Parker's interest in this area and they
25 oppose the non-standard proration unit.

SANTA FE DEPOSITION SERVICE

1427 PASEO DE PERALTA

SANTA FE, NEW MEXICO

760-231-1111

1 Thank you.

2 CHAIRMAN LEMAY: Thank you, Mr. Pearce.

3 Are there any other statements in the
4 case?

5 (No response.)

6 CHAIRMAN LEMAY: I would like to request
7 draft orders from both attorneys.

8 With that, we will take the case under
9 advisement.

10 (Whereupon, the hearing in the
11 above matter was adjourned.)

12

13 * * *

14

15

16

17

18

19

20

21

22

23

24

25

SANTA FE DEPOSITION SERVICE

1437 PASEO DE PERALTA

SANTA FE, NEW MEXICO

407-555-1111