

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION

IN THE MATTER OF CASE 9789 BEING	)	
REOPENED PURSUANT TO THE PROVISIONS	)	
OF DIVISION ORDER NUMBER R-9085,	)	
WHICH ORDER PROMULGATED SPECIAL	)	CASE NO. 9789
RULES AND REGULATIONS FOR THE	)	
BADLAND HILLS-MANCOS OIL POOL IN	)	
RIO ARriba COUNTY, NEW MEXICO	)	
INCLUDING PROVISIONS FOR 640-ACRE	)	
SPACING AND PRORATION UNITS AND	)	
DESIGNATED WELL LOCATION AND	)	
REQUIREMENTS.	)	

-----

REPORTER'S TRANSCRIPT OF PROCEEDINGS  
EXAMINER HEARING  
BEFORE: MICHAEL E. STOGNER, Hearing Examiner  
June 13, 1991  
8:45 a.m.  
Santa Fe, New Mexico

This matter came for hearing before the Oil Conservation Division on June 13, 1991 at 8:45 a.m. At the Oil Conservation Division Conference Room, State Land office Building, 310 Old Santa Fe Trail, Santa Fe, new mexico, before Linda Bumkens, CCR, Certified Court Reporter No. 3008, for the State of New Mexico.

FOR: OIL CONSERVATION DIVISION  
(COPY)

BY: LINDA BUMKENS CCR  
Certified Court Reporter  
CCR No. 3008

## APPEARANCES

FOR THE DIVISION:

ROBERT G. STOVALL, ESQ.  
General Counsel  
Oil Conservation Division  
State Land Office Building  
Santa Fe, New Mexico

87504

1 MR. STOGNER: Call next case number 9789.

2 MR. STOVALL: In the matter of the case number  
3 9789 being reopened pursuant to the provisions of  
4 division order number R-9085, which order  
5 promulgated special rules and regulations for the  
6 Badland Hills-Mancos Oil Pool in Rio Arriba County,  
7 New Mexico including, provisions for 640-acre  
8 spacing and proration units and designated well  
9 location and requirements.

10 MR. STOGNER: Call for appearances at this  
11 time. There being none, this case will be taken  
12 understand advisement

13

14

15

16

17

18

19

20

21

22

23

24

25

I do hereby certify that the foregoing is  
a complete record of the proceedings in  
the Examiner hearing of Case No. 9789 (Reopened)  
heard by me on 13 June 1991.  
Michael E. Stogner, Examiner  
Oil Conservation Division

1 STATE OF NEW MEXICO       )  
                                  ) ss.  
2 COUNTY OF BERNALILLO     )

3 REPORTER'S CERTIFICATE

4 BE IT KNOWN that the foregoing transcript of  
5 the proceedings were taken by me, that I was then  
6 and there a Certified Shorthand Reporter and Notary  
7 Public in and for the County of Bernalillo, State  
8 of New Mexico, and by virtue thereof, authorized to  
9 administer an oath; that the witness before  
10 testifying was duly sworn to testify to the  
11 whole truth and nothing but the truth; that the  
12 questions propounded by counsel and the answers of  
13 the witness thereto were taken down by me, and that  
14 the foregoing pages of typewritten matter contain a  
15 true and accurate transcript as requested by counsel  
16 of the proceedings and testimony had and adduced  
17 upon the taking of said deposition, all to the best  
18 of my skill and ability.

19 I FURTHER CERTIFY that I am not related to  
20 nor employed by any of the parties hereto, and have  
21 no interest in the outcome hereof.

22 DATED at Bernalillo, New Mexico, this day  
23 July 29, 1991.

24 My commission expires  
25 April 24, 1994

LINDA BUMKENS  
CCR No. 3008  
Notary Public

1 STATE OF NEW MEXICO  
2 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
3 OIL CONSERVATION DIVISION  
4  
5  
6

7 EXAMINER HEARING  
8

9 IN THE MATTER OF:

10 Application of Mobil Producing Case 9789  
11 Texas and New Mexico Inc. for  
12 pool creation and special pool  
13 rules, or in the alternative  
for pool extension, Rio Arriba County,  
New Mexico

14

15

16 TRANSCRIPT OF PROCEEDINGS

17

18 BEFORE: DAVID R. CATANACH, EXAMINER

19

20 STATE LAND OFFICE BUILDING

21 SANTA FE, NEW MEXICO

22 November 15, 1989

23

24

25

**ORIGINAL**

## A P P E A R A N C E S

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

FOR THE DIVISION: ROBERT G. STOVALL  
Attorney at Law  
Legal Counsel to the Divison  
State Land Office Building  
Santa Fe, New Mexico

FOR THE APPLICANT: MONTGOMERY & ANDREWS, P.A.  
Attorneys at Law  
P.O. Box 2307  
Santa Fe, New Mexico 87504-2307  
BY: W. PERRY PEARCE, ESQ.

FOR AMOCO PRODUCTION COMPANY: AMOCO PRODUCTION COMPANY  
1670 Broadway  
P.O. Box 800  
Denver Colorado 80201  
BY: LARRY N. EMMONS

FOR NASSAU RESOURCES, INC.,  
and JEROME P. MCHUGH  
& ASSOCIATES: KELLAHIN, KELLAHIN & AUBREY  
Attorneys at Law  
117 N. Guadalupe  
Santa Fe, New Mexico 87504  
BY: W. THOMAS KELLAHIN, ESQ.

## I N D E X

	Page Number
Appearances	2
1. ROGER LICHTY	
Direct Examination by Mr. Pearce	4
2. RAY JONES	
Direct Examination by Mr. Pearce	10
Cross-Examination by Mr. Kellahin	23
Cross-Examination by Hearing Examiner	30
Further Examination by Hearing Examiner	59
3. LARRY CRUNCLETON	
Direct Examination by Mr. Pearce	33
Cross-Examination by Mr. Kellahin	40
Cross-Examination by Hearing Examiner	42
Further Examination by Mr. Stovall	56
Further Examination by Mr. Pearce	58
4. CRAIG EGGERMAN	
Direct Examination by Mr. Pearce	44
Cross-Examination by Mr. Kellahin	50
Cross-Examination by Hearing Examiner	51
Cross-Examination by Mr. Stovall	53
Statement by Mr. Emmons	60
Certificate of Reporter	61
E X H I B I T S	
Applicant's Exhibit 1	8
Applicant's Exhibit 2	9
Applicant's Exhibit 3	12
Applicant's Exhibit 4	14
Applicant's Exhibit 5	14
Applicant's Exhibit 6	16
Applicant's Exhibit 7	17
Applicant's Exhibit 8	18
Applicant's Exhibit 9	19
Applicant's Exhibit 10	20
Applicant's Exhibit 11	35
Applicant's Exhibit 12	36
Applicant's Exhibit 13	46

1 HEARING EXAMINER: Call the hearing back to  
2 order. At this time we'll call Case 9789.

3 MR. STOVALL: Application of Mobil  
4 Producing Texas and New Mexico Inc. for pool creation  
5 and special pool rules, or, in the alternative, for  
6 pool extension, Rio Arriba County, New Mexico.

7 HEARING EXAMINER: Appearances in this  
8 case?

9 MR. PEARCE: May it please the examiner,  
10 I'm W. Perry Pearce of the Santa Fe office of the law  
11 firm of Montgomery & Andrews, P.A., appearing in this  
12 matter on behalf of Mobil. I have four witnesses who  
13 need to be sworn.

14 HEARING EXAMINER: Other appearances.

15 MR. EMMONS: Larry Emmons of Amoco  
16 Production Company, as an appearance. I would like to  
17 make a statement at the conclusion of the case.

18 HEARING EXAMINER: I'm sorry, your last  
19 name, sir?

20 MR. EMMONS: Emmons, E-m-m-o-n-s.

21 HEARING EXAMINER: Other appearances.

22 MR. KELLAHIN: Mr. Examiner, I'm Tom  
23 Kellahin of the Santa Fe law firm of Kellahin,  
24 Kellahin & Aubrey. I'm appearing on behalf of Nassau  
25 Resources, Inc., and Jerome P. McHugh & Associates.



1 HEARING EXAMINER: Any witnesses, Mr.  
2 Kellahin?

3 MR. KELLAHIN: No, sir.

4 HEARING EXAMINER: Any other appearances?  
5 Can I get the four witnesses to stand and  
6 be sworn in?

7 (Witnesses sworn.)

8 MR. PEARCE: Thank you. At this time, I  
9 would like to call Mr. Roger Lichty to the stand,  
10 please.

11 ROGER LICHTY,  
12 the witness herein, after having been first duly sworn  
13 upon his oath, was examined and testified as follows:

14 DIRECT EXAMINATION

15 BY PEARCE:

16 Q. Thank you, sir. For the record, would you  
17 please state your name and place of residence.

18 A. My name is Roger Lichty. My residence is  
19 Denver, Colorado.

20 Q. Would you spell your last name for us  
21 please, sir.

22 A. Yes. L-i-c-h-t-y.

23 Q. Mr. Lichty, by whom are you employed?

24 A. I'm employed by Mobil Exploration and  
25 Producing US, Inc., in their Denver office.

1 Q. In what capacity?

2 A. I'm a land adviser, landman.

3 Q. Mr. Lichty, have you previously appeared  
4 before the New Mexico Oil Conservation Division or one  
5 of its hearing examiners and had your qualifications  
6 made a matter of record?

7 A. No, I have not.

8 Q. At this time briefly would you summarize  
9 your educational background and work experience,  
10 please.

11 A. All right. I have an undergraduate degree  
12 in English from Princeton University in 1967. I have  
13 a law degree from the University of Colorado, 1970. I  
14 have an M.B.A. Degree from the University of Denver,  
15 1988. I'm admitted to practice law in Arizona and  
16 Colorado. I have seven years of active practice of  
17 law with a focus on natural resources law, and I have  
18 11 years of experience as a senior landman, and I have  
19 a publishing credit in the natural resources law  
20 field.

21 Q. Mr. Lichty, as part of your work  
22 responsibilities, were you assigned the responsibility  
23 of the land matters related to Mobil's application in  
24 case 9789?

25 A. Yes, I was.

1 Q. Are you familiar with what Mobil seeks in  
2 that case?

3 A. Yes, I am.

4 MR. PEARCE: At this time I would ask that  
5 Mr. Lichty be qualified as experienced and an expert  
6 in the field of petroleum land matters.

7 HEARING EXAMINER: He is so qualified.

8 Q. (BY MR. PEARCE) Mr. Lichty, in pursuing  
9 the job responsibility relating to this case, could  
10 you describe what you did initially, please.

11 A. We were to determine operators and working  
12 interest owners and royalty owners and overriding  
13 royalty interest owners as they needed to be noticed  
14 for this hearing regarding Badland Hills Well.

15 Accordingly, I contracted with an  
16 independent landman who has approximately ten years of  
17 experience, not only in land work but also in this  
18 specific area, to work with me to develop that list of  
19 people for us to notice for this hearing.

20 We used petroleum information maps which  
21 designate ownership for the Section 15 acreage, and we  
22 also used a nine-section block surrounding that  
23 acreage, using the petroleum information maps.

24 We also developed information from Dwight  
25 Well History as to operators around the West Puerto

1 Chiquito pool area, and we contacted the Oil and Gas  
2 Commission where we had concerns regarding current  
3 addresses.

4 We also consulted a current directory of  
5 name changes for mergers and acquisitions in the oil  
6 industry for various companies to make sure we had  
7 right addresses there.

8 We additionally sent notices to the Bureau  
9 of Land Management, the Jicarilla Indian Tribe, and  
10 any other parties that would not necessarily strictly  
11 be within the realm of the rules but to whom we felt  
12 had an interest in this hearing.

13 It took us about four days to develop those  
14 names, and we forwarded them to Mr. Pearce here for  
15 mailing.

16 Q. In regard to that, is that work summarized  
17 in what we've marked as Exhibit No. 1 to this  
18 proceeding?

19 A. Yes, it is.

20 Q. And that is a letter from Mr. Richard Lewis  
21 to you; is that correct?

22 A. Yes, it is.

23 Q. I notice on the last page of that report,  
24 Mr. Lewis has signed it, and you have signed  
25 concurring in the conclusions he reached as a result

1 of his work; is that correct?

2 A. That is correct.

3 Q. Let's look very quickly at the last page of  
4 Exhibit No. 1. That appears to be a map. Could you  
5 describe the areas that are surrounded by colored  
6 markings, please.

7 A. Yes. We're looking at Township 23 North,  
8 Range 1 West, a yellow enclosed area being Section 15,  
9 which is the location of Badland Hills Well.

10 Surrounding that in a pink border is an  
11 approximate 12-section border zone or buffer area that  
12 we checked for operator ownership. And then there is  
13 a green line indicating the pool outline for the West  
14 Puerto Chiquito Pool.

15 MR. PEARCE: Mr. Examiner, at this time I  
16 would also like to submit what we have marked as  
17 Exhibit No. 2 to this proceeding. That is my  
18 Certificate of Service, showing service by mail as  
19 required by Rule 1207(4) to the individuals described  
20 by Mr. Lichty during his testimony. Notice of this  
21 hearing was initially sent to those parties on  
22 September 28th of 1989.

23 Q. At this time, Mr. Lichty, I would ask if  
24 you have additional matters that you would like to  
25 highlight for the examiner?

1           A.       Not that I'm aware of.

2                   MR. PEARCE: I have nothing further of this  
3 witness, Mr. Examiner.

4                   I would ask the admission of Mobil Exhibits  
5 1 and 2 to this proceeding.

6                   HEARING EXAMINER: Exhibits No. 1 and 2  
7 will be admitted as evidence.

8                   Any questions of this witness? If not, he  
9 may be excused.

10                   RAY JONES,  
11 the witness herein, after having been first duly sworn  
12 upon his oath, was examined and testified as follows:

13                   DIRECT EXAMINATION

14 BY MR. PEARCE:

15           Q.       At this time, Mr. Examiner, I would like to  
16 call my next witness, and I would ask him for the  
17 record to please state his name and place of  
18 residence.

19           A.       My name is Ray Jones. I reside in  
20 Lakewood, Colorado.

21           Q.       Mr. Jones, by whom are you employed?

22           A.       I'm employed by the petroleum consulting  
23 firm of Jerry R. Bergeson & Associates, Inc.

24           Q.       In what capacity are you employed by  
25 Bergeson & Associates?

1           A.       As a senior petroleum engineer.

2           Q.       Mr. Jones, have you previously appeared  
3 before the New Mexico Oil Conservation Division and  
4 its examiners and had your credentials made a matter  
5 of record?

6           A.       I have not.

7           Q.       Would you briefly summarize for us, please,  
8 your educational background and work experience.

9           A.       I have a degree, bachelor's of petroleum  
10 engineering from the Colorado School of Mines, 1979.  
11 I worked for Flow Patrol, 1979 and 1980, in the areas  
12 of well testing and operations in the North Sea.

13                   I worked for Texaco North Sea UK, Inc., in  
14 be Aberdeen, Scotland, 1980, 81, and 1982. For  
15 Texaco, I performed reservoir engineering, production  
16 engineering duties. These included well test design  
17 and analysis for current producing wells and  
18 exploratory wells.

19                   I worked with Chorney Oil Company, 1982  
20 through 1985, as a petroleum engineer, chief petroleum  
21 engineer, mainly concerned with reservoir engineering  
22 with fields in the Rocky Mountain area.

23                   And since that time, I've been employed by  
24 Bergeson & Associates, reservoir engineering, well  
25 test analysis, reservoir simulation within the U.S.

1 and international. And I also teach in the Bergeson  
2 industry courses of well testing, reservoir  
3 engineering, and reservoir simulation.

4 Q. Mr. Jones, has Bergeson & Associates been  
5 retained by Mobil to study the Badland Hills 15-1  
6 Well?

7 A. Yes, we have.

8 Q. And you are the employee at Bergeson who  
9 has been charged with that responsibility; is that  
10 correct?

11 A. That is correct.

12 MR. PEARCE: At this time, Mr. Examiner, I  
13 would ask that Mr. Jones be recognized as an expert in  
14 the field of petroleum engineering.

15 HEARING EXAMINER: He is so qualified.

16 Q. (BY MR. PEARCE) Mr. Jones, during the  
17 course of drilling and completing the Badland Hills  
18 15-1 Well, do you know if bottom hole pressure tests  
19 were conducted on that well?

20 A. Yes. Bottom hole pressure tests were  
21 conducted in the end of October to test the pressure  
22 of the Mancos A-B zones.

23 Q. Sir, I would ask you to refer to what we've  
24 marked as Mobil Exhibit No. 3 in this case, and would  
25 you highlight for the examiner and those in attendance



1 the relevant features on that exhibit?

2 A. On Exhibit 3, I have shown the pressure  
3 information from that case, tool DST. I applied the  
4 bottom hole pressure at gauge depth versus time as the  
5 elapsed time from the beginning of the test. In the  
6 upper left-hand corner, I have included the  
7 annotations of "swab" and "shut-in."

8 The well would not flow naturally, and so  
9 it was swabbed for a period of approximately six hours  
10 for the flow period to reduce the pressure.

11 The DST tool was then shut in and left shut  
12 in for approximately 70 hours.

13 The rather erratic pressure at the very  
14 beginning of the test is due to swabbing of the well  
15 to reduce the pressure.

16 The pressure ranged from approximately  
17 1,220 pounds to a high of about 1,800 pounds and then  
18 was reduced to approximately 1,590 psig at the shut-in  
19 of the test or the shut-in of the well.

20 Q. Then would you describe, please, the  
21 pressure performance of the well once it was shut in.

22 A. The pressure increases and at approximately  
23 41 hours into the test; that would be about 47 hours  
24 on the time scale. This gauge recorded a maximum  
25 pressure of 1,824 psi. That pressure is constant

1 throughout the rest of the test.

2 Q. Let's look, please, at what we've marked as  
3 Mobil Exhibit No. 4. Could you describe that exhibit,  
4 please.

5 A. Exhibit No. 4 is a comparison of the  
6 recorded pressure from the Badland Hills Well with a  
7 graph of regional initial pressures for the Mancos.  
8 The base graph is presented before -- and this  
9 particular copy came from Case 9525.

10 I have added the pressure of 1,824 psig and  
11 at the gauge depth of 937 feet subsea to this graph.

12 It shows that the recorded pressure is in  
13 line with what we would expect as an initial reservoir  
14 pressure for the Mancos in this area.

15 Q. Other comments on Exhibit No. 4?

16 A. Not at this time.

17 Q. All right, sir. Let's look, please, at  
18 what we've marked as Exhibit No. 5 to this  
19 proceeding. I notice in the bottom, left-hand portion  
20 of that graphical display, there are a number of  
21 symbols. Could you describe those symbols and the  
22 information represented, please.

23 A. Yes, sir. The symbols represent pressure  
24 tests, specific pressure tests for three wells. The  
25 well names are noted in the lower left-hand corner of

1 the figure, Badland Flats, Federal No. 1, the Amoco  
2 State CC No. 1, and the Wishing Well 35-7.

3           These points are shut-in pressure  
4 measurements taken at various points in time. The  
5 pressures decrease in time because the wells were  
6 producing over this time period.

7           Q.     As I understand the caption on this  
8 exhibit, those wells are part of what is sometimes  
9 referred to as the Schmitz Anticline; is that correct?

10          A.     That is correct.

11          Q.     Is that the producing area in closest  
12 proximity to the Badland Hills Well?

13          A.     Yes, it is. The Schmitz Anticline is a  
14 term of reference I have used. It begins at an area  
15 approximately the Amoco Schmitz Anticline Federal No.  
16 1 Well, continues south to the southern edge of the  
17 West Puerto Chiquito-Mancos Pool.

18          Q.     Looking at the information displayed in the  
19 bottom, left-hand portion of this exhibit, based on  
20 the latest recorded pressures from the Schmitz  
21 Anticline area, which occurred in late 1988, and based  
22 upon the production since that time, do you have an  
23 estimate of the pressure you would expect to be  
24 recorded in the Schmitz Anticline at this time?

25          A.     Yes. I would expect the pressure for this

1 group of wells shown to be approximately 1,000 psi or  
2 less.

3 Q. In the upper right-hand portion of this  
4 exhibit, there is a data point marked "Mobil Badland  
5 Hills 15-1." What does that point represent?

6 A. That is the pressure shown on the previous  
7 figure for the Mobil Badland Hills 15-1 Well. An  
8 adjustment has been made to correct the pressure from  
9 gauge depth to a depth of 750 feet subsea.

10 Q. Based upon your study and the information  
11 you have reviewed, as I understand it, it's your  
12 opinion that in late 1989 when the Badland Hills Well  
13 was pressure tested, there was between an 800- and  
14 900-pound pressure difference between the Schmitz  
15 Anticline wells and the Mobil well; is that correct?

16 A. That is correct. That would indicate that  
17 the Mobil Badland Hills 15-1 is not in communication  
18 with the wells that have been termed Schmitz Anticline  
19 wells.

20 Q. Let's move on to some further study that  
21 you did, and I'd ask you to refer to Exhibit No. 6 to  
22 this proceeding and describe the information reflected  
23 on that exhibit, please.

24 A. Exhibit No. 6 is a well list of those wells  
25 that were included in what I term the "Schmitz

1 Anticline area," and it is the list of wells for which  
2 I had production information.

3 Q. All right, sir. Let's look at what we've  
4 marked as Exhibit No. 7, and you mentioned that you  
5 had production information from the five wells shown  
6 on Exhibit No. 6. How was that information utilized  
7 in Exhibit 7?

8 A. Exhibit No. 7 is a plot of the total  
9 production from those wells. It is a plot of oil  
10 production in barrels per calendar day. Water rate  
11 and gas flow ratio is also included. The oil  
12 production is the solid diamond symbol and is a curve  
13 in the top cycle of the graph.

14 I have shown on here a dashed line as an  
15 extrapolation of expected future performance from this  
16 group of wells, and that is annotated with a value of  
17 32 percent. The line drawn in is approximately 32  
18 percent per year effective decline.

19 Q. Based upon the analysis of production from  
20 those Schmitz Anticline wells and the decline which  
21 you have extrapolated, have you made an estimate of  
22 the expected ultimate recovery from the Schmitz  
23 Anticline well?

24 A. Yes, I have. With the cumulative  
25 production and expected decline, the estimated

1 ultimate recovery for the five wells is 558,000  
2 barrels of oil.

3 Q. That is up to the point of --

4 A. The economic limit.

5 Q. How have you utilized that 558,000-barrel  
6 number, please. I'm referring to Exhibit No. 8.

7 A. On Exhibit No. 8, I have estimated aerial  
8 extent or aerial drainage areas, if you like, for  
9 these five wells. I have used the 558,000-barrel  
10 estimated ultimate recovery, and I have used recovery  
11 factors from two fields in the area.

12 The recovery factors are on the second  
13 entry labeled, "Range of Estimated Ultimate Recoveries  
14 Per Acre," 199 to 161 barrels per acre.

15 Q. Based upon your study of various fractured  
16 Mancos reservoirs, do you believe that a range of 161  
17 to 199 barrels per acre is a reasonable expectation of  
18 production from the fractured Mancos formation  
19 underlying the Badland Hills well?

20 A. Yes, I do. These numbers were from the two  
21 fields nearest to the north.

22 Q. All right, sir, I apologize for  
23 interrupting. Please go to the next step in your  
24 analysis.

25 A. With the estimated ultimate recovery and an

1 estimate of recovery per acre, I have estimated the  
2 aerial extent that the five wells are draining. This  
3 ranges from 2,800 to 3,500 acres, and I have converted  
4 that to sections. And that ranges from approximately  
5 4.4 to 5.4 sections for this group of wells.

6 Q. Based upon that analysis, do you have an  
7 opinion upon the appropriate spacing and drainage area  
8 of wells such as the Badland Hills 15-1?

9 A. Yes, I do. I have concluded that, from  
10 this information, 640 acres is a reasonable spacing  
11 unit for these wells and for the Badland Hills 15-1.

12 Q. At this time I would ask you to refer to  
13 what we've marked as Exhibit No. 9. I would ask you  
14 to describe for the examiner the information  
15 reflected.

16 A. I made some economic calculations for  
17 comparisons of 640-acre spacing versus 320-acre  
18 spacing. In order to do that, I needed projections of  
19 the oil production in time.

20 There are two curves shown on this figure.  
21 The one that's annotated 32 percent, that would be the  
22 expected production profile for a typical well based  
23 upon the information that we've just reviewed.

24 The second line, the solid line, that would  
25 be for a case of two wells on the section. As I

1 expect the well to drain approximately 640 acres, I  
2 would not anticipate that a second well would add any  
3 reserves.

4 A second well may increase initial  
5 production, temporarily. And so I have used an  
6 initial rate that's twice that of the single well case  
7 for the 320-acre spacing. However, that case would  
8 have a steeper decline. And I have calculated that  
9 decline at the same reserves to be 53 percent per  
10 year.

11 Q. How have you utilized those two  
12 calculations of decline rates in your analysis?

13 A. I used these two decline rates, the initial  
14 rates, with typical economic parameters to estimate  
15 the recovery for a 640-acre case and 32-acre case.

16 Q. Let's look, please, at Exhibit No. 10. I  
17 would ask you if that exhibit reflects the result of  
18 the analysis you've just described?

19 A. Yes, it does.

20 Q. What information is reflected on the first  
21 page of Exhibit 10, please.

22 A. That is a plot of discounted cash flow in  
23 thousands of dollars with discount factor in percent.

24 I have shown the results for the 640-acre  
25 economic case as a solid line. That's the line at the



1 top of the stippled band.

2 I have shown the results for the 320-acre  
3 case with a dashed line, which is at the base of that  
4 stippled band.

5 The stippled band represents the economic  
6 loss from drilling the second well on the section.

7 Q. Is it your opinion that based upon the  
8 production history of wells in the fractured Mancos  
9 reservoir that the drilling of a second well to  
10 accomplish 320-acre spacing would cause the drilling  
11 of unnecessary wells and therefore cause waste?

12 A. Yes, sir, it is.

13 Q. I notice that attached behind the initial  
14 page of Exhibit 10 are two data pages. What's  
15 reflected on those sheets, please.

16 A. The two data pages are the economic  
17 calculations for the one-well and the two-well cases,  
18 or 640-acre and 320-acre cases.

19 Q. And those pages set forth the parameters  
20 utilized in your economic calculation; is that right?

21 A. That's correct, they do.

22 Q. Mr. Jones, I would ask you if you have  
23 reached a conclusion on the basis of your analysis of  
24 whether the Badland Hills 15-1 Well is in a petroleum  
25 reservoir separate from other producing reservoirs in

1 the area?

2 A. It is my opinion that the Badland Hills  
3 15-1 is separate from other wells in the area.

4 Q. And based upon your study, have you reached  
5 a conclusion of the appropriate spacing for wells at  
6 least for the Badland Hills Well?

7 A. I have concluded that 640-acres would be  
8 appropriate for this well.

9 Q. You have stated your conclusion that  
10 spacing with greater density such as 320-acre spacing  
11 would cause the drilling of unnecessary wells; is that  
12 correct?

13 A. That is correct.

14 Q. Do you have anything further to highlight  
15 for the examiner at this time?

16 A. No, I do not.

17 MR. PEARCE: I have nothing further of this  
18 witness, Mr. Examiner.

19 I would ask the admission of Mobil Exhibits  
20 3 through 10, and I would pass the witness for  
21 questioning.

22 HEARING EXAMINER: Exhibits 3 through 10  
23 will be admitted as evidence.

24 Questions of this witness? Mr. Kellahin?

25 CROSS-EXAMINATION

1 BY MR. KELLAHIN:

2 Q. Mr. Jones, perhaps by way of reference, we  
3 might use the plat that was attached to the  
4 information that identified the various participants.

5 A. Okay. I have it.

6 Q. My client is Mr. McHugh. His operations in  
7 this area include the Nassau Resources Laguna Colorado  
8 No. 2 Well?

9 A. Yes, sir.

10 Q. Which is in Section 2. When I look at the  
11 area outlined in pink on this page 5 of Exhibit No. 1,  
12 we have the Mobil 15-1 well in Section 15 that's in  
13 the fractured Mancos. In Section 2, we have the  
14 Nassau Resources Laguna Colorado No. 2 Well in the  
15 fractured Mancos.

16 Are there any other wells currently  
17 completed in this interval within the area identified  
18 by the pink outline?

19 A. There is an Amoco well in Section 3,  
20 Badland Flats Federal No. 1. It's located in the  
21 northwest quarter of Section 3.

22 Q. When I look at your Exhibit No. 6, the  
23 Laguna Colorado and then the Amoco Badlands Flats  
24 Federal No. 1 and three other wells were included in  
25 your analysis of production plots for the Schmitz

1 Anticline area?

2 A. That's correct.

3 Q. Exhibit No. 5 was a pressure plot versus  
4 time on the Schmitz Anticline wells, but I don't find  
5 the wells plotted to include the Laguna Colorado No. 2  
6 Well.

7 A. That's correct.

8 Q. Did I miss something?

9 A. No. The Laguna Colorado 2-6 is not  
10 included. As I recall, the pressures for the Laguna  
11 Colorado were less than some of the other wells in  
12 this general area.

13 The recorded pressures I believe were on  
14 the order of 1,000 pounds or less, and at least two of  
15 the pressures that were reported for the Laguna  
16 Colorado well would be off the scale of this plot.  
17 They would show an even larger separation with the  
18 Mobil Badland Hills 15-1, a larger pressure  
19 separation.

20 Q. In making your study, did you review the  
21 case file and the commission order in Case 9451, which  
22 was Order R-6469-G, by which the Division extended the  
23 West Puerto Chiquito-Mancos Pool and picked up the  
24 McHugh acreage in Section 2?

25 A. I'm familiar with it.

1 Q. Did you look at the technical presentation  
2 and the testimony in that case?

3 A. I had reviewed that before, yes.

4 Q. What's your recommendation about where to  
5 put Section 2? Do we leave it in the pool to the  
6 north, which is the West Puerto-Chiquito Mancos Pool,  
7 or are we going to put that well in the Mobil proposed  
8 pool today?

9 MR. PEARCE: For clarification, the pink  
10 outline on the exhibit dealt only with the notice  
11 question. The pool being proposed is the yellow  
12 outline, a Section 15 pool only.

13 MR. KELLAHIN: I'm sorry. I've been  
14 confused by all the pretty colors. Okay.

15 Q. The advertisement talks about creating then  
16 Section 15 as its own pool, and that's what we're  
17 talking about here?

18 MR. PEARCE: Yes.

19 THE WITNESS: Yes.

20 Q. (BY MR. KELLAHIN) In the alternative, it  
21 talks about extending the West Puerto-Chiquito Mancos  
22 Pool to include Sections 3, 10, and 15. That's not  
23 something you want to do?

24 MR. PEARCE: That alternative has now been  
25 dropped based on the well test data that's been

1 presented, yes.

2 Q. (BY MR. KELLAHIN) Based upon your  
3 analysis, Mr. Jones, can you determine whether you see  
4 pressure information that makes the McHugh Laguna  
5 Colorado No. 2 more typical of wells that ought to be  
6 included within the area that you propose for the pool  
7 to be created for Section 15?

8 A. I did not study the Laguna Colorado well in  
9 Section 2 specifically to see -- specifically for that  
10 well. Based upon the pressure information, the well  
11 in Section 2 is in the reservoir that is separate from  
12 the well in Section 15 and should not be included with  
13 the well in Section 15.

14 Q. When we look at the Amoco well in Section  
15 3, was it?

16 A. Yes.

17 Q. That Badlands Flats Federal No. 1 in  
18 Section 3, my understanding of the existing West  
19 Puerto-Chiquito Mancos Pool is that Section 3 would be  
20 included in that pool. Do you know?

21 A. I do not know specifically. I should defer  
22 that to Perry.

23 MR. KELLAHIN: Let me withdraw the question  
24 and state it this way.

25 Q. When we look at the Amoco well in Section

1 3, is that part of the same reservoir with the McHugh  
2 well in 2, or is the Amoco well in 3 going to be part  
3 of the pool in Section 15, or can you tell?

4 A. The Amoco well is not part of the pool for  
5 Section 15. That I can tell.

6 Q. Have you studied sufficiently the  
7 engineering information to draw any conclusions about  
8 whether the Amoco well in 3 ought to be part of the  
9 Section 2 Nassau Colorado Laguna Well?

10 A. I have not studied that. That was not a  
11 requirement for this analysis.

12 Q. I understand. I'm just trying to see where  
13 we're going to go with your pool. One of the  
14 difficulties when we have two pools, even though  
15 they're on the same spacing, is at some point there  
16 may be a need to draw a distinction.

17 A. I understand.

18 Q. I'm trying to decide how we set this up.

19 Your comparison of the Schmitz Anticline  
20 area includes what geographic area on page 5 so that I  
21 understand how you have separated out the 15-1 well  
22 from the Schmitz Anticline area?

23 A. The Schmitz Anticline area, as I said, was  
24 a term of convenience. I included the well  
25 information, the wells -- I had Amoco's well in 25,

1 26; the Nassau Resources well in 35. We have the  
2 Laguna Colorado well in Section 2, and the Amoco well  
3 in Section 3.

4 I picked these wells because they were  
5 close producers to the well in Section 15. In fact,  
6 the wells in Section 2 and Section 3 are, as far as I  
7 know, the closest Mancos producers to the new well in  
8 Section 15.

9 Q. Based upon a comparison of pressure  
10 information from four of those Schmitz area wells with  
11 the pressure from the 15-1 well, do you see a  
12 differential of about 900 pounds?

13 A. That's correct.

14 Q. Adjusted to the same database and the same  
15 point in time?

16 A. Yes, approximately 800 to 900 pounds.

17 Q. Is there any other data that supports your  
18 conclusion about the separation of Section 15 from  
19 those Schmitz Anticline area wells?

20 A. Any other engineering information?

21 Q. Sure. The pressure is obviously an  
22 important differential. Did you look and find any  
23 other distinctions?

24 A. Not outside of the pressure. The initial  
25 pressure does, however, match with the regional



1 initial pressures for fields and would be the pressure  
2 that we would expect for this area as an initial  
3 pressure and one for a field or area that was not yet  
4 drained.

5 Q. Have you satisfied yourself that there has  
6 been a sufficient long enough period of time for  
7 production out of the Schmitz Anticline that if the  
8 Schmitz Anticline was communicating with Section 15,  
9 you would have seen pressure depletion in your  
10 section?

11 A. I have.

12 Q. How long a period of time was that?

13 A. The communication between, for example,  
14 Amoco State CC No. 1 in Section 26 and the Wishing  
15 Well 35-7 in Section 35, without reviewing notes, I  
16 will say that is on the order of one day or less. So  
17 if the well -- if this area was in pressure  
18 communication, we would have observed a pressure  
19 similar to those for the Schmitz Anticline well area.

20 Q. When you look at the Schmitz Anticline area  
21 in terms of pressure analysis, can you conclude as a  
22 reservoir engineer that those wells are in fact in the  
23 same common source of supply?

24 A. I don't think there's any question about  
25 the State CC No. 1 and the Wishing Well. I have not

1 evaluated the other wells to accurately determine the  
2 degree of communication.

3 Q. Let's see if I understand your ultimate  
4 conclusion that the pressure in 15 that you've  
5 experienced in your 15-1 well is significantly  
6 different from the pressure that you see in the Amoco  
7 well in 3, and that there has been a sufficient enough  
8 period of time elapsed during which the Amoco well in  
9 3 has been produced, that had there been communication  
10 between the two sections, you would have seen pressure  
11 depletion in 15?

12 A. That's correct.

13 Q. And absence that pressure depletion and  
14 showing 900 pounds pressure differential, you don't  
15 need to look any further, do you, to establish  
16 separation between Section 3 and 15?

17 A. No.

18 MR. KELLAHIN: Thank you. Nothing else.

19 HEARING EXAMINER: Any other questions of  
20 this witness?

21 CROSS-EXAMINATION

22 BY HEARING EXAMINER:

23 Q. Mr. Jones, besides the engineering  
24 evidence, do you have geologic evidence which might  
25 show separation?

1           MR. PEARCE: If I may, Mr. Examiner, my  
2 next witness is a geologist.

3           Q.       (BY HEARING EXAMINER) Mr. Jones, where are  
4 the other Mancos pools in relation to Section 15?

5           A.       If we refer back to page 5 of 5, Exhibit  
6 No. 1, the green line would be the southern boundary  
7 of the West Puerto Chiquito-Mancos Pool.

8                   There is a small, one-well pool in Section  
9 36. That would be Range 1 East, Township 24 North, I  
10 believe, called the Regina Gallup? Is that the  
11 correct pronunciation?

12           MR. PEARCE: Yes.

13           THE WITNESS: Then there's the Gavilan  
14 Mancos Pool which would be to the north and the west  
15 of this area.

16           Q.       (BY HEARING EXAMINER) Are the West Puerto  
17 Chiquito and the Gavilan Mancos -- those are spaced on  
18 640; is that correct?

19           A.       Yes.

20           Q.       Mr. Jones, the application requests a  
21 special depth bracket allowable. Can you elaborate on  
22 that?

23                   Do you have another witness, Mr. Pearce.

24           MR. PEARCE: Another witness will address  
25 that.

1 Q. (BY HEARING EXAMINER) Mr. Jones, if you  
2 indeed did have communication from the well in Section  
3 15 with the other wells in Section 2, what kind of  
4 pressure might you expect at this point in that well?

5 A. I would expect a pressure that would be  
6 very similar to the pressure observed for these other  
7 wells.

8 Q. It would have drawn down that much?

9 A. Yes, sir.

10 Q. Being as far away as it was?

11 A. Yes. We have observed in the Gavilan  
12 field, where it's generally accepted, that within the  
13 confines of the Gavilan field, the wells are in  
14 pressure communication. And as new wells were brought  
15 on, they were, say, within a range of about 100 pounds  
16 to other wells in the area. And so I would expect  
17 similar pressure measurements or pressure observations  
18 if this well was in communication with the area to the  
19 north.

20 HEARING EXAMINER: I have no further  
21 questions of the witness. He may be excused.

22 LARRY CRUNCLETON,  
23 the witness herein, after having been first duly sworn  
24 upon his oath, was examined and testified as follows:

25 DIRECT EXAMINATION

1 BY MR. PEARCE:

2 Q. At this time, Mr. Examiner, I would like to  
3 call my next witness, and I would ask him for the  
4 record to please state his name and place of  
5 residence.

6 A. My name is Larry Cruncleton, and I reside  
7 in Bailey, Colorado.

8 Q. Mr. Cruncleton, would you please spell your  
9 last name for the examiner.

10 A. Last name is C-r-u-n-c-l-e-t-o-n.

11 Q. Mr. Cruncleton, by whom are you employed?

12 A. I'm employed by Mobil Exploration and  
13 Producing U.S. in the Denver Division.

14 Q. In what capacity are you employed?

15 A. I am a staff geophysicist in charge of the  
16 of the Rocky Mountain District.

17 Q. Mr. Cruncleton, have you appeared before  
18 the examiner or one of the examiners and had your  
19 credentials made a matter of record before?

20 A. No, I haven't.

21 Q. At this time would you briefly summarize  
22 your educational background and work experience,  
23 please.

24 A. Yes. I graduated from the University of  
25 Texas at El Paso with a Bachelor of Science Degree in

1 Geophysics. That was in December of 1980. Upon  
2 graduation, I started with Mobil at the beginning of  
3 1981. I've since worked with them in exploration and  
4 production throughout that time.

5 Q. Has the majority of that time or perhaps  
6 all of that time been in the Denver office?

7 A. With the exception of the first year, which  
8 was a training program, which they have in the Dallas  
9 program; upon completion of that, I moved to the  
10 Denver Division.

11 MR. PEARCE: At this time, Mr. Examiner, I  
12 would ask that Mr. Cruncleton's qualifications be  
13 accepted and made a matter of record, and that he be  
14 qualified as an expert in the field of petroleum  
15 geology.

16 HEARING EXAMINER: He is so qualified.

17 Q. (BY MR. PEARCE) Mr. Cruncleton, as part of  
18 your work responsibilities, were you asked to do a  
19 geological study of the area surrounding the Badlands  
20 Hill 15-1 Well?

21 A. Yes, I was. I was originally assigned to  
22 look at the wells in the area and to integrate the  
23 well data with seismic, which we have recently  
24 acquired within the area.

25 Q. Let me interrupt for just a second. Based

1 on the review of the well data which was available and  
2 the geophysical data which has been developed, have  
3 you prepared a structure map of the Gallup?

4 A. Yes, I have.

5 Q. Is that reflected as Mobil Exhibit No. 11  
6 to this proceeding?

7 A. Yes, it is.

8 Q. I'd ask you to look at that exhibit,  
9 please, and point out the items which you would like  
10 to highlight for the examiner.

11 A. Okay. This is a structure map constructed  
12 on the top of the Gallup zone. The map is a scale of  
13 1 to 4,000. The contour interval is 50 feet. The  
14 broad, dashed line on that map is the boundary of the  
15 West Puerto Chiquito Pool.

16 The dashed lines with the X's through them,  
17 that represents where our seismic control is that we  
18 have acquired in this area.

19 In the southwest corner, I have highlighted  
20 the Badland Hills No. 15-1 Well. It has a box around  
21 it.

22 Q. I notice there are also a couple of solid  
23 lines on the exhibit, some of which have graphical  
24 symbols on one side or the other. What do those lines  
25 represent?

1           A.       Right. Those represent faults which have  
2 been distinguished, using our seismic. As you notice,  
3 several of the faults represent several different  
4 styles of faulting and in several different  
5 directions.

6           Q.       Very briefly, summarize what you mean by  
7 different styles of faulting and how they're  
8 represented, please.

9           A.       Essentially, what that represents is  
10 relative motion of throws across these faults and type  
11 of faultings, whether it be normal faulting, listrick  
12 faults.

13                   In addition to that, I've marked on here in  
14 red a line of cross-section connecting four wells,  
15 including the Badland Hills and two wells within the  
16 Schmitz Anticline area and another well to the north.

17           Q.       Let's turn now to what we've marked as  
18 Exhibit No. 12. While you're discussing that  
19 cross-section, could you describe that for the  
20 examiner, please.

21           A.       Exhibit 12 is a structural cross-section.  
22 What I've used in this cross-section is the dual  
23 induction logs for the wells listed along that line.  
24 This cross-section was hung on a structural datum of  
25 500 feet.



1           And what this cross-section essentially  
2 shows, it represents the structural relationship of  
3 these wells with each other. And I've drawn in here  
4 the faults which we have delineated on seismic.

5           I've shown across this section the relative  
6 throws which we see, vertical throws that we see along  
7 this section here, delineating some of the separation  
8 of these wells with each other of the faults.

9           Q.     You have reviewed the well data which has  
10 been available; is that correct?

11          A.     Yes, sir.

12          Q.     And the seismic data that you have  
13 described; is that correct?

14          A.     Yes, sir.

15          Q.     Have you formed a broad opinion on the  
16 geology and structure of the Gallup formation in this  
17 area?

18          A.     Yes, I have.

19          Q.     What is that opinion, please.

20          A.     One of the first things that struck me in  
21 doing this study was the complexity. Using the  
22 seismic, it was obvious that the structure was much  
23 more complex than what could be derived just using  
24 well control within the area.

25                 Mainly, in addition to that, the seismic is

1 used to delineate these faults which we see, which we  
2 probably would not be able to put in solely using just  
3 well control.

4 Q. You have defined this as a highly complex  
5 area. When a previous witness was on the stand, there  
6 was some questioning about whether or not there was  
7 geologic evidence of separation.

8 I would ask you to refer to what we've  
9 marked as Exhibit No. 11. Based upon the data that is  
10 available to us today, are you able to conclude that  
11 there is structural separation between the Badland  
12 Hills Well and the Schmitz Anticline Well which would  
13 account for the pressure differentials we've seen?

14 A. Strictly off of a structural point of view,  
15 it does not show any reason for separation between the  
16 two such as closed highs, but what is evident is the  
17 multidirections of these faults that we see in the  
18 area.

19 The faults in the Schmitz Anticline area,  
20 particularly the Wishing Well, appears to be  
21 associated with the fracture zone. In associating  
22 with the fault we see up there, in the Badland Hills,  
23 appears to have penetrated a different fault in its  
24 associated fracture zone down there.

25 Q. And looking at this exhibit, it appears

1 that just south of the Badland Hills wells and the  
2 vicinity of the well you just addressed to the north,  
3 and I've forgotten the name --

4 A. The Wishing Well.

5 Q. -- the Wishing Well, there doesn't appear  
6 to be seismic data between those two points?

7 A. No. We do not have the control to actually  
8 define whether we have more faults in that area or  
9 not.

10 Q. Based upon your study of the area and the  
11 data that is available to you, referring back to  
12 Exhibits 11 and 12, do you have other items of  
13 information which you believe might be helpful to the  
14 examiner in this matter?

15 A. No, I don't.

16 MR. PEARCE: Mr. Examiner, I have nothing  
17 further of this witness at this time.

18 I would move the admission of Mobil  
19 Exhibits 11 and 12 to this proceeding, and I would  
20 pass the witness.

21 HEARING EXAMINER: Exhibits 11 and 12 will  
22 be admitted as evidence.

23 Questions?

24 MR. KELLAHIN: Thank you, Mr. Examiner.

25 CROSS-EXAMINATION

1 BY MR. KELLAHIN:

2 Q. Mr. Cruncleton, when I look at the seismic  
3 structure map on top of the Gallup, Exhibit No. 11,  
4 and I focus in on the extent of the reservoir in  
5 Section 15 from which the 15-1 well produces, what, in  
6 your opinion, is the likely geologic extent of that  
7 reservoir as we move to the east?

8 A. To the east?

9 Q. Yes, sir.

10 A. As we move to the east, it appears we would  
11 be moving out of the fracture zone associated with  
12 that fault, and production of the wells, I would  
13 assume, would fall off as we move to the east.

14 Q. Geologically then, when you examine that  
15 information, the eastern limits of the reservoir is  
16 going to be controlled by the top of the Gallup 8  
17 outcrop, or is it going to be controlled by this -- I  
18 guess it's a fault line --

19 A. That is.

20 Q. -- through the east side of Section 15?

21 A. Yes. Production at most would go as far to  
22 that last fault that we see that I've listed on there  
23 that the contours -- they end up against that fault.  
24 We wouldn't assume any production on the other side of  
25 that fault.

1           Q.       I don't have an east-west cross-section to  
2 look at; so I was trying to determine what your  
3 opinion was with regards to the likely eastern  
4 boundary of that reservoir.

5                    When you look to the west, do you have any  
6 geologic information from which you can conclude what  
7 the likely western boundary is for the reservoir being  
8 produced by the 15-1 well?

9           A.       No. We are not able to determine how far  
10 out the fracture system would extend.

11           Q.       When I look at your cross-section, am I  
12 correct in understanding that the magnitude of fault  
13 displacement for the Mancos reservoir is not  
14 sufficient to totally separate the Mancos formation  
15 from the 15-1 well and, say, the Laguna Colorado No. 2  
16 well?

17           A.       That's correct. Across the faults there is  
18 not enough separation to separate the total interval  
19 of the Gallup there.

20           Q.       Is there any reason that you didn't run  
21 your A-A' cross-section through the Amoco well in  
22 Section 3?

23           A.       No. The reason I ran the cross-section  
24 between the Badland Hills up to the Laguna Colorado  
25 No. 6 is so I could represent on this cross-section

1 where that fault is in association with the Badland  
2 Hills.

3 Q. In placing the fault then, you have placed  
4 the Amoco well in Section 3 west of the fault?

5 A. The Amoco well? I have on my structural  
6 section -- I have represented the fault as dying out  
7 just at the bottom of Section 3.

8 Q. I'm sorry, yes, you have.

9 Have you examined the geologic relationship  
10 between the Amoco Badlands well in 3 versus the Nassau  
11 Resources Laguna Colorado Well in Section 2?

12 A. No, I haven't.

13 MR. KELLAHIN: Thank you. I have nothing  
14 further.

15 CROSS-EXAMINATION

16 BY HEARING EXAMINER:

17 Q. Mr. Cruncleton, is there any other geologic  
18 factor which might explain the separation of the two  
19 areas besides the faulting?

20 A. Not that I'm aware of.

21 Q. None that you've found?

22 A. Yes.

23 Q. Is this whole interval correlatable across  
24 the two areas?

25 A. Yes, it is. On the cross-section, what

1 we've depicted as our A, B, and C is relatively easy  
2 to correlate across the whole area.

3 Q. Do the fractures in the Mancos generally  
4 have a preferential direction?

5 A. Our belief in this area is that the  
6 fractures are oriented parallel to the faulting that  
7 we see in this area.

8 We did run a fracture log within the  
9 Badland Hills which does show the fractures do appear  
10 to be running in the direction that I had the fault  
11 depicted on the map.

12 Q. So, really, the two areas should be in  
13 communication, but they aren't? It all points that  
14 they should be in communication; is that correct?

15 A. Well, no. The wells up to the north really  
16 aren't associated with the fault that we see at the  
17 Badland Hills.

18 Q. Fractures go towards the wells in Sections  
19 2 and 3?

20 A. In that direction, but we can't determine  
21 the extent of how far those fractures would run.

22 HEARING EXAMINER: That's all the questions  
23 we have at this time.

24 CRAIG EGGERMAN,  
25 the witness herein, after having been first duly sworn

1 upon his oath, was examined and testified as follows:

2 DIRECT EXAMINATION

3 BY MR. PEARCE:

4 Q. May it please the examiner, I would ask the  
5 witness to please state his name and place of  
6 residence for the record.

7 A. Craig Eggerman, and I reside in Lakeland,  
8 Colorado.

9 Q. Mr. Eggerman, by whom are you employed?

10 A. Mobil Producing and Exploration U.S., Inc.

11 Q. What's your capacity with Mobil?

12 A. Mobil employs me as a senior regulatory  
13 engineering adviser.

14 Q. As part of your responsibilities, have you  
15 reviewed the application filed by Mobil in this case?

16 A. I have.

17 Q. I would ask you, sir, if you have appeared  
18 before the New Mexico Oil Conservation Division or its  
19 examiners previously and had your credentials made a  
20 matter of record?

21 A. I have not.

22 Q. Would you please, sir, for us at this time  
23 summarize your educational background and work  
24 experience.

25 A. I received a Bachelor of Science Degree



1 from South Dakota School of Mines and Technology in  
2 1973. I was subsequently employed by Shell Oil  
3 Company for two-and-a-half years, two years,  
4 approximately.

5 I worked as an on-site engineer, worked in  
6 the capacity of well log evaluations, cementing and  
7 casing operations, drill stem test testing, and other  
8 related drilling activities. I served in the capacity  
9 as a completion supervisor and operations engineer.

10 In 1975, I was employed by Mobil Oil  
11 Corporation and subsequently worked in positions as an  
12 operations engineer, a drilling engineer, a drilling  
13 engineering supervisor. And in 1984, I was employed  
14 as a regulatory engineer.

15 My areas of responsibilities are all of the  
16 Rocky Mountain states, Nevada, and California.

17 MR. PEARCE: At this time, Mr. Examiner, I  
18 would ask that the witness be qualified as an expert  
19 in the field of petroleum engineering and regulatory  
20 management?

21 HEARING EXAMINER: He is so qualified.

22 Q. (BY MR. PEARCE) Mr. Eggerman, at this  
23 time, I would ask you as part of your responsibilities  
24 with Mobil, if you have followed certain committee  
25 meetings relating to proposed basinwide rules for

1 fractured Mancos reservoirs in northwestern New  
2 Mexico?

3 A. I have. We have one individual that was  
4 designated to serve on that particular subcommittee.

5 Q. And he reported regularly to you about  
6 those proceedings; is that correct?

7 A. That is correct.

8 Q. How come he's not here?

9 A. Because Mr. Paul Haber, who was that  
10 individual, now resides in Saudi Arabia, working for  
11 Aramco at the present time.

12 Q. Thank you, sir. I ask you, please, to  
13 refer to what we've marked as Exhibit 13 to this  
14 proceeding, and I'd ask you to describe what those are  
15 for the examiner.

16 A. What we have attempted to do here is to  
17 prepare some special rules for the Badland Hills-  
18 Gallup Oil Pool. And this particular set of special  
19 rules is drafted along the lines of, from what I  
20 understand, would be the general committee  
21 recommendations for the proposed basinwide Mancos Pool  
22 rules that they would have established in this area.

23 We've also examined the West Puerto  
24 Chiquito-Mancos Pool rules and the Gavilan-Mancos Pool  
25 rules and tried to incorporate some of the good things

1 that are in both of those.

2 Q. Let's run through these proposed rules very  
3 briefly, and I want to highlight a couple of items for  
4 the record, if I may.

5 First of all, I'd ask you to look at Rule  
6 No. 2. What does that proposed rule provide?

7 A. Rule No. 2 provides for 640-acre spacing.

8 Q. Based upon the evidence presented and the  
9 materials that you have reviewed, do you believe that  
10 640-acre spacing would be the appropriate spacing?

11 A. I do.

12 Q. Let's look, please, at Rule No. 4 on the  
13 second page of this draft and highlight for the  
14 examiner the location rules set forth.

15 A. Rule No. 4 calls for a regular location to  
16 be basically in the center of the section but no  
17 nearer than 990 feet to the outer boundary of the  
18 section of the proration unit, nor closer than 10 feet  
19 to the interior quarter-quarter section lines in that  
20 pool.

21 The ten-foot rule is in there so that we  
22 don't have problems with computer records as far as  
23 the location of wells.

24 Q. And it's your understanding that the  
25 990-foot location requirement was being discussed by

1 the committee; is that correct?

2 A. That's my understanding, yes.

3 Q. If the committee's recommendation  
4 ultimately is a location requirement other than 990  
5 feet and is more restrictive, would you ask that the  
6 location for the Badland Hills 15-1 Well be  
7 grandfathered to avoid the necessity of further  
8 proceedings to approve the location?

9 A. We would.

10 Q. Let's look, please, at Rule No. 6 on the  
11 third page. The examiner, I believe, earlier in the  
12 day asked about a special pool rule with an  
13 allowable. Does this rule address that?

14 A. Rule No. 6 makes an effort to assign an  
15 allowable to this particular pool. We chose 800  
16 barrels of oil per day and 2,000 GOR limitation for  
17 that particular pool.

18 It's my recollection that that matches the  
19 allowable for the Gavilan-Mancos Pool, but it is  
20 slightly less than what is provided for in the West  
21 Puerto Chiquito-Mancos Pool.

22 There is no standard depth bracket  
23 allowable, at least according to Rule 505, for wells  
24 at this depth for 640-acre spacing.

25 It's my understanding that 160-acre spacing

1 at this depth would be 347 barrels of oil per day, and  
2 you could take that times four, and you would have a  
3 value of something like 1,340 barrels of oil a day,  
4 which this is less than that amount.

5 Q. Let's look at proposed Rule No. 7, please,  
6 which addresses the vertical limits. And could you  
7 describe the proposed vertical limits of the Badland  
8 Hills-Gallup Pool?

9 A. Rule No. 7 was developed by examining the  
10 other pool rules in this general area. I believe it  
11 was the subject of discussion in some of the committee  
12 meetings and the geologists that are employed by Mobil  
13 were advised that this probably was one of the best  
14 ways to describe the particular section that we would  
15 have in this pool.

16 Q. And that is the Gallup member of the  
17 Mancos?

18 A. Correct.

19 Q. Let's look at proposed Rule No. 8. What  
20 does that proposed rule provide?

21 A. Rule No. 8 provides for the drilling of a  
22 second well in this particular -- in any particular  
23 proration unit, as long as it's not located in the  
24 same quarter section as the original well.

25 Q. What was the allowable for the section if a

1 second well is drilled?

2 A. These two wells would share the allowable  
3 that would be established for that particular  
4 proration unit.

5 Q. At this time, Mr. Eggerman, do you have  
6 anything further to highlight for the examiner?

7 A. I do not.

8 MR. PEARCE: Mr. Examiner, at this time I  
9 would move the admission of Mobil Exhibit No. 13 to  
10 this proceeding, and I would pass the witness for  
11 further questioning.

12 HEARING EXAMINER: Exhibit No. 13 will be  
13 admitted as evidence.

14 Questions? Mr. Kellahin?

15 CROSS-EXAMINATION

16 BY MR. KELLAHIN:

17 Q. Mr. Eggerman, again on Rule No. 8, what's  
18 the basis for the recommendation of a second well on  
19 the 640 spacing unit when the engineering proof is  
20 that one well is sufficient?

21 A. This would allow the operator the  
22 opportunity to drill a second well if they in fact  
23 were not able to encounter the fracturing in that  
24 particular location from the first well.

25 In other words, if you ended up with a well

1 that only made 20 barrels a day, this would provide  
2 you with an opportunity to drill a second well.

3 Q. What does the Section 15-1 well produce now  
4 on a daily basis? What's the general range of  
5 production?

6 A. I'm going to try to recall, and this is  
7 subject to check, but I believe that we filed  
8 yesterday a completion report that indicated that the  
9 well is capable -- it currently was testing somewhere  
10 around 80 to 100 barrels of oil a day. It still was  
11 making some water back, and we're hopeful that that  
12 will drop off and that the oil rate will increase.

13 Q. Refresh my memory; do the West Puerto  
14 Chiquito rules provide for a second well in the 640?

15 A. I am going to have to defer on that. I  
16 don't have all of those orders present, and I would  
17 have to examine those to see whether they allow for a  
18 second well in there.

19 MR. KELLAHIN: Thank you. No further  
20 questions.

21 CROSS-EXAMINATION

22 BY HEARING EXAMINER:

23 Q. Mr. Eggerman, are there any significant  
24 differences between these pool rules and the West  
25 Puerto Chiquito rules? Are the well locations the

1 same, the requirements?

2 A. I believe that the allowable in West Puerto  
3 Chiquito-Mancos is higher than this. It's my  
4 understanding it's 1,340. Set-back requirements for  
5 West Puerto Chiquito, I am not quite sure what that is  
6 at the present time. I would have to examine those  
7 orders.

8 MR. STOVALL: Mr. Examiner, just speaking  
9 for the Division, to get it into the record -- this,  
10 again, would be subject to check, but it's my  
11 understanding that the rules in that pool are for  
12 1,320 feet from the outer boundaries, but I'm not sure  
13 if that's across the pool or if that's on the border  
14 proration units.

15 I believe it's 1,320, but if none of  
16 counsel has any objection, I believe we can review  
17 those orders and take administrative notice of them as  
18 necessary.

19 MR. PEARCE: I think that's appropriate.

20 Q. (BY HEARING EXAMINER) Mr. Eggerman, is it  
21 your understanding that the 990 feet was a committee  
22 recommendation?

23 A. That's correct.

24 Q. Also the 10 feet interior setback. Do you  
25 know if there's topographical problems out there in



1 this area?

2 A. There certainly are in some parts. Are you  
3 referring to the area in general, not specifically to  
4 Section 15?

5 Q. Well, yes, to Section 15.

6 A. Section 15 has a state highway that  
7 intersects it on a diagonal. I guess you would call  
8 that a topographical consideration. I have had some  
9 discussions with members of the Commission, and it's  
10 my understanding that that's kind of a broad  
11 definition. When they say "topographical," that also  
12 means archeological considerations, as well as  
13 structural. And the road -- I'm not sure just exactly  
14 what you would call that, but it, I think, fits that  
15 general description.

16 MR. STOVALL: Mr. Examiner, let me ask just  
17 a couple of questions to clarify the record.

18 CROSS-EXAMINATION

19 BY MR. STOVALL:

20 Q. You have referred to committee  
21 recommendations. Would you identify what committee  
22 you were talking about?

23 A. The committee, and pardon me if I don't get  
24 the name correctly, but there was a committee formed  
25 to study basinwide Mancos Pool rules to establish

1 proper spacing for the Mancos formation in the  
2 northwest, or generally in the northwestern part of  
3 New Mexico, in the San Juan Basin.

4 Q. Specifically looking at the fractured  
5 Mancos structure; is that correct?

6 A. That's correct.

7 Q. To the best of your knowledge, has there  
8 been any official action taken on those rules? Has  
9 there been a hearing on those or anything that you  
10 know of?

11 A. There has not been.

12 Q. Did you participate, or have you  
13 participated, or has your company participate in that  
14 committee work?

15 A. Our company has participated in that work.

16 Q. And you are then familiar with that through  
17 your company's participation? You've had the  
18 opportunity to review it so that you have some  
19 personal knowledge that your proposals here are  
20 consistent with those?

21 A. I have.

22 HEARING EXAMINER: That's all the questions  
23 I have of the witness.

24 Mr. Pearce, is it your request that these  
25 pools be permanent pools?

1           MR. PEARCE: Mr. Examiner, I discussed this  
2 matter with my client. I don't think we feel  
3 strongly. Certainly, if the Division prefers to have  
4 a two-year limited effectiveness of these rules, we  
5 certainly don't object to that. Whether or not the  
6 pool will grow, I do not know at this time.

7           We are confident that, if it remains a  
8 one-well pool, that there is not any particular  
9 jeopardy in making the rules permanent at this time,  
10 but I suppose we don't know whether or not that will  
11 occur.

12           MR. STOVALL: Mr. Examiner, in response to  
13 that along that line, I would like to recall the  
14 geological witness to just ask him a couple of  
15 questions, if you don't mind.

16           MR. PEARCE: That's fine.

17           MR. STOVALL: And, I'm sorry, I forget his  
18 name, but if you could --

19           MR. PEARCE: Cruncleton.

20           MR. STOVALL: I'll remind you just for the  
21 record that you are still under oath.

22           LARRY CRUNCLETON,  
23 the witness herein, after having been previously  
24 called as a witness, examination and testimony  
25 continued as follows:

## FURTHER EXAMINATION

1  
2 BY MR. STOVALL:

3 Q. I believe you testified that the Mobil well  
4 in Section 15 is not in fracture communication with  
5 wells in Section 2 and 3 or any of the other West  
6 Puerto Chiquito-Mancos wells; is that correct?

7 A. I would say we cannot tell from geological  
8 or geophysical evidence whether it's in communication  
9 or not.

10 Q. Are you fairly familiar with the fractured  
11 Mancos formation out there? And I'm not a geologist,  
12 so pardon me if my terminology is off, but with the  
13 nature of the fractured structure out in that area?

14 A. In this particular area, yes.

15 Q. Is there a reasonable possibility that if,  
16 for example, a second well were drilled in Section 15,  
17 say in the east half somewhere, that it might possibly  
18 tap into a fracture network that extended two or three  
19 sections to the north?

20 A. That's possible.

21 Q. And, similarly, could a well perhaps be  
22 drilled in Section 10 which could create a fracture  
23 communication either to the north or to the south or  
24 both?

25 A. That's possible too.

1           Q.       If that were so, would that, in your  
2 opinion, indicate that perhaps there was a common  
3 reservoir in the sense that there was fracture  
4 communication along there? You just happened to not  
5 hit it with the 15 well?

6           A.       Could you restate that question again?

7           Q.       I'll try. I'll restate it by prefacing  
8 with a comment that perhaps due to the nature of the  
9 fractures in that area, it is possible that there is  
10 in fact fracture communication from, say, Sections 2  
11 and 3 or even further north into the West Puerto  
12 Chiquito-Mancos to the south, and that the Mobil well  
13 has not hit that fracture system, and, therefore, that  
14 particular well doesn't show any signs of being in  
15 communication, but in fact the proration unit might  
16 be?

17          A.       That's possible.

18          Q.       Do you anticipate additional exploration in  
19 that area?

20          A.       At this time, yes.

21          Q.       If additional exploration indicated that  
22 there was a fracture system extending and bringing the  
23 West Puerto Chiquito-Mancos area, or what you're  
24 calling the Schmitz Anticline area into communication  
25 with, say, with Section 15, would Mobil reconsider its

1 thinking as to whether it should be a separate pool or  
2 whether it should become part of the West Puerto  
3 Chiquito-Mancos Pool?

4 A. I don't know if I can answer that question  
5 at this time.

6 Q. The reason I'm asking that question is I'm  
7 thinking in terms of whether the rules should be  
8 permanent or temporary. And speaking for myself and  
9 just off the top, it would appear that perhaps  
10 temporary rules might give us the time to make that  
11 determination. Would you agree?

12 A. Yes.

13 MR. STOVALL: I have no further questions.

14 MR. PEARCE: I would like to revisit the  
15 subject with the witness, if I may, Mr. Examiner.

16 HEARING EXAMINER: Yes, sir.

17 FURTHER EXAMINATION

18 BY MR. PEARCE:

19 Q. Mr. Cruncleton, we've had some questioning  
20 about fracture communication between the 15-1 well and  
21 wells to the north. Do you find geological evidence  
22 that those wells are in communication?

23 A. We have no direct geological or geophysical  
24 evidence that it is in communication with that.

25 MR. PEARCE: I think that's all. Thank

1 you.

2 HEARING EXAMINER: Mr. Pearce, can I get  
3 Ray Jones back on the stand for a couple of minutes?

4 MR. PEARCE: Certainly.

5 RAY JONES,  
6 the witness herein, after having been previously  
7 called as a witness, examination and testimony  
8 continued as follows:

9 FURTHER EXAMINATION

10 BY HEARING EXAMINER:

11 Q. Mr. Jones, your assumption that the  
12 Badlands well will drain 640 acres is solely based at  
13 this time on an analogy to the wells to the north; is  
14 that correct?

15 A. That is correct.

16 Q. We have no evidence at this point on  
17 actually what that well will drain? We don't have any  
18 production data or other evidence?

19 A. That is correct. We have analogy from  
20 wells to the north and from evaluations of the fields  
21 to the north. And the information of the Schmitz  
22 Anticline is consistent with other information in the  
23 area that we have.

24 Q. Do you feel that the reservoir properties  
25 are that similar between the two areas that you can

1 make that analogy?

2 A. Yes, within the local variations of the  
3 Mancos, I do.

4 HEARING EXAMINER: That's all I have.

5 MR. PEARCE: Nothing further.

6 HEARING EXAMINER: Mr. Emmons, I believe  
7 you want to make a statement?

8 MR. EMMONS: Amoco Production Company has  
9 reviewed the exhibits, the application, and testimony  
10 presented by Mobil, and specifically the engineering  
11 testimony. We think it clearly supports that a  
12 separate pool should be established. Therefore, Amoco  
13 recommends, agrees with, and supports Mobil's  
14 application.

15 HEARING EXAMINER: Is there anything  
16 further in this case?

17 Case 9789 will be taken under advisement.

18

19

20

21

22

23

24

25



1 CERTIFICATE OF REPORTER

2

3 STATE OF NEW MEXICO )  
 4 ) ss.  
 5 COUNTY OF SANTA FE )

6

7 I, Deborah O'Bine, Certified Shorthand  
 8 Reporter and Notary Public, HEREBY CERTIFY that the  
 9 foregoing transcript of proceedings before the Oil  
 10 Conservation Division was reported by me; that I  
 11 caused my notes to be transcribed under my personal  
 12 supervision; and that the foregoing is a true and  
 13 accurate record of the proceedings.

14 I FURTHER CERTIFY that I am not a relative  
 15 or employee of any of the parties or attorneys  
 16 involved in this matter and that I have no personal  
 17 interest in the final disposition of this matter.

18 WITNESS MY HAND AND SEAL November 25, 1989.

19

*Deborah O'Bine*  
 DEBORAH O'BINE  
 CSR No. 127

20

21

22 My commission expires: August 10, 1990

23

24

25

I do hereby certify that the foregoing is  
 a complete record of the proceedings in  
 the Examiner hearing of Case No. 9789  
 heard by me on November 15 1989.

*David R. Catamuh*, Examiner  
 Oil Conservation Division

1 STATE OF NEW MEXICO  
2 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
3 OIL CONSERVATION DIVISION  
4  
5  
6

7 EXAMINER HEARING  
8

9 IN THE MATTER OF:

10 Application of Mobil Producing Case 9789  
11 Texas and New Mexico Inc. for  
12 pool creation and special pool  
13 rules, or in the alternative  
for pool extension, Rio Arriba County,  
New Mexico

14

15

16 TRANSCRIPT OF PROCEEDINGS

17

18 BEFORE: DAVID R. CATANACH, EXAMINER

19

20 STATE LAND OFFICE BUILDING

21 SANTA FE, NEW MEXICO

22 November 15, 1989

23

24

25

## A P P E A R A N C E S

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

FOR THE DIVISION: ROBERT G. STOVALL  
Attorney at Law  
Legal Counsel to the Divison  
State Land Office Building  
Santa Fe, New Mexico

FOR THE APPLICANT: MONTGOMERY & ANDREWS, P.A.  
Attorneys at Law  
P.O. Box 2307  
Santa Fe, New Mexico 87504-2307  
BY: W. PERRY PEARCE, ESQ.

FOR AMOCO PRODUCTION COMPANY: AMOCO PRODUCTION COMPANY  
1670 Broadway  
P.C. Box 800  
Denver Colorado 80201  
BY: LARRY N. EMMONS

FOR NASSAU RESOURCES, INC.,  
and JEROME P. MCHUGH & ASSOCIATES: KELLAHIN, KELLAHIN & AUBREY  
Attorneys at Law  
117 N. Guadalupe  
Santa Fe, New Mexico 87504  
BY: W. THOMAS KELLAHIN, ESQ.

## I N D E X

	Page Number
Appearances	2
1. ROGER LICHTY	
Direct Examination by Mr. Pearce	4
2. RAY JONES	
Direct Examination by Mr. Pearce	10
Cross-Examination by Mr. Kellahin	23
Cross-Examination by Hearing Examiner	30
Further Examination by Hearing Examiner	59
3. LARRY CRUNCLETON	
Direct Examination by Mr. Pearce	33
Cross-Examination by Mr. Kellahin	40
Cross-Examination by Hearing Examiner	42
Further Examination by Mr. Stovall	56
Further Examination by Mr. Pearce	58
4. CRAIG EGGERMAN	
Direct Examination by Mr. Pearce	44
Cross-Examination by Mr. Kellahin	50
Cross-Examination by Hearing Examiner	51
Cross-Examination by Mr. Stovall	53
Statement by Mr. Emmons	60
Certificate of Reporter	61
E X H I B I T S	
Applicant's Exhibit 1	8
Applicant's Exhibit 2	9
Applicant's Exhibit 3	12
Applicant's Exhibit 4	14
Applicant's Exhibit 5	14
Applicant's Exhibit 6	16
Applicant's Exhibit 7	17
Applicant's Exhibit 8	18
Applicant's Exhibit 9	19
Applicant's Exhibit 10	20
Applicant's Exhibit 11	35
Applicant's Exhibit 12	36
Applicant's Exhibit 13	46

1 HEARING EXAMINER: Call the hearing back to  
2 order. At this time we'll call Case 9789.

3 MR. STOVALL: Application of Mobil  
4 Producing Texas and New Mexico Inc. for pool creation  
5 and special pool rules, or, in the alternative, for  
6 pool extension, Rio Arriba County, New Mexico.

7 HEARING EXAMINER: Appearances in this  
8 case?

9 MR. PEARCE: May it please the examiner,  
10 I'm W. Perry Pearce of the Santa Fe office of the law  
11 firm of Montgomery & Andrews, P.A., appearing in this  
12 matter on behalf of Mobil. I have four witnesses who  
13 need to be sworn.

14 HEARING EXAMINER: Other appearances.

15 MR. EMMONS: Larry Emmons of Amoco  
16 Production Company, as an appearance. I would like to  
17 make a statement at the conclusion of the case.

18 HEARING EXAMINER: I'm sorry, your last  
19 name, sir?

20 MR. EMMONS: Emmons, E-m-m-o-n-s.

21 HEARING EXAMINER: Other appearances.

22 MR. KELLAHIN: Mr. Examiner, I'm Tom  
23 Kellahin of the Santa Fe law firm of Kellahin,  
24 Kellahin & Aubrey. I'm appearing on behalf of Nassau  
25 Resources, Inc., and Jerome P. McHugh & Associates.

1 HEARING EXAMINER: Any witnesses, Mr.  
2 Kellahin?

3 MR. KELLAHIN: No, sir.

4 HEARING EXAMINER: Any other appearances?  
5 Can I get the four witnesses to stand and  
6 be sworn in?

7 (Witnesses sworn.)

8 MR. PEARCE: Thank you. At this time, I  
9 would like to call Mr. Roger Lichty to the stand,  
10 please.

11 ROGER LICHTY,  
12 the witness herein, after having been first duly sworn  
13 upon his oath, was examined and testified as follows:

14 DIRECT EXAMINATION

15 BY PEARCE:

16 Q. Thank you, sir. For the record, would you  
17 please state your name and place of residence.

18 A. My name is Roger Lichty. My residence is  
19 Denver, Colorado.

20 Q. Would you spell your last name for us  
21 please, sir.

22 A. Yes. L-i-c-h-t-y.

23 Q. Mr. Lichty, by whom are you employed?

24 A. I'm employed by Mobil Exploration and  
25 Producing US, Inc., in their Denver office.

1 Q. In what capacity?

2 A. I'm a land adviser, landman.

3 Q. Mr. Lichty, have you previously appeared  
4 before the New Mexico Oil Conservation Division or one  
5 of its hearing examiners and had your qualifications  
6 made a matter of record?

7 A. No, I have not.

8 Q. At this time briefly would you summarize  
9 your educational background and work experience,  
10 please.

11 A. All right. I have an undergraduate degree  
12 in English from Princeton University in 1967. I have  
13 a law degree from the University of Colorado, 1970. I  
14 have an M.B.A. Degree from the University of Denver,  
15 1988. I'm admitted to practice law in Arizona and  
16 Colorado. I have seven years of active practice of  
17 law with a focus on natural resources law, and I have  
18 11 years of experience as a senior landman, and I have  
19 a publishing credit in the natural resources law  
20 field.

21 Q. Mr. Lichty, as part of your work  
22 responsibilities, were you assigned the responsibility  
23 of the land matters related to Mobil's application in  
24 case 9789?

25 A. Yes, I was.

1 Q. Are you familiar with what Mobil seeks in  
2 that case?

3 A. Yes, I am.

4 MR. PEARCE: At this time I would ask that  
5 Mr. Lichty be qualified as experienced and an expert  
6 in the field of petroleum land matters.

7 HEARING EXAMINER: He is so qualified.

8 Q. (BY MR. PEARCE) Mr. Lichty, in pursuing  
9 the job responsibility relating to this case, could  
10 you describe what you did initially, please.

11 A. We were to determine operators and working  
12 interest owners and royalty owners and overriding  
13 royalty interest owners as they needed to be noticed  
14 for this hearing regarding Badland Hills Well.

15 Accordingly, I contracted with an  
16 independent landman who has approximately ten years of  
17 experience, not only in land work but also in this  
18 specific area, to work with me to develop that list of  
19 people for us to notice for this hearing.

20 We used petroleum information maps which  
21 designate ownership for the Section 15 acreage, and we  
22 also used a nine-section block surrounding that  
23 acreage, using the petroleum information maps.

24 We also developed information from Dwight  
25 Well History as to operators around the West Puerto



1 Chiquito pool area, and we contacted the Oil and Gas  
2 Commission where we had concerns regarding current  
3 addresses.

4 We also consulted a current directory of  
5 name changes for mergers and acquisitions in the oil  
6 industry for various companies to make sure we had  
7 right addresses there.

8 We additionally sent notices to the Bureau  
9 of Land Management, the Jicarilla Indian Tribe, and  
10 any other parties that would not necessarily strictly  
11 be within the realm of the rules but to whom we felt  
12 had an interest in this hearing.

13 It took us about four days to develop those  
14 names, and we forwarded them to Mr. Pearce here for  
15 mailing.

16 Q. In regard to that, is that work summarized  
17 in what we've marked as Exhibit No. 1 to this  
18 proceeding?

19 A. Yes, it is.

20 Q. And that is a letter from Mr. Richard Lewis  
21 to you; is that correct?

22 A. Yes, it is.

23 Q. I notice on the last page of that report,  
24 Mr. Lewis has signed it, and you have signed  
25 concurring in the conclusions he reached as a result

1 of his work; is that correct?

2 A. That is correct.

3 Q. Let's look very quickly at the last page of  
4 Exhibit No. 1. That appears to be a map. Could you  
5 describe the areas that are surrounded by colored  
6 markings, please.

7 A. Yes. We're looking at Township 23 North,  
8 Range 1 West, a yellow enclosed area being Section 15,  
9 which is the location of Badland Hills Well.

10 Surrounding that in a pink border is an  
11 approximate 12-section border zone or buffer area that  
12 we checked for operator ownership. And then there is  
13 a green line indicating the pool outline for the West  
14 Puerto Chiquito Pool.

15 MR. PEARCE: Mr. Examiner, at this time I  
16 would also like to submit what we have marked as  
17 Exhibit No. 2 to this proceeding. That is my  
18 Certificate of Service, showing service by mail as  
19 required by Rule 1207(4) to the individuals described  
20 by Mr. Lichty during his testimony. Notice of this  
21 hearing was initially sent to those parties on  
22 September 28th of 1989.

23 Q. At this time, Mr. Lichty, I would ask if  
24 you have additional matters that you would like to  
25 highlight for the examiner?

1           A.       Not that I'm aware of.

2                   MR. PEARCE: I have nothing further of this  
3 witness, Mr. Examiner.

4                   I would ask the admission of Mobil Exhibits  
5 1 and 2 to this proceeding.

6                   HEARING EXAMINER: Exhibits No. 1 and 2  
7 will be admitted as evidence.

8                   Any questions of this witness? If not, he  
9 may be excused.

10                   RAY JONES,  
11 the witness herein, after having been first duly sworn  
12 upon his oath, was examined and testified as follows:

13                   DIRECT EXAMINATION

14 BY MR. PEARCE:

15           Q.       At this time, Mr. Examiner, I would like to  
16 call my next witness, and I would ask him for the  
17 record to please state his name and place of  
18 residence.

19           A.       My name is Ray Jones. I reside in  
20 Lakewood, Colorado.

21           Q.       Mr. Jones, by whom are you employed?

22           A.       I'm employed by the petroleum consulting  
23 firm of Jerry R. Bergeson & Associates, Inc.

24           Q.       In what capacity are you employed by  
25 Bergeson & Associates?

1           A.       As a senior petroleum engineer.

2           Q.       Mr. Jones, have you previously appeared  
3 before the New Mexico Oil Conservation Division and  
4 its examiners and had your credentials made a matter  
5 of record?

6           A.       I have not.

7           Q.       Would you briefly summarize for us, please,  
8 your educational background and work experience.

9           A.       I have a degree, bachelor's of petroleum  
10 engineering from the Colorado School of Mines, 1979.  
11 I worked for Flow Patrol, 1979 and 1980, in the areas  
12 of well testing and operations in the North Sea.

13                   I worked for Texaco North Sea UK, Inc., in  
14 Aberdeen, Scotland, 1980, 81, and 1982. For  
15 Texaco, I performed reservoir engineering, production  
16 engineering duties. These included well test design  
17 and analysis for current producing wells and  
18 exploratory wells.

19                   I worked with Chorney Oil Company, 1982  
20 through 1985, as a petroleum engineer, chief petroleum  
21 engineer, mainly concerned with reservoir engineering  
22 with fields in the Rocky Mountain area.

23                   And since that time, I've been employed by  
24 Bergeson & Associates, reservoir engineering, well  
25 test analysis, reservoir simulation within the U.S.

1 and international. And I also teach in the Bergeson  
2 industry courses of well testing, reservoir  
3 engineering, and reservoir simulation.

4 Q. Mr. Jones, has Bergeson & Associates been  
5 retained by Mobil to study the Badland Hills 15-1  
6 Well?

7 A. Yes, we have.

8 Q. And you are the employee at Bergeson who  
9 has been charged with that responsibility; is that  
10 correct?

11 A. That is correct.

12 MR. PEARCE: At this time, Mr. Examiner, I  
13 would ask that Mr. Jones be recognized as an expert in  
14 the field of petroleum engineering.

15 HEARING EXAMINER: He is so qualified.

16 Q. (BY MR. PEARCE) Mr. Jones, during the  
17 course of drilling and completing the Badland Hills  
18 15-1 Well, do you know if bottom hole pressure tests  
19 were conducted on that well?

20 A. Yes. Bottom hole pressure tests were  
21 conducted in the end of October to test the pressure  
22 of the Mancos A-B zones.

23 Q. Sir, I would ask you to refer to what we've  
24 marked as Mobil Exhibit No. 3 in this case, and would  
25 you highlight for the examiner and those in attendance

1 the relevant features on that exhibit?

2 A. On Exhibit 3, I have shown the pressure  
3 information from that case, tool DST. I applied the  
4 bottom hole pressure at gauge depth versus time as the  
5 elapsed time from the beginning of the test. In the  
6 upper left-hand corner, I have included the  
7 annotations of "swab" and "shut-in."

8 The well would not flow naturally, and so  
9 it was swabbed for a period of approximately six hours  
10 for the flow period to reduce the pressure.

11 The DST tool was then shut in and left shut  
12 in for approximately 70 hours.

13 The rather erratic pressure at the very  
14 beginning of the test is due to swabbing of the well  
15 to reduce the pressure.

16 The pressure ranged from approximately  
17 1,220 pounds to a high of about 1,800 pounds and then  
18 was reduced to approximately 1,590 psig at the shut-in  
19 of the test or the shut-in of the well.

20 Q. Then would you describe, please, the  
21 pressure performance of the well once it was shut in.

22 A. The pressure increases and at approximately  
23 41 hours into the test; that would be about 47 hours  
24 on the time scale. This gauge recorded a maximum  
25 pressure of 1,824 psi. That pressure is constant

1 throughout the rest of the test.

2 Q. Let's look, please, at what we've marked as  
3 Mobil Exhibit No. 4. Could you describe that exhibit,  
4 please.

5 A. Exhibit No. 4 is a comparison of the  
6 recorded pressure from the Badland Hills Well with a  
7 graph of regional initial pressures for the Mancos.  
8 The base graph is presented before -- and this  
9 particular copy came from Case 9525.

10 I have added the pressure of 1,824 psig and  
11 at the gauge depth of 937 feet subsea to this graph.

12 It shows that the recorded pressure is in  
13 line with what we would expect as an initial reservoir  
14 pressure for the Mancos in this area.

15 Q. Other comments on Exhibit No. 4?

16 A. Not at this time.

17 Q. All right, sir. Let's look, please, at  
18 what we've marked as Exhibit No. 5 to this  
19 proceeding. I notice in the bottom, left-hand portion  
20 of that graphical display, there are a number of  
21 symbols. Could you describe those symbols and the  
22 information represented, please.

23 A. Yes, sir. The symbols represent pressure  
24 tests, specific pressure tests for three wells. The  
25 well names are noted in the lower left-hand corner of

1 the figure, Badland Flats, Federal No. 1, the Amoco  
2 State CC No. 1, and the Wishing Well 35-7.

3 These points are shut-in pressure  
4 measurements taken at various points in time. The  
5 pressures decrease in time because the wells were  
6 producing over this time period.

7 Q. As I understand the caption on this  
8 exhibit, those wells are part of what is sometimes  
9 referred to as the Schmitz Anticline; is that correct?

10 A. That is correct.

11 Q. Is that the producing area in closest  
12 proximity to the Badland Hills Well?

13 A. Yes, it is. The Schmitz Anticline is a  
14 term of reference I have used. It begins at an area  
15 approximately the Amoco Schmitz Anticline Federal No.  
16 1 Well, continues south to the southern edge of the  
17 West Puerto Chiquito-Mancos Pool.

18 Q. Looking at the information displayed in the  
19 bottom, left-hand portion of this exhibit, based on  
20 the latest recorded pressures from the Schmitz  
21 Anticline area, which occurred in late 1988, and based  
22 upon the production since that time, do you have an  
23 estimate of the pressure you would expect to be  
24 recorded in the Schmitz Anticline at this time?

25 A. Yes. I would expect the pressure for this



1 group of wells shown to be approximately 1,000 psi or  
2 less.

3 Q. In the upper right-hand portion of this  
4 exhibit, there is a data point marked "Mobil Badland  
5 Hills 15-1." What does that point represent?

6 A. That is the pressure shown on the previous  
7 figure for the Mobil Badland Hills 15-1 Well. An  
8 adjustment has been made to correct the pressure from  
9 gauge depth to a depth of 750 feet subsea.

10 Q. Based upon your study and the information  
11 you have reviewed, as I understand it, it's your  
12 opinion that in late 1989 when the Badland Hills Well  
13 was pressure tested, there was between an 800- and  
14 900-pound pressure difference between the Schmitz  
15 Anticline wells and the Mobil well; is that correct?

16 A. That is correct. That would indicate that  
17 the Mobil Badland Hills 15-1 is not in communication  
18 with the wells that have been termed Schmitz Anticline  
19 wells.

20 Q. Let's move on to some further study that  
21 you did, and I'd ask you to refer to Exhibit No. 6 to  
22 this proceeding and describe the information reflected  
23 on that exhibit, please.

24 A. Exhibit No. 6 is a well list of those wells  
25 that were included in what I term the "Schmitz

1 Anticline area," and it is the list of wells for which  
2 I had production information.

3 Q. All right, sir. Let's look at what we've  
4 marked as Exhibit No. 7, and you mentioned that you  
5 had production information from the five wells shown  
6 on Exhibit No. 6. How was that information utilized  
7 in Exhibit 7?

8 A. Exhibit No. 7 is a plot of the total  
9 production from those wells. It is a plot of oil  
10 production in barrels per calendar day. Water rate  
11 and gas flow ratio is also included. The oil  
12 production is the solid diamond symbol and is a curve  
13 in the top cycle of the graph.

14 I have shown on here a dashed line as an  
15 extrapolation of expected future performance from this  
16 group of wells, and that is annotated with a value of  
17 32 percent. The line drawn in is approximately 32  
18 percent per year effective decline.

19 Q. Based upon the analysis of production from  
20 those Schmitz Anticline wells and the decline which  
21 you have extrapolated, have you made an estimate of  
22 the expected ultimate recovery from the Schmitz  
23 Anticline well?

24 A. Yes, I have. With the cumulative  
25 production and expected decline, the estimated

1 ultimate recovery for the five wells is 558,000  
2 barrels of oil.

3 Q. That is up to the point of --

4 A. The economic limit.

5 Q. How have you utilized that 558,000-barrel  
6 number, please. I'm referring to Exhibit No. 8.

7 A. On Exhibit No. 8, I have estimated aerial  
8 extent or aerial drainage areas, if you like, for  
9 these five wells. I have used the 558,000-barrel  
10 estimated ultimate recovery, and I have used recovery  
11 factors from two fields in the area.

12 The recovery factors are on the second  
13 entry labeled, "Range of Estimated Ultimate Recoveries  
14 Per Acre," 199 to 161 barrels per acre.

15 Q. Based upon your study of various fractured  
16 Mancos reservoirs, do you believe that a range of 161  
17 to 199 barrels per acre is a reasonable expectation of  
18 production from the fractured Mancos formation  
19 underlying the Badland Hills well?

20 A. Yes, I do. These numbers were from the two  
21 fields nearest to the north.

22 Q. All right, sir, I apologize for  
23 interrupting. Please go to the next step in your  
24 analysis.

25 A. With the estimated ultimate recovery and an

1 estimate of recovery per acre, I have estimated the  
2 aeral extent that the five wells are draining. This  
3 ranges from 2,800 to 3,500 acres, and I have converted  
4 that to sections. And that ranges from approximately  
5 4.4 to 5.4 sections for this group of wells.

6 Q. Based upon that analysis, do you have an  
7 opinion upon the appropriate spacing and drainage area  
8 of wells such as the Badland Hills 15-1?

9 A. Yes, I do. I have concluded that, from  
10 this information, 640 acres is a reasonable spacing  
11 unit for these wells and for the Badland Hills 15-1.

12 Q. At this time I would ask you to refer to  
13 what we've marked as Exhibit No. 9. I would ask you  
14 to describe for the examiner the information  
15 reflected.

16 A. I made some economic calculations for  
17 comparisons of 640-acre spacing versus 320-acre  
18 spacing. In order to do that, I needed projections of  
19 the oil production in time.

20 There are two curves shown on this figure.  
21 The one that's annotated 32 percent, that would be the  
22 expected production profile for a typical well based  
23 upon the information that we've just reviewed.

24 The second line, the solid line, that would  
25 be for a case of two wells on the section. As I

1 expect the well to drain approximately 640 acres, I  
2 would not anticipate that a second well would add any  
3 reserves.

4 A second well may increase initial  
5 production, temporarily. And so I have used an  
6 initial rate that's twice that of the single well case  
7 for the 320-acre spacing. However, that case would  
8 have a steeper decline. And I have calculated that  
9 decline at the same reserves to be 53 percent per  
10 year.

11 Q. How have you utilized those two  
12 calculations of decline rates in your analysis?

13 A. I used these two decline rates, the initial  
14 rates, with typical economic parameters to estimate  
15 the recovery for a 640-acre case and 32-acre case.

16 Q. Let's look, please, at Exhibit No. 10. I  
17 would ask you if that exhibit reflects the result of  
18 the analysis you've just described?

19 A. Yes, it does.

20 Q. What information is reflected on the first  
21 page of Exhibit 10, please.

22 A. That is a plot of discounted cash flow in  
23 thousands of dollars with discount factor in percent.

24 I have shown the results for the 640-acre  
25 economic case as a solid line. That's the line at the

1 top of the stippled band.

2 I have shown the results for the 320-acre  
3 case with a dashed line, which is at the base of that  
4 stippled band.

5 The stippled band represents the economic  
6 loss from drilling the second well on the section.

7 Q. Is it your opinion that based upon the  
8 production history of wells in the fractured Mancos  
9 reservoir that the drilling of a second well to  
10 accomplish 320-acre spacing would cause the drilling  
11 of unnecessary wells and therefore cause waste?

12 A. Yes, sir, it is.

13 Q. I notice that attached behind the initial  
14 page of Exhibit 10 are two data pages. What's  
15 reflected on those sheets, please.

16 A. The two data pages are the economic  
17 calculations for the one-well and the two-well cases,  
18 or 640-acre and 320-acre cases.

19 Q. And those pages set forth the parameters  
20 utilized in your economic calculation; is that right?

21 A. That's correct, they do.

22 Q. Mr. Jones, I would ask you if you have  
23 reached a conclusion on the basis of your analysis of  
24 whether the Badland Hills 15-1 Well is in a petroleum  
25 reservoir separate from other producing reservoirs in

1 the area?

2 A. It is my opinion that the Badland Hills  
3 15-1 is separate from other wells in the area.

4 Q. And based upon your study, have you reached  
5 a conclusion of the appropriate spacing for wells at  
6 least for the Badland Hills Well?

7 A. I have concluded that 640-acres would be  
8 appropriate for this well.

9 Q. You have stated your conclusion that  
10 spacing with greater density such as 320-acre spacing  
11 would cause the drilling of unnecessary wells; is that  
12 correct?

13 A. That is correct.

14 Q. Do you have anything further to highlight  
15 for the examiner at this time?

16 A. No, I do not.

17 MR. PEARCE: I have nothing further of this  
18 witness, Mr. Examiner.

19 I would ask the admission of Mobil Exhibits  
20 3 through 10, and I would pass the witness for  
21 questioning.

22 HEARING EXAMINER: Exhibits 3 through 10  
23 will be admitted as evidence.

24 Questions of this witness? Mr. Kellahin?

25 CROSS-EXAMINATION

1 BY MR. KELLAHIN:

2 Q. Mr. Jones, perhaps by way of reference, we  
3 might use the plat that was attached to the  
4 information that identified the various participants.

5 A. Okay. I have it.

6 Q. My client is Mr. McHugh. His operations in  
7 this area include the Nassau Resources Laguna Colorado  
8 No. 2 Well?

9 A. Yes, sir.

10 Q. Which is in Section 2. When I look at the  
11 area outlined in pink on this page 5 of Exhibit No. 1,  
12 we have the Mobil 15-1 well in Section 15 that's in  
13 the fractured Mancos. In Section 2, we have the  
14 Nassau Resources Laguna Colorado No. 2 Well in the  
15 fractured Mancos.

16 Are there any other wells currently  
17 completed in this interval within the area identified  
18 by the pink outline?

19 A. There is an Amoco well in Section 3,  
20 Badland Flats Federal No. 1. It's located in the  
21 northwest quarter of Section 3.

22 Q. When I look at your Exhibit No. 6, the  
23 Laguna Colorado and then the Amoco Badlands Flats  
24 Federal No. 1 and three other wells were included in  
25 your analysis of production plots for the Schmitz



1     Anticline area?

2             A.     That's correct.

3             Q.     Exhibit No. 5 was a pressure plot versus  
4     time on the Schmitz Anticline wells, but I don't find  
5     the wells plotted to include the Laguna Colorado No. 2  
6     Well.

7             A.     That's correct.

8             Q.     Did I miss something?

9             A.     No.   The Laguna Colorado 2-6 is not  
10    included.   As I recall, the pressures for the Laguna  
11    Colorado were less than some of the other wells in  
12    this general area.

13                 The recorded pressures I believe were on  
14    the order of 1,000 pounds or less, and at least two of  
15    the pressures that were reported for the Laguna  
16    Colorado well would be off the scale of this plot.  
17    They would show an even larger separation with the  
18    Mobil Badland Hills 15-1, a larger pressure  
19    separation.

20             Q.     In making your study, did you review the  
21    case file and the commission order in Case 9451, which  
22    was Order R-6469-G, by which the Division extended the  
23    West Puerto Chiquito-Mancos Pool and picked up the  
24    McHugh acreage in Section 2?

25             A.     I'm familiar with it.

1 Q. Did you look at the technical presentation  
2 and the testimony in that case?

3 A. I had reviewed that before, yes.

4 Q. What's your recommendation about where to  
5 put Section 2? Do we leave it in the pool to the  
6 north, which is the West Puerto-Chiquito Mancos Pool,  
7 or are we going to put that well in the Mobil proposed  
8 pool today?

9 MR. PEARCE: For clarification, the pink  
10 outline on the exhibit dealt only with the notice  
11 question. The pool being proposed is the yellow  
12 outline, a Section 15 pool only.

13 MR. KELLAHIN: I'm sorry. I've been  
14 confused by all the pretty colors. Okay.

15 Q. The advertisement talks about creating then  
16 Section 15 as its own pool, and that's what we're  
17 talking about here?

18 MR. PEARCE: Yes.

19 THE WITNESS: Yes.

20 Q. (BY MR. KELLAHIN) In the alternative, it  
21 talks about extending the West Puerto-Chiquito Mancos  
22 Pool to include Sections 3, 10, and 15. That's not  
23 something you want to do?

24 MR. PEARCE: That alternative has now been  
25 dropped based on the well test data that's been

1 presented, yes.

2 Q. (BY MR. KELLAHIN) Based upon your  
3 analysis, Mr. Jones, can you determine whether you see  
4 pressure information that makes the McHugh Laguna  
5 Colorado No. 2 more typical of wells that ought to be  
6 included within the area that you propose for the pool  
7 to be created for Section 15?

8 A. I did not study the Laguna Colorado well in  
9 Section 2 specifically to see -- specifically for that  
10 well. Based upon the pressure information, the well  
11 in Section 2 is in the reservoir that is separate from  
12 the well in Section 15 and should not be included with  
13 the well in Section 15.

14 Q. When we look at the Amoco well in Section  
15 3, was it?

16 A. Yes.

17 Q. That Badlands Flats Federal No. 1 in  
18 Section 3, my understanding of the existing West  
19 Puerto-Chiquito Mancos Pool is that Section 3 would be  
20 included in that pool. Do you know?

21 A. I do not know specifically. I should defer  
22 that to Perry.

23 MR. KELLAHIN: Let me withdraw the question  
24 and state it this way.

25 Q. When we look at the Amoco well in Section

1 3, is that part of the same reservoir with the McHugh  
2 well in 2, or is the Amoco well in 3 going to be part  
3 of the pool in Section 15, or can you tell?

4 A. The Amoco well is not part of the pool for  
5 Section 15. That I can tell.

6 Q. Have you studied sufficiently the  
7 engineering information to draw any conclusions about  
8 whether the Amoco well in 3 ought to be part of the  
9 Section 2 Nassau Colorado Laguna Well?

10 A. I have not studied that. That was not a  
11 requirement for this analysis.

12 Q. I understand. I'm just trying to see where  
13 we're going to go with your pool. One of the  
14 difficulties when we have two pools, even though  
15 they're on the same spacing, is at some point there  
16 may be a need to draw a distinction.

17 A. I understand.

18 Q. I'm trying to decide how we set this up.

19 Your comparison of the Schmitz Anticline  
20 area includes what geographic area on page 5 so that I  
21 understand how you have separated out the 15-1 well  
22 from the Schmitz Anticline area?

23 A. The Schmitz Anticline area, as I said, was  
24 a term of convenience. I included the well  
25 information, the wells -- I had Amoco's well in 25,

1 26; the Nassau Resources well in 35. We have the  
2 Laguna Colorado well in Section 2, and the Amoco well  
3 in Section 3.

4 I picked these wells because they were  
5 close producers to the well in Section 15. In fact,  
6 the wells in Section 2 and Section 3 are, as far as I  
7 know, the closest Mancos producers to the new well in  
8 Section 15.

9 Q. Based upon a comparison of pressure  
10 information from four of those Schmitz area wells with  
11 the pressure from the 15-1 well, do you see a  
12 differential of about 900 pounds?

13 A. That's correct.

14 Q. Adjusted to the same database and the same  
15 point in time?

16 A. Yes, approximately 800 to 900 pounds.

17 Q. Is there any other data that supports your  
18 conclusion about the separation of Section 15 from  
19 those Schmitz Anticline area wells?

20 A. Any other engineering information?

21 Q. Sure. The pressure is obviously an  
22 important differential. Did you look and find any  
23 other distinctions?

24 A. Not outside of the pressure. The initial  
25 pressure does, however, match with the regional

1 initial pressures for fields and would be the pressure  
2 that we would expect for this area as an initial  
3 pressure and one for a field or area that was not yet  
4 drained.

5 Q. Have you satisfied yourself that there has  
6 been a sufficient long enough period of time for  
7 production out of the Schmitz Anticline that if the  
8 Schmitz Anticline was communicating with Section 15,  
9 you would have seen pressure depletion in your  
10 section?

11 A. I have.

12 Q. How long a period of time was that?

13 A. The communication between, for example,  
14 Amoco State CC No. 1 in Section 26 and the Wishing  
15 Well 35-7 in Section 35, without reviewing notes, I  
16 will say that is on the order of one day or less. So  
17 if the well -- if this area was in pressure  
18 communication, we would have observed a pressure  
19 similar to those for the Schmitz Anticline well area.

20 Q. When you look at the Schmitz Anticline area  
21 in terms of pressure analysis, can you conclude as a  
22 reservoir engineer that those wells are in fact in the  
23 same common source of supply?

24 A. I don't think there's any question about  
25 the State CC No. 1 and the Wishing Well. I have not

1 evaluated the other wells to accurately determine the  
2 degree of communication.

3 Q. Let's see if I understand your ultimate  
4 conclusion that the pressure in 15 that you've  
5 experienced in your 15-1 well is significantly  
6 different from the pressure that you see in the Amoco  
7 well in 3, and that there has been a sufficient enough  
8 period of time elapsed during which the Amoco well in  
9 3 has been produced, that had there been communication  
10 between the two sections, you would have seen pressure  
11 depletion in 15?

12 A. That's correct.

13 Q. And absence that pressure depletion and  
14 showing 900 pounds pressure differential, you don't  
15 need to look any further, do you, to establish  
16 separation between Section 3 and 15?

17 A. No.

18 MR. KELLAHIN: Thank you. Nothing else.

19 HEARING EXAMINER: Any other questions of  
20 this witness?

21 CROSS-EXAMINATION

22 BY HEARING EXAMINER:

23 Q. Mr. Jones, besides the engineering  
24 evidence, do you have geologic evidence which might  
25 show separation?

1                   MR. PEARCE: If I may, Mr. Examiner, my  
2 next witness is a geologist.

3           Q.       (BY HEARING EXAMINER) Mr. Jones, where are  
4 the other Mancos pools in relation to Section 15?

5           A.       If we refer back to page 5 of 5, Exhibit  
6 No. 1, the green line would be the southern boundary  
7 of the West Puerto Chiquito-Mancos Pool.

8                   There is a small, one-well pool in Section  
9 36. That would be Range 1 East, Township 24 North, I  
10 believe, called the Regina Gallup? Is that the  
11 correct pronunciation?

12                  MR. PEARCE: Yes.

13                  THE WITNESS: Then there's the Gavilan  
14 Mancos Pool which would be to the north and the west  
15 of this area.

16           Q.       (BY HEARING EXAMINER) Are the West Puerto  
17 Chiquito and the Gavilan Mancos -- those are spaced on  
18 640; is that correct?

19           A.       Yes.

20           Q.       Mr. Jones, the application requests a  
21 special depth bracket allowable. Can you elaborate on  
22 that?

23                   Do you have another witness, Mr. Pearce.

24                  MR. PEARCE: Another witness will address  
25 that.



1 Q. (BY HEARING EXAMINER) Mr. Jones, if you  
2 indeed did have communication from the well in Section  
3 15 with the other wells in Section 2, what kind of  
4 pressure might you expect at this point in that well?

5 A. I would expect a pressure that would be  
6 very similar to the pressure observed for these other  
7 wells.

8 Q. It would have drawn down that much?

9 A. Yes, sir.

10 Q. Being as far away as it was?

11 A. Yes. We have observed in the Gavilan  
12 field, where it's generally accepted, that within the  
13 confines of the Gavilan field, the wells are in  
14 pressure communication. And as new wells were brought  
15 on, they were, say, within a range of about 100 pounds  
16 to other wells in the area. And so I would expect  
17 similar pressure measurements or pressure observations  
18 if this well was in communication with the area to the  
19 north.

20 HEARING EXAMINER: I have no further  
21 questions of the witness. He may be excused.

22 LARRY CRUNCLETON,  
23 the witness herein, after having been first duly sworn  
24 upon his oath, was examined and testified as follows:

25 DIRECT EXAMINATION

1 BY MR. PEARCE:

2 Q. At this time, Mr. Examiner, I would like to  
3 call my next witness, and I would ask him for the  
4 record to please state his name and place of  
5 residence.

6 A. My name is Larry Cruncleton, and I reside  
7 in Bailey, Colorado.

8 Q. Mr. Cruncleton, would you please spell your  
9 last name for the examiner.

10 A. Last name is C-r-u-n-c-l-e-t-o-n.

11 Q. Mr. Cruncleton, by whom are you employed?

12 A. I'm employed by Mobil Exploration and  
13 Producing U.S. in the Denver Division.

14 Q. In what capacity are you employed?

15 A. I am a staff geophysicist in charge of the  
16 of the Rocky Mountain District.

17 Q. Mr. Cruncleton, have you appeared before  
18 the examiner or one of the examiners and had your  
19 credentials made a matter of record before?

20 A. No, I haven't.

21 Q. At this time would you briefly summarize  
22 your educational background and work experience,  
23 please.

24 A. Yes. I graduated from the University of  
25 Texas at El Paso with a Bachelor of Science Degree in

1 Geophysics. That was in December of 1980. Upon  
2 graduation, I started with Mobil at the beginning of  
3 1981. I've since worked with them in exploration and  
4 production throughout that time.

5 Q. Has the majority of that time or perhaps  
6 all of that time been in the Denver office?

7 A. With the exception of the first year, which  
8 was a training program, which they have in the Dallas  
9 program; upon completion of that, I moved to the  
10 Denver Division.

11 MR. PEARCE: At this time, Mr. Examiner, I  
12 would ask that Mr. Cruncleton's qualifications be  
13 accepted and made a matter of record, and that he be  
14 qualified as an expert in the field of petroleum  
15 geology.

16 HEARING EXAMINER: He is so qualified.

17 Q. (BY MR. PEARCE) Mr. Cruncleton, as part of  
18 your work responsibilities, were you asked to do a  
19 geological study of the area surrounding the Badlands  
20 Hill 15-1 Well?

21 A. Yes, I was. I was originally assigned to  
22 look at the wells in the area and to integrate the  
23 well data with seismic, which we have recently  
24 acquired within the area.

25 Q. Let me interrupt for just a second. Based

1 on the review of the well data which was available and  
2 the geophysical data which has been developed, have  
3 you prepared a structure map of the Gallup?

4 A. Yes, I have.

5 Q. Is that reflected as Mobil Exhibit No. 11  
6 to this proceeding?

7 A. Yes, it is.

8 Q. I'd ask you to look at that exhibit,  
9 please, and point out the items which you would like  
10 to highlight for the examiner.

11 A. Okay. This is a structure map constructed  
12 on the top of the Gallup zone. The map is a scale of  
13 1 to 4,000. The contour interval is 50 feet. The  
14 broad, dashed line on that map is the boundary of the  
15 West Puerto Chiquito Pool.

16 The dashed lines with the X's through them,  
17 that represents where our seismic control is that we  
18 have acquired in this area.

19 In the southwest corner, I have highlighted  
20 the Badland Hills No. 15-1 Well. It has a box around  
21 it.

22 Q. I notice there are also a couple of solid  
23 lines on the exhibit, some of which have graphical  
24 symbols on one side or the other. What do those lines  
25 represent?

1           A.       Right. Those represent faults which have  
2   been distinguished, using our seismic. As you notice,  
3   several of the faults represent several different  
4   styles of faulting and in several different  
5   directions.

6           Q.       Very briefly, summarize what you mean by  
7   different styles of faulting and how they're  
8   represented, please.

9           A.       Essentially, what that represents is  
10  relative motion of throws across these faults and type  
11  of faultings, whether it be normal faulting, listrick  
12  faults.

13                   In addition to that, I've marked on here in  
14  red a line of cross-section connecting four wells,  
15  including the Badland Hills and two wells within the  
16  Schmitz Anticline area and another well to the north.

17           Q.       Let's turn now to what we've marked as  
18  Exhibit No. 12. While you're discussing that  
19  cross-section, could you describe that for the  
20  examiner, please.

21           A.       Exhibit 12 is a structural cross-section.  
22  What I've used in this cross-section is the dual  
23  induction logs for the wells listed along that line.  
24  This cross-section was hung on a structural datum of  
25  500 feet.

1                   And what this cross-section essentially  
2 shows, it represents the structural relationship of  
3 these wells with each other. And I've drawn in here  
4 the faults which we have delineated on seismic.

5                   I've shown across this section the relative  
6 throws which we see, vertical throws that we see along  
7 this section here, delineating some of the separation  
8 of these wells with each other of the faults.

9           Q.       You have reviewed the well data which has  
10 been available; is that correct?

11          A.       Yes, sir.

12          Q.       And the seismic data that you have  
13 described; is that correct?

14          A.       Yes, sir.

15          Q.       Have you formed a broad opinion on the  
16 geology and structure of the Gallup formation in this  
17 area?

18          A.       Yes, I have.

19          Q.       What is that opinion, please.

20          A.       One of the first things that struck me in  
21 doing this study was the complexity. Using the  
22 seismic, it was obvious that the structure was much  
23 more complex than what could be derived just using  
24 well control within the area.

25                   Mainly, in addition to that, the seismic is

1 used to delineate these faults which we see, which we  
2 probably would not be able to put in solely using just  
3 well control.

4 Q. You have defined this as a highly complex  
5 area. When a previous witness was on the stand, there  
6 was some questioning about whether or not there was  
7 geologic evidence of separation.

8 I would ask you to refer to what we've  
9 marked as Exhibit No. 11. Based upon the data that is  
10 available to us today, are you able to conclude that  
11 there is structural separation between the Badland  
12 Hills Well and the Schmitz Anticline Well which would  
13 account for the pressure differentials we've seen?

14 A. Strictly off of a structural point of view,  
15 it does not show any reason for separation between the  
16 two such as closed highs, but what is evident is the  
17 multidirections of these faults that we see in the  
18 area.

19 The faults in the Schmitz Anticline area,  
20 particularly the Wishing Well, appears to be  
21 associated with the fracture zone. In associating  
22 with the fault we see up there, in the Badland Hills,  
23 appears to have penetrated a different fault in its  
24 associated fracture zone down there.

25 Q. And looking at this exhibit, it appears

1 that just south of the Badland Hills wells and the  
2 vicinity of the well you just addressed to the north,  
3 and I've forgotten the name --

4 A. The Wishing Well.

5 Q. -- the Wishing Well, there doesn't appear  
6 to be seismic data between those two points?

7 A. No. We do not have the control to actually  
8 define whether we have more faults in that area or  
9 not.

10 Q. Based upon your study of the area and the  
11 data that is available to you, referring back to  
12 Exhibits 11 and 12, do you have other items of  
13 information which you believe might be helpful to the  
14 examiner in this matter?

15 A. No, I don't.

16 MR. PEARCE: Mr. Examiner, I have nothing  
17 further of this witness at this time.

18 I would move the admission of Mobil  
19 Exhibits 11 and 12 to this proceeding, and I would  
20 pass the witness.

21 HEARING EXAMINER: Exhibits 11 and 12 will  
22 be admitted as evidence.

23 Questions?

24 MR. KELLAHIN: Thank you, Mr. Examiner.

25 CROSS-EXAMINATION



1 BY MR. KELLAHIN:

2 Q. Mr. Cruncleton, when I look at the seismic  
3 structure map on top of the Gallup, Exhibit No. 11,  
4 and I focus in on the extent of the reservoir in  
5 Section 15 from which the 15-1 well produces, what, in  
6 your opinion, is the likely geologic extent of that  
7 reservoir as we move to the east?

8 A. To the east?

9 Q. Yes, sir.

10 A. As we move to the east, it appears we would  
11 be moving out of the fracture zone associated with  
12 that fault, and production of the wells, I would  
13 assume, would fall off as we move to the east.

14 Q. Geologically then, when you examine that  
15 information, the eastern limits of the reservoir is  
16 going to be controlled by the top of the Gallup 8  
17 outcrop, or is it going to be controlled by this -- I  
18 guess it's a fault line --

19 A. That is.

20 Q. -- through the east side of Section 15?

21 A. Yes. Production at most would go as far to  
22 that last fault that we see that I've listed on there  
23 that the contours -- they end up against that fault.  
24 We wouldn't assume any production on the other side of  
25 that fault.

1           Q.       I don't have an east-west cross-section to  
2 look at; so I was trying to determine what your  
3 opinion was with regards to the likely eastern  
4 boundary of that reservoir.

5                    When you look to the west, do you have any  
6 geologic information from which you can conclude what  
7 the likely western boundary is for the reservoir being  
8 produced by the 15-1 well?

9           A.       No. We are not able to determine how far  
10 out the fracture system would extend.

11          Q.       When I look at your cross-section, am I  
12 correct in understanding that the magnitude of fault  
13 displacement for the Mancos reservoir is not  
14 sufficient to totally separate the Mancos formation  
15 from the 15-1 well and, say, the Laguna Colorado No. 2  
16 well?

17          A.       That's correct. Across the faults there is  
18 not enough separation to separate the total interval  
19 of the Gallup there.

20          Q.       Is there any reason that you didn't run  
21 your A-A' cross-section through the Amoco well in  
22 Section 3?

23          A.       No. The reason I ran the cross-section  
24 between the Badland Hills up to the Laguna Colorado  
25 No. 6 is so I could represent on this cross-section

1 where that fault is in association with the Badland  
2 Hills.

3 Q. In placing the fault then, you have placed  
4 the Amoco well in Section 3 west of the fault?

5 A. The Amoco well? I have on my structural  
6 section -- I have represented the fault as dying out  
7 just at the bottom of Section 3.

8 Q. I'm sorry, yes, you have.

9 Have you examined the geologic relationship  
10 between the Amoco Badlands well in 3 versus the Nassau  
11 Resources Laguna Colorado Well in Section 2?

12 A. No, I haven't.

13 MR. KELLAHIN: Thank you. I have nothing  
14 further.

15 CROSS-EXAMINATION

16 BY HEARING EXAMINER:

17 Q. Mr. Cruncleton, is there any other geologic  
18 factor which might explain the separation of the two  
19 areas besides the faulting?

20 A. Not that I'm aware of.

21 Q. None that you've found?

22 A. Yes.

23 Q. Is this whole interval correlatable across  
24 the two areas?

25 A. Yes, it is. On the cross-section, what

1 we've depicted as our A, B, and C is relatively easy  
2 to correlate across the whole area.

3 Q. Do the fractures in the Mancos generally  
4 have a preferential direction?

5 A. Our belief in this area is that the  
6 fractures are oriented parallel to the faulting that  
7 we see in this area.

8 We did run a fracture log within the  
9 Badland Hills which does show the fractures do appear  
10 to be running in the direction that I had the fault  
11 depicted on the map.

12 Q. So, really, the two areas should be in  
13 communication, but they aren't? It all points that  
14 they should be in communication; is that correct?

15 A. Well, no. The wells up to the north really  
16 aren't associated with the fault that we see at the  
17 Badland Hills.

18 Q. Fractures go towards the wells in Sections  
19 2 and 3?

20 A. In that direction, but we can't determine  
21 the extent of how far those fractures would run.

22 HEARING EXAMINER: That's all the questions  
23 we have at this time.

24 CRAIG EGGERMAN,

25 the witness herein, after having been first duly sworn

1 upon his oath, was examined and testified as follows:

2 DIRECT EXAMINATION

3 BY MR. PEARCE:

4 Q. May it please the examiner, I would ask the  
5 witness to please state his name and place of  
6 residence for the record.

7 A. Craig Eggerman, and I reside in Lakeland,  
8 Colorado.

9 Q. Mr. Eggerman, by whom are you employed?

10 A. Mobil Producing and Exploration U.S., Inc.

11 Q. What's your capacity with Mobil?

12 A. Mobil employs me as a senior regulatory  
13 engineering adviser.

14 Q. As part of your responsibilities, have you  
15 reviewed the application filed by Mobil in this case?

16 A. I have.

17 Q. I would ask you, sir, if you have appeared  
18 before the New Mexico Oil Conservation Division or its  
19 examiners previously and had your credentials made a  
20 matter of record?

21 A. I have not.

22 Q. Would you please, sir, for us at this time  
23 summarize your educational background and work  
24 experience.

25 A. I received a Bachelor of Science Degree

1 from South Dakota School of Mines and Technology in  
2 1973. I was subsequently employed by Shell Oil  
3 Company for two-and-a-half years, two years,  
4 approximately.

5 I worked as an on-site engineer, worked in  
6 the capacity of well log evaluations, cementing and  
7 casing operations, drill stem test testing, and other  
8 related drilling activities. I served in the capacity  
9 as a completion supervisor and operations engineer.

10 In 1975, I was employed by Mobil Oil  
11 Corporation and subsequently worked in positions as an  
12 operations engineer, a drilling engineer, a drilling  
13 engineering supervisor. And in 1984, I was employed  
14 as a regulatory engineer.

15 My areas of responsibilities are all of the  
16 Rocky Mountain states, Nevada, and California.

17 MR. PEARCE: At this time, Mr. Examiner, I  
18 would ask that the witness be qualified as an expert  
19 in the field of petroleum engineering and regulatory  
20 management?

21 HEARING EXAMINER: He is so qualified.

22 Q. (BY MR. PEARCE) Mr. Eggerman, at this  
23 time, I would ask you as part of your responsibilities  
24 with Mobil, if you have followed certain committee  
25 meetings relating to proposed basinwide rules for

1 fractured Mancos reservoirs in northwestern New  
2 Mexico?

3 A. I have. We have one individual that was  
4 designated to serve on that particular subcommittee.

5 Q. And he reported regularly to you about  
6 those proceedings; is that correct?

7 A. That is correct.

8 Q. How come he's not here?

9 A. Because Mr. Paul Haber, who was that  
10 individual, now resides in Saudi Arabia, working for  
11 Aramco at the present time.

12 Q. Thank you, sir. I ask you, please, to  
13 refer to what we've marked as Exhibit 13 to this  
14 proceeding, and I'd ask you to describe what those are  
15 for the examiner.

16 A. What we have attempted to do here is to  
17 prepare some special rules for the Badland Hills-  
18 Gallup Oil Pool. And this particular set of special  
19 rules is drafted along the lines of, from what I  
20 understand, would be the general committee  
21 recommendations for the proposed basinwide Mancos Pool  
22 rules that they would have established in this area.

23 We've also examined the West Puerto  
24 Chiquito-Mancos Pool rules and the Gavilan-Mancos Pool  
25 rules and tried to incorporate some of the good things

1 that are in both of those.

2 Q. Let's run through these proposed rules very  
3 briefly, and I want to highlight a couple of items for  
4 the record, if I may.

5 First of all, I'd ask you to look at Rule  
6 No. 2. What does that proposed rule provide?

7 A. Rule No. 2 provides for 640-acre spacing.

8 Q. Based upon the evidence presented and the  
9 materials that you have reviewed, do you believe that  
10 640-acre spacing would be the appropriate spacing?

11 A. I do.

12 Q. Let's look, please, at Rule No. 4 on the  
13 second page of this draft and highlight for the  
14 examiner the location rules set forth.

15 A. Rule No. 4 calls for a regular location to  
16 be basically in the center of the section but no  
17 nearer than 990 feet to the outer boundary of the  
18 section of the proration unit, nor closer than 10 feet  
19 to the interior quarter-quarter section lines in that  
20 pool.

21 The ten-foot rule is in there so that we  
22 don't have problems with computer records as far as  
23 the location of wells.

24 Q. And it's your understanding that the  
25 990-foot location requirement was being discussed by



1 the committee; is that correct?

2 A. That's my understanding, yes.

3 Q. If the committee's recommendation  
4 ultimately is a location requirement other than 990  
5 feet and is more restrictive, would you ask that the  
6 location for the Badland Hills 15-1 Well be  
7 grandfathered to avoid the necessity of further  
8 proceedings to approve the location?

9 A. We would.

10 Q. Let's look, please, at Rule No. 6 on the  
11 third page. The examiner, I believe, earlier in the  
12 day asked about a special pool rule with an  
13 allowable. Does this rule address that?

14 A. Rule No. 6 makes an effort to assign an  
15 allowable to this particular pool. We chose 800  
16 barrels of oil per day and 2,000 GOR limitation for  
17 that particular pool.

18 It's my recollection that that matches the  
19 allowable for the Gavilan-Mancos Pool, but it is  
20 slightly less than what is provided for in the West  
21 Puerto Chiquito-Mancos Pool.

22 There is no standard depth bracket  
23 allowable, at least according to Rule 505, for wells  
24 at this depth for 640-acre spacing.

25 It's my understanding that 160-acre spacing

1 at this depth would be 347 barrels of oil per day, and  
2 you could take that times four, and you would have a  
3 value of something like 1,340 barrels of oil a day,  
4 which this is less than that amount.

5 Q. Let's look at proposed Rule No. 7, please,  
6 which addresses the vertical limits. And could you  
7 describe the proposed vertical limits of the Badland  
8 Hills-Gallup Pool?

9 A. Rule No. 7 was developed by examining the  
10 other pool rules in this general area. I believe it  
11 was the subject of discussion in some of the committee  
12 meetings and the geologists that are employed by Mobil  
13 were advised that this probably was one of the best  
14 ways to describe the particular section that we would  
15 have in this pool.

16 Q. And that is the Gallup member of the  
17 Mancos?

18 A. Correct.

19 Q. Let's look at proposed Rule No. 8. What  
20 does that proposed rule provide?

21 A. Rule No. 8 provides for the drilling of a  
22 second well in this particular -- in any particular  
23 proration unit, as long as it's not located in the  
24 same quarter section as the original well.

25 Q. What was the allowable for the section if a

1 second well is drilled?

2 A. These two wells would share the allowable  
3 that would be established for that particular  
4 proration unit.

5 Q. At this time, Mr. Eggerman, do you have  
6 anything further to highlight for the examiner?

7 A. I do not.

8 MR. PEARCE: Mr. Examiner, at this time I  
9 would move the admission of Mobil Exhibit No. 13 to  
10 this proceeding, and I would pass the witness for  
11 further questioning.

12 HEARING EXAMINER: Exhibit No. 13 will be  
13 admitted as evidence.

14 Questions? Mr. Kellahin?

15 CROSS-EXAMINATION

16 BY MR. KELLAHIN:

17 Q. Mr. Eggerman, again on Rule No. 8, what's  
18 the basis for the recommendation of a second well on  
19 the 640 spacing unit when the engineering proof is  
20 that one well is sufficient?

21 A. This would allow the operator the  
22 opportunity to drill a second well if they in fact  
23 were not able to encounter the fracturing in that  
24 particular location from the first well.

25 In other words, if you ended up with a well

1 that only made 20 barrels a day, this would provide  
2 you with an opportunity to drill a second well.

3 Q. What does the Section 15-1 well produce now  
4 on a daily basis? What's the general range of  
5 production?

6 A. I'm going to try to recall, and this is  
7 subject to check, but I believe that we filed  
8 yesterday a completion report that indicated that the  
9 well is capable -- it currently was testing somewhere  
10 around 80 to 100 barrels of oil a day. It still was  
11 making some water back, and we're hopeful that that  
12 will drop off and that the oil rate will increase.

13 Q. Refresh my memory; do the West Puerto  
14 Chiquito rules provide for a second well in the 640?

15 A. I am going to have to defer on that. I  
16 don't have all of those orders present, and I would  
17 have to examine those to see whether they allow for a  
18 second well in there.

19 MR. KELLAHIN: Thank you. No further  
20 questions.

21 CROSS-EXAMINATION

22 BY HEARING EXAMINER:

23 Q. Mr. Eggerman, are there any significant  
24 differences between these pool rules and the West  
25 Puerto Chiquito rules? Are the well locations the

1 same, the requirements?

2 A. I believe that the allowable in West Puerto  
3 Chiquito-Mancos is higher than this. It's my  
4 understanding it's 1,340. Set-back requirements for  
5 West Puerto Chiquito, I am not quite sure what that is  
6 at the present time. I would have to examine those  
7 orders.

8 MR. STOVALL: Mr. Examiner, just speaking  
9 for the Division, to get it into the record -- this,  
10 again, would be subject to check, but it's my  
11 understanding that the rules in that pool are for  
12 1,320 feet from the outer boundaries, but I'm not sure  
13 if that's across the pool or if that's on the border  
14 proration units.

15 I believe it's 1,320, but if none of  
16 counsel has any objection, I believe we can review  
17 those orders and take administrative notice of them as  
18 necessary.

19 MR. PEARCE: I think that's appropriate.

20 Q. (BY HEARING EXAMINER) Mr. Eggerman, is it  
21 your understanding that the 990 feet was a committee  
22 recommendation?

23 A. That's correct.

24 Q. Also the 10 feet interior setback. Do you  
25 know if there's topographical problems out there in

1 this area?

2 A. There certainly are in some parts. Are you  
3 referring to the area in general, not specifically to  
4 Section 15?

5 Q. Well, yes, to Section 15.

6 A. Section 15 has a state highway that  
7 intersects it on a diagonal. I guess you would call  
8 that a topographical consideration. I have had some  
9 discussions with members of the Commission, and it's  
10 my understanding that that's kind of a broad  
11 definition. When they say "topographical," that also  
12 means archeological considerations, as well as  
13 structural. And the road -- I'm not sure just exactly  
14 what you would call that, but it, I think, fits that  
15 general description.

16 MR. STOVALL: Mr. Examiner, let me ask just  
17 a couple of questions to clarify the record.

18 CROSS-EXAMINATION

19 BY MR. STOVALL:

20 Q. You have referred to committee  
21 recommendations. Would you identify what committee  
22 you were talking about?

23 A. The committee, and pardon me if I don't get  
24 the name correctly, but there was a committee formed  
25 to study basinwide Mancos Pool rules to establish

1 proper spacing for the Mancos formation in the  
2 northwest, or generally in the northwestern part of  
3 New Mexico, in the San Juan Basin.

4 Q. Specifically looking at the fractured  
5 Mancos structure; is that correct?

6 A. That's correct.

7 Q. To the best of your knowledge, has there  
8 been any official action taken on those rules? Has  
9 there been a hearing on those or anything that you  
10 know of?

11 A. There has not been.

12 Q. Did you participate, or have you  
13 participated, or has your company participate in that  
14 committee work?

15 A. Our company has participated in that work.

16 Q. And you are then familiar with that through  
17 your company's participation? You've had the  
18 opportunity to review it so that you have some  
19 personal knowledge that your proposals here are  
20 consistent with those?

21 A. I have.

22 HEARING EXAMINER: That's all the questions  
23 I have of the witness.

24 Mr. Pearce, is it your request that these  
25 pools be permanent pools?

1                   MR. PEARCE: Mr. Examiner, I discussed this  
2 matter with my client. I don't think we feel  
3 strongly. Certainly, if the Division prefers to have  
4 a two-year limited effectiveness of these rules, we  
5 certainly don't object to that. Whether or not the  
6 pool will grow, I do not know at this time.

7                   We are confident that, if it remains a  
8 one-well pool, that there is not any particular  
9 jeopardy in making the rules permanent at this time,  
10 but I suppose we don't know whether or not that will  
11 occur.

12                  MR. STOVALL: Mr. Examiner, in response to  
13 that along that line, I would like to recall the  
14 geological witness to just ask him a couple of  
15 questions, if you don't mind.

16                  MR. PEARCE: That's fine.

17                  MR. STOVALL: And, I'm sorry, I forget his  
18 name, but if you could --

19                  MR. PEARCE: Cruncleton.

20                  MR. STOVALL: I'll remind you just for the  
21 record that you are still under oath.

22                               LARRY CRUNCLETON,  
23 the witness herein, after having been previously  
24 called as a witness, examination and testimony  
25 continued as follows:



## FURTHER EXAMINATION

1  
2 BY MR. STOVALL:

3 Q. I believe you testified that the Mobil well  
4 in Section 15 is not in fracture communication with  
5 wells in Section 2 and 3 or any of the other West  
6 Puerto Chiquito-Mancos wells; is that correct?

7 A. I would say we cannot tell from geological  
8 or geophysical evidence whether it's in communication  
9 or not.

10 Q. Are you fairly familiar with the fractured  
11 Mancos formation out there? And I'm not a geologist,  
12 so pardon me if my terminology is off, but with the  
13 nature of the fractured structure out in that area?

14 A. In this particular area, yes.

15 Q. Is there a reasonable possibility that if,  
16 for example, a second well were drilled in Section 15,  
17 say in the east half somewhere, that it might possibly  
18 tap into a fracture network that extended two or three  
19 sections to the north?

20 A. That's possible.

21 Q. And, similarly, could a well perhaps be  
22 drilled in Section 10 which could create a fracture  
23 communication either to the north or to the south or  
24 both?

25 A. That's possible too.

1           Q.       If that were so, would that, in your  
2   opinion, indicate that perhaps there was a common  
3   reservoir in the sense that there was fracture  
4   communication along there? You just happened to not  
5   hit it with the 15 well?

6           A.       Could you restate that question again?

7           Q.       I'll try. I'll restate it by prefacing  
8   with a comment that perhaps due to the nature of the  
9   fractures in that area, it is possible that there is  
10  in fact fracture communication from, say, Sections 2  
11  and 3 or even further north into the West Puerto  
12  Chiquito-Mancos to the south, and that the Mobil well  
13  has not hit that fracture system, and, therefore, that  
14  particular well doesn't show any signs of being in  
15  communication, but in fact the proration unit might  
16  be?

17          A.       That's possible.

18          Q.       Do you anticipate additional exploration in  
19  that area?

20          A.       At this time, yes.

21          Q.       If additional exploration indicated that  
22  there was a fracture system extending and bringing the  
23  West Puerto Chiquito-Mancos area, or what you're  
24  calling the Schmitz Anticline area into communication  
25  with, say, with Section 15, would Mobil reconsider its

1 thinking as to whether it should be a separate pool or  
2 whether it should become part of the West Puerto  
3 Chiquito-Mancos Pool?

4 A. I don't know if I can answer that question  
5 at this time.

6 Q. The reason I'm asking that question is I'm  
7 thinking in terms of whether the rules should be  
8 permanent or temporary. And speaking for myself and  
9 just off the top, it would appear that perhaps  
10 temporary rules might give us the time to make that  
11 determination. Would you agree?

12 A. Yes.

13 MR. STOVALL: I have no further questions.

14 MR. PEARCE: I would like to revisit the  
15 subject with the witness, if I may, Mr. Examiner.

16 HEARING EXAMINER: Yes, sir.

17 FURTHER EXAMINATION

18 BY MR. PEARCE:

19 Q. Mr. Cruncleton, we've had some questioning  
20 about fracture communication between the 15-1 well and  
21 wells to the north. Do you find geological evidence  
22 that those wells are in communication?

23 A. We have no direct geological or geophysical  
24 evidence that it is in communication with that.

25 MR. PEARCE: I think that's all. Thank

1 you.

2 HEARING EXAMINER: Mr. Pearce, can I get  
3 Ray Jones back on the stand for a couple of minutes?

4 MR. PEARCE: Certainly.

5 RAY JONES,  
6 the witness herein, after having been previously  
7 called as a witness, examination and testimony  
8 continued as follows:

9 FURTHER EXAMINATION

10 BY HEARING EXAMINER:

11 Q. Mr. Jones, your assumption that the  
12 Badlands well will drain 640 acres is solely based at  
13 this time on an analogy to the wells to the north; is  
14 that correct?

15 A. That is correct.

16 Q. We have no evidence at this point on  
17 actually what that well will drain? We don't have any  
18 production data or other evidence?

19 A. That is correct. We have analogy from  
20 wells to the north and from evaluations of the fields  
21 to the north. And the information of the Schmitz  
22 Anticline is consistent with other information in the  
23 area that we have.

24 Q. Do you feel that the reservoir properties  
25 are that similar between the two areas that you can

1 make that analogy?

2 A. Yes, within the local variations of the  
3 Mancos, I do.

4 HEARING EXAMINER: That's all I have.

5 MR. PEARCE: Nothing further.

6 HEARING EXAMINER: Mr. Emmons, I believe  
7 you want to make a statement?

8 MR. EMMONS: Amoco Production Company has  
9 reviewed the exhibits, the application, and testimony  
10 presented by Mobil, and specifically the engineering  
11 testimony. We think it clearly supports that a  
12 separate pool should be established. Therefore, Amoco  
13 recommends, agrees with, and supports Mobil's  
14 application.

15 HEARING EXAMINER: Is there anything  
16 further in this case?

17 Case 9789 will be taken under advisement.

18

19

20

21

22

23

24

25

## 1 CERTIFICATE OF REPORTER

2

3 STATE OF NEW MEXICO )  
4 ) ss.  
5 COUNTY OF SANTA FE )

6

7 I, Deborah O'Bine, Certified Shorthand  
8 Reporter and Notary Public, HEREBY CERTIFY that the  
9 foregoing transcript of proceedings before the Oil  
10 Conservation Division was reported by me; that I  
11 caused my notes to be transcribed under my personal  
12 supervision; and that the foregoing is a true and  
13 accurate record of the proceedings.

14 I FURTHER CERTIFY that I am not a relative  
15 or employee of any of the parties or attorneys  
16 involved in this matter and that I have no personal  
17 interest in the final disposition of this matter.

18 WITNESS MY HAND AND SEAL November 25, 1989.

19

*Deborah O'Bine*  
DEBORAH O'BINE  
CSR No. 127

20

21

22 My commission expires: August 10, 1990

23

24

25

I do hereby certify that the foregoing is  
a complete record of the proceedings in  
the Examiner hearing of Case No. 9789  
heard by me on November 15 1989.

*David R. Catam*, Examiner  
Oil Conservation Division

1                   STATE OF NEW MEXICO  
2       ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
3                   OIL CONSERVATION DIVISION

4

5

6

7

## EXAMINER HEARING

8

9   IN THE MATTER OF:

10

11

12

13

Application of Mobil Producing       Case 9789  
Texas and New Mexico, Inc.,  
for pool creation and special  
pool rules, or in the alternative  
for pool expansion, Rio Arriba  
County, New Mexico.

14

15

16

17

## TRANSCRIPT OF PROCEEDINGS

18

19   BEFORE:   MICHAEL E. STOGNER, EXAMINER

20

21

STATE LAND OFFICE BUILDING

22

SANTA FE, NEW MEXICO

23

October 18, 1989

24

25

**ORIGINAL**

1

2                   HEARING EXAMINER: Next I'll call Case No.  
3 9789, which is the application of Mobil Producing  
4 Texas and New Mexico, Inc., for pool creation and  
5 special pool rules, or in the alternative for pool  
6 expansion. This is in Rio Arriba County, New Mexico.

7                   At the Applicant's request, this case will  
8 be continued to the examiner's hearing scheduled for  
9 November 1, 1989.

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25



CERTIFICATE OF REPORTER

1

2

3 STATE OF NEW MEXICO )  
 ) ss.  
 4 COUNTY OF SANTA FE )

5

6 I, Deborah O'Bine, Certified Shorthand  
 7 Reporter and Notary Public, HEREBY CERTIFY that the  
 8 foregoing transcript of proceedings before the Oil  
 9 Conservation Division was reported by me; that I  
 10 caused my notes to be transcribed under my personal  
 11 supervision; and that the foregoing is a true and  
 12 accurate record of the proceedings.

13 I FURTHER CERTIFY that I am not a relative  
 14 or employee of any of the parties or attorneys  
 15 involved in this matter and that I have no personal  
 16 interest in the final disposition of this matter.

17 WITNESS MY HAND AND SEAL November 13, 1989.

18

*Deborah O'Bine*

19

DEBORAH O'BINE  
 CSR No. 127

20

21 My commission expires: August 10, 1990

22

23

24

25

I do hereby certify that the foregoing is  
 a correct record of the proceedings in  
 the Examiner hearing of Case No. 9789,  
 heard by me on 18 October 1989.

*Michael E. Hogan*, Examiner  
 Oil Conservation Division

1 STATE OF NEW MEXICO  
2 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
3 OIL CONSERVATION DIVISION  
4  
5  
6

7 EXAMINER HEARING  
8

9 IN THE MATTER OF:  
10  
11

12 Application of Mobile Producing Case 9789  
13 Texas and New Mexico, Inc., for  
14 pool creation and special pool  
15 rules, or in the alternative, for pool  
16 extension, Rio Arriba County, New Mexico.  
17  
18

19 TRANSCRIPT OF PROCEEDINGS  
20

21 BEFORE: VICTOR T. LYON, EXAMINER  
22

23 STATE LAND OFFICE BUILDING

24 SANTA FE, NEW MEXICO

25 November 1, 1989

CUMBRE COURT REPORTING  
(505) 984-2244

**ORIGINAL**

1 HEARING EXAMINER: Next called case, 9789.

2 MR. STOVALL: Application of Mobile  
3 Producing Texas and New Mexico, Inc., for pool  
4 creation and special pool rules, or in the  
5 alternative, for pool extension, Rio Arriba County,  
6 New Mexico.

7 Applicant requests this case be continued  
8 to November 15, 1989.

9 HEARING EXAMINER: Case 9789 is hereby  
10 continued to the Examiner Hearing to be held  
11 November 15, 1989.

12  
13  
14  
15  
16 I do hereby certify that the foregoing is  
17 a complete record of the proceedings in  
18 the Examiner hearing of Case No. 9789,  
heard by me on November 1 1989:

19 W. S. Lyon, Examiner  
20 Oil Conservation Division  
21  
22  
23  
24  
25


## 1 CERTIFICATE OF REPORTER

2  
3 STATE OF NEW MEXICO )  
4 ) ss.  
5 COUNTY OF SANTA FE )

6 I, Diana Abeyta, Certified Shorthand  
7 Reporter and Notary Public, HEREBY CERTIFY that the  
8 foregoing transcript of proceedings before the Oil  
9 Conservation Division was reported by me; that I  
10 caused my notes to be transcribed under my personal  
11 supervision; and that the foregoing is a true and  
12 accurate record of the proceedings.

13 I FURTHER CERTIFY that I am not a relative  
14 or employee of any of the parties or attorneys  
15 involved in this matter and that I have no personal  
16 interest in the final disposition of this matter.

17  
18 WITNESS MY HAND AND SEAL January 3, 1990.

19  
20  
21   
22 DIANA ABEYTA  
CSR No. 267

23 My commission expires: May 7, 1993  
24  
25