

1 STATE OF NEW MEXICO
2 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
3 OIL CONSERVATION DIVISION
4 CASE 9830

5
6 EXAMINER HEARING

7
8 IN THE MATTER OF:

9
10 Application of Strata Production Company
11 for a Horizontal Directional Drilling
12 Pilot Project and Special Operating Rules
13 Therefore, Eddy County, New Mexico

14
15
16 TRANSCRIPT OF PROCEEDINGS

17
18 BEFORE: MICHAEL E. STOGNER, EXAMINER

19
20 STATE LAND OFFICE BUILDING

21 SANTA FE, NEW MEXICO

22 November 29, 1989

23

24

25

ORIGINAL

A P P E A R A N C E S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

FOR THE DIVISION:

ROBERT G. STOVALL
Attorney at Law
Legal Counsel to the Divison
State Land Office Building
Santa Fe, New Mexico

FOR THE APPLICANT:

No Appearance

I N D E X

1		
2		Page Number
3	Appearances	2
4	Certificate of Reporter	5
5		
6		
7		
8		
9		
10		
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1 HEARING EXAMINER: Call next case, Number
2 9830.

3 MR. STOVALL: Application of Strata
4 Production Company for a horizontal directional
5 drilling pilot project and special operating rules
6 therefore, Eddy County, New Mexico.

7 Applicant requests this case be continued
8 to December 13, 1989.

9 HEARING EXAMINER: Case Number 9830 will be
10 so continued.

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

CERTIFICATE OF REPORTER


1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Carla Diane Rodriguez Certified
Shorthand Reporter and Notary Public, HEREBY CERTIFY
that the foregoing transcript of proceedings before
the Oil Conservation Division was reported by me; that
I caused my notes to be transcribed under my personal
supervision; and that the foregoing is a true and
accurate record of the proceedings.


I FURTHER CERTIFY that I am not a relative
or employee of any of the parties or attorneys
involved in this matter and that I have no personal
interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL December 3, 1989.


CARLA DIANE RODRIGUEZ
CSR No. 91

My commission expires: May 25, 1991

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiners hearing of Case No. 930,
heard by me on 29 November 1989.

, Examiner
Oil Conservation Division

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

EXAMINER HEARING

IN THE MATTER OF:

Application of Strata Production Case 9830
Company for an unorthodox gas
well location, horizontal
directional drilling pilot project
and special operating rules
therefor, Eddy County, New Mexico.

TRANSCRIPT OF PROCEEDINGS

BEFORE: DAVID R. CATANACH, EXAMINER

STATE LAND OFFICE BUILDING

SANTA FE, NEW MEXICO

December 13, 1989

ORIGINAL

CUMBRE COURT REPORTING
(505) 984-2244

A P P E A R A N C E S

FOR THE DIVISION:

ROBERT G. STOVALL
Attorney at Law
Legal Counsel to the Divison
State Land Office Building
Santa Fe, New Mexico

FOR THE APPLICANT:

MODRALL, SPERLING, ROEHL HARRIS
& SISK
Attorneys at Law
500 Fourth Street, N.W.
Albuquerque, New Mexico 87103
BY: SEALY H. CAVIN, JR.

I N D E X

	Page Number
Appearances	2
DAN LEONARD	
Direct Examination by Mr. Cavin	4
Cross-Examination by Hearing Examiner	9
JOHN BYERS	
Direct Examination by Mr. Cavin	10
Cross-Examination by Hearing Examiner	18
GEORGE SCOTT	
Direct Examination by Mr. Cavin	22
Cross-Examination by Hearing Examiner	24
Certificate of Reporter	27

E X H I B I T S

Exhibit No. 1	6
Exhibit No. 2	7
Exhibit No. 3	8
Exhibit No. 4	8
Exhibit No. 5	14
Exhibit No. 6	15

1 HEARING EXAMINER: At this time we'll call
2 Case 9830.

3 MR. STOVALL: Application of Strata
4 Production Company for an unorthodox gas well
5 location, horizontal directional drilling pilot
6 project and special operating rules therefor, Eddy
7 County, New Mexico.

8 HEARING EXAMINER: Are there appearances in
9 this case?

10 MR. CAVIN: Mr. Examiner, my name is Sealy
11 Cavin. I'm an attorney with the Modrall law firm in
12 Albuquerque. I represent Strata Production Company,
13 and I intend to call three witnesses today.

14 HEARING EXAMINER: Are there any other
15 appearances?

16 Will the witnesses please stand to be sworn
17 in?

18 (Witnesses sworn.)

19 MR. CAVIN: Mr. Examiner, our first witness
20 will be Dan Leonard.

21 DAN LEONARD,
22 the witness herein, after having been first duly sworn
23 upon his oath, was examined and testified as follows:

24 DIRECT EXAMINATION

25 BY MR. CAVIN:

1 Q. Mr. Leonard, would you please state your
2 name, address, employer, and occupation?

3 A. My name is Dan Leonard. I'm involved with
4 an independent oil and gas exploration company in
5 Midland, Texas, called Leonard Resource Investment
6 Corporation. I'm a landman by background.

7 Q. Have you previously testified before the
8 Division as a landman?

9 A. I have.

10 Q. Have your qualifications as a landman been
11 made a matter of record with the Division?

12 A. Yes.

13 MR. CAVIN: Mr. Examiner, are Mr. Leonard's
14 qualifications as a landman acceptable?

15 HEARING EXAMINER: They are.

16 Q. (BY MR. CAVIN) Mr. Leonard, would you
17 please state the purpose of your application in this
18 matter.

19 A. Yes. Strata Production Company is seeking
20 authority to drill a horizontal hole in the Bone
21 Springs formation as an unorthodox location for gas,
22 460 feet from the south line, and 1,780 feet from the
23 east line of Section 18, Township 26 South, Range 25
24 East, Eddy County, New Mexico.

25 Q. Mr. Leonard, I would refer you to Exhibit

1 1. Would you please describe Exhibit 1.

2 A. Exhibit 1 is a land plat that exhibits the
3 control well of our prospect, a well that was drilled
4 by Florida Exploration some years ago, the proposed
5 location for our horizontal hole just east of it, and
6 the offset operators, the acreage surrounding that
7 location.

8 Q. So the Florida well is located in the
9 southwest quarter of Section 18 that's indicated by an
10 arrow there?

11 A. Yes, the southeast quarter of the southwest
12 quarter of Section 18.

13 Q. And your proposed location is located in
14 the southwest quarter of the southeast quarter of
15 Section 18?

16 A. That's correct.

17 Q. Can you identify the offset operators to
18 your proposed location?

19 A. South of the proposed location is Federal
20 Lease 39125. That lease is owned by Leonard Resource
21 Investment Corporation, Strata Production Company, and
22 several other partners. That is also true of the
23 lease that is due west of the location on the
24 southwest quarter of Section 18. That's also owned by
25 Leonard Resources, Strata, and several other

1 partners.

2 The lease that we're proposing to drill on
3 is a lease that we have farmed in from Amerada Hess
4 and Bonneville Fuels Corporation. And the lease just
5 due east of that in the southwest quarter of Section
6 17 is a lease that is owned by El Paso Natural Gas
7 Corporation.

8 Q. Next, Exhibit 2, Mr. Leonard, which I'll
9 refer you to, did you compile the document, or did you
10 request the correspondence from the BLM, Exhibit 2?

11 A. I did.

12 Q. Can you explain what Exhibit 2 provides
13 for?

14 A. Yes. Exhibit 2 is a letter to the Oil
15 Conservation Division from the BLM, confirming the
16 identification of an archeological site at our
17 originally proposed location, which is 660 feet from
18 the south and west lines of -- well, it's 1,980 feet
19 from the east line and 660 feet from the south line of
20 Section 18.

21 The identification of that archeological
22 site at that proposed location has required this move
23 to an unorthodox location 200 feet south and east of
24 that originally proposed location.

25 Q. So you originally proposed an orthodox

1 surface location, but you were required to change that
2 location because of the archeological conditions?

3 A. That is correct.

4 Q. Mr. Leonard, is the BLM aware that this
5 hearing is being held today?

6 A. Yes, they are.

7 Q. Did you invite them to attend?

8 A. We did, and I thought they were going to
9 come, but they were unable to make it.

10 Q. Next, Mr. Leonard, I would refer you to
11 Exhibit 3. Would you please describe Exhibit 3 for
12 us?

13 A. Exhibit 3 is the formal application by
14 Strata Production Company for the horizontal well
15 pilot project and for the unorthodox location.

16 Q. Could you tell me if the offset operators
17 of the proposed well have been notified?

18 A. Yes, they have.

19 Q. Mr. Leonard, I refer you to Exhibit 4.
20 Would you please describe Exhibit 4?

21 A. Exhibit 4 is the sundry notice amending the
22 surface location for the horizontal hole we propose to
23 drill to 1,780 feet from the east line and 460 feet
24 from the south line of Section 18.

25 Q. Mr. Leonard, were Exhibits 1 through 4

1 prepared by you or under your supervision or
2 direction?

3 A. Yes.

4 MR. CAVIN: Mr. Examiner, I move the
5 admission of Exhibits 1 through 4.

6 HEARING EXAMINER: Exhibits 1 through 4
7 will be admitted as evidence.

8 MR. CAVIN: I have no further questions of
9 Mr. Leonard at this time.

10 CROSS-EXAMINATION

11 BY HEARING EXAMINER:

12 Q. Mr. Leonard, exactly who was notified again
13 of this application?

14 A. The offset operators, Amerada Hess and
15 Bonneville Fuels Corporation and El Paso Natural Gas,
16 who owns that lease due east of the drill site in the
17 southwest quarter of Section 17. The acreage south
18 and west that is colored yellow on that plat is owned
19 by Strata and its partners.

20 Q. The original location was 1980 from the
21 east?

22 A. Yes, sir, and 660 from the south.

23 Q. Mr. Leonard, is the unorthodox location a
24 factor in the proposed horizontal well? Could you
25 have drilled at another standard location in the

1 southeast quarter?

2 MR. CAVIN: Mr. Examiner, I would like to
3 defer those questions to the engineer or the geologist
4 we'll be calling, if that's acceptable, because there
5 are geologic and engineering reasons for the proposed
6 location in addition to the archeological reasons.

7 HEARING EXAMINER: Okay. In that case, I
8 have no further questions of the witness. He may be
9 excused.

10 MR. CAVIN: Mr. Examiner, the next witness
11 is John Byers.

12 JOHN C. BYERS,
13 the witness herein, after having been first duly sworn
14 upon his oath, was examined and testified as follows:

15 DIRECT EXAMINATION

16 BY MR. CAVIN:

17 Q. Mr. Byers, would you please state your
18 name, address, occupation, and employer for the
19 Division, please.

20 A. John C. Byers. My residence is Lubbock,
21 Texas. I operate a petroleum consulting firm. We're
22 petroleum engineers.

23 Q. Mr. Byers, have you previously testified
24 before the Division in your capacity as a petroleum
25 engineer?

1 A. I have.

2 Q. Have your qualifications as a petroleum
3 engineer been made a matter of record with the
4 Division?

5 A. Yes.

6 MR. CAVIN: Mr. Examiner, are Mr. Byers'
7 qualifications as a petroleum engineer acceptable?

8 HEARING EXAMINER: Yes, sir.

9 Q. (BY MR. CAVIN) Mr. Byers, are you familiar
10 with the application in this case, 9830?

11 A. Yes.

12 Q. Have you prepared exhibits in connection
13 with this application?

14 A. Yes, we have.

15 Q. Mr. Byers, I would like to ask you some
16 questions regarding the proposed operations on the
17 Yeso Hills Federal No. 1 well --

18 A. Yes.

19 Q. -- before we go into the exhibits. First,
20 could you explain the drilling and evaluation
21 operations and procedures which you propose?

22 A. We propose drilling a vertical hole through
23 the Bone Springs section to an approximate total depth
24 of 4,900 feet in order to evaluate the reservoir
25 conditions in the Bone Springs. Assuming that they

1 are found to be what we expect or have indications
2 from the Florida Exploration well, which is
3 immediately to the west, then we propose to plug that
4 well back to approximately 4675, then back off to a
5 kick-off point and drill a directional hole with an
6 approximate 300-foot radius, hopefully in a
7 northeasterly direction.

8 The northeasterly direction is selected
9 because, in our best estimate, which will be covered
10 later, at this point the principal fracture pattern is
11 in the Bone Springs if this area should extend in a
12 northwest-southeast direction.

13 The purpose of this horizontal hole is to
14 encounter as many of the fractured zones as we can in
15 order to increase the productivity of the reservoir
16 from that standpoint.

17 The Florida Exploration well had an
18 indicated production from this area of approximately
19 500 Mcf per day, along with some small amount of
20 water. We think at that rate of production, a gas
21 well in this area would be a noncommercial venture.
22 We think with the drilling of the horizontal hole
23 through the Bone Springs and encountering the same
24 rock that Florida did, that we might well expect the
25 productivity of this well to be enhanced by as much as

1 five to tenfold.

2 Q. So, Mr. Byers, let me make sure I
3 understand. The reason you are proposing an
4 unorthodox surface location is twofold: one, so that
5 you can be located closer to the Florida well;
6 secondly, so you can intersect the fractures as you
7 believe they run?

8 A. If the location were moved to inside of a
9 normal gas proration unit for 160 acres, then the
10 availability of length of lateral that we might drill
11 will be reduced substantially.

12 At the unorthodox location, with a 300-foot
13 rate of curvature from the vertical to the horizontal,
14 the straight uncased or producing portion of the
15 borehole will all be located within the standard
16 proration dimensions.

17 Q. Could you please explain the completion and
18 production operations and procedures which you're
19 proposing for this well?

20 A. The well would be drilled, present plans,
21 at 9-5/8 intermediate surface casing. Drilled
22 vertically and plugged back, kick off the curved
23 portion of the hole.

24 After the curved portion of the hole is
25 drilled to the horizontal position, that portion of

1 the hole will be cased with 7-inch. Drill out of the
2 7-inch with 6-1/8 bit to the terminus of the lateral
3 hole.

4 Q. Mr. Byers, I now refer you to Exhibit 5.
5 Would you please describe Exhibit 5?

6 A. Exhibit 5 is a schematic. On the right
7 side is a plat covering the southeast quarter of
8 Section 18, Township 26 South, Range 25 East. It
9 shows the proposed location of the Strata No. 1 Yeso
10 Hills; also its relationship to the Florida
11 Exploration well.

12 What we have depicted as a target area is
13 the center 40 acres within that 160-acre southeast
14 quarter of the section. Therefore, in order to be a
15 legal location, the horizontal portion of the borehole
16 must be confined within that.

17 This also shows the directions that are
18 available to us to drill that well, as well as the
19 lengths that we might be able to drill and still
20 remain legal.

21 That gives us a variable in the event that
22 the fracture pattern is not found to be in a general
23 northwest-southeasterly direction. That gives us some
24 other options in there.

25 On the left is simply an isometric

1 schematic of the target area and the methods through
2 which we hope to encounter fractures in this
3 reservoir.

4 Q. Mr. Byers, I now refer you to Exhibit 6 and
5 ask you to give a description of Exhibit 6.

6 A. What is Exhibit 6? Oh. Exhibit 6 is a
7 dual lateral log, micro SFL Schlumberger survey of the
8 Florida exploration, Inexco Federal No. 1 well,
9 drilled as a wildcat to the Morrow and later plugged
10 back and tested in the Bone Springs at a location 330
11 feet from the south and east lines of the southwest
12 quarter of Section 18, approximately 1,100 feet west
13 of our proposed location.

14 Q. Mr. Byers, from a technical standpoint, why
15 do you believe a horizontal well is warranted in this
16 case?

17 A. We have evidence and sound expectations
18 that the Bone Springs section is a fractured
19 reservoir. It also is composed of a very tight
20 matrix, I think, as exhibited by attempted completion
21 by Florida Exploration, offering limited possibility
22 for production.

23 Having the expectation of a fractured or
24 joint reservoir, and assuming that those joints, in
25 general, offer infinite flow capacity, we can avail

1 ourselves of the flow capacity of those and the
2 capacity of the gas to move from the interstitial
3 spaces of the matrix into the fractures and therefore
4 expect higher productivity and a larger drainage area.

5 Q. Mr. Byers, from an economic standpoint,
6 could you explain why you believe a horizontal well is
7 warranted?

8 A. A conventional well drilled at this
9 location with the expectation of initial productivity
10 in the vicinity of 500 Mcf per day would be a
11 noncommercial well. If we can enhance that rate of
12 production by five to tenfold, then we shorten the
13 life. We do not enhance the recovery or the amount of
14 gas there. We enhance the amount of the gas that we
15 can get out. Therefore, it becomes a commercial
16 venture.

17 Q. So is it your opinion that a horizontal
18 well in this case will prevent both actual and
19 economic waste?

20 A. It will conserve our natural resources in
21 that it will avail those resources to us which
22 otherwise would not be.

23 Q. In your opinion, would a vertical well be
24 economic based on today's markets?

25 A. No.

1 Q. Technology?

2 A. No.

3 Q. Mr. Byers, in your opinion, will the
4 correlative rights of any offset operators be impaired
5 in any way?

6 A. No. This is a pilot project. The
7 production from that pilot project will be confined
8 within the standard proration unit of 160 acres for a
9 gas well. In all probability, if successful, the
10 entire additional reservoir will be developed
11 similarly.

12 Q. So it's your opinion, Mr. Byers, that the
13 drilling of this well will be in the best interest of
14 the conservation, protection of correlative rights,
15 and prevention of waste?

16 A. Yes.

17 Q. Mr. Byers, were Exhibits 5 and 6 prepared
18 by you or under your supervision or direction?

19 A. Exhibit 5 was. Exhibit 6 was not.

20 MR. CAVIN: Mr. Examiner, I move that
21 Exhibit 5 be admitted at this time.

22 HEARING EXAMINER: Exhibit 5 will be
23 admitted at this time.

24 MR. CAVIN: I have no further questions of
25 Mr. Buyer.

CROSS-EXAMINATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY HEARING EXAMINER:

Q. Mr. Byers, you've noted or you've stated that you expect a five to tenfold increase in production. Is that over a conventional vertical well?

A. Yes, it is.

Q. What's that based on?

A. We can -- as you are aware, the productivity of a well is a direct function of the permeability and section encountered or opened in the borehole, referred to -- we might refer to it as permeable feet or millidarcy feet. If we double that, we should double production. If we triple it, we should triple production.

In this case, if the productivity of the Florida Inexco well was indicated to be approximately half a million feet per day, that well had to be in the vicinity of some fracture because, as we see the matrix at this time, it could not produce that much. Therefore, that one fracture must have produced a half a million feet per day. So if we can encounter five to ten fractures with a horizontal hole, then our productivity should be proportionately increased.

Q. That five to ten times figure, does that

1 represent five to ten times more reserves will be
2 recovered?

3 A. More reserves will be recovered, not that
4 there is more gas in the reservoir, but we can recover
5 that much more economically.

6 Q. So will your horizontal well be draining a
7 larger area than a conventional vertical well?

8 A. Under the conditions of this particular
9 rock, yes. Now, if the rock were highly permeable and
10 porous, no, it would not.

11 Q. So just due to the fractures?

12 A. Due to the fracture, due to the tight
13 nature of the rock.

14 Q. How will the direction of the horizontal
15 portion of the wellbore be determined?

16 A. We'll monitor the direction, inclination,
17 and attitude of that hole with MWD tools while
18 drilling. They're downhole tools. The only portion
19 of the hole we will not be sure of, our MWD tools will
20 be positioned approximately 60 feet behind the bit.
21 So we will know the whole story of the hole with the
22 exception of that last 60 feet.

23 Q. I'm sorry. I must have not made that
24 clear. How will you determine which direction that
25 hole will be drilled horizontally?

1 A. We plan to core, run dip meter, and also
2 other sophisticated logs in the vertical portion of
3 this hole in order to attempt to determine the
4 orientation of those fractures. If that information
5 is not positive, then we will have to assume that our
6 initial determination that the fracture system was
7 probably in a northwest-southeast direction is
8 correct.

9 The hole will be drilled -- the lateral
10 hole will be drilled in such a manner that we will
11 know each time we cross a fracture. Therefore, we can
12 determine the frequency that we do that. Then, using
13 geometry, that can help us give a more positive
14 orientation to this fracture system for future
15 development.

16 Q. In a situation like this, is it best for
17 the wellbore to encounter the fractures perpendicular?

18 A. Yes.

19 Q. So you won't know how long the horizontal
20 section will be until you know the direction?

21 A. No. At this time I anticipate a lateral
22 extension of approximately 1,200 to 1,500 feet is what
23 I would like to have at this point.

24 Q. But you still propose that it be -- the
25 terminus of the hole be at a distance 660 feet from

1 the proration unit?

2 A. Yes. Also we should add that even in the
3 event that even the most easterly direction of a
4 lateral hole that we anticipate in this is drilled,
5 then the origin of that horizontal hole will also be
6 within 660 feet of the lease lines.

7 Q. Is that, in fact, going to be a 90-degree
8 angle for vertical?

9 A. Yes, approximately.

10 Q. Approximately? Do you have any other
11 evidence regarding the construction of the well
12 besides what you've testified to?

13 A. No. You mean casing patterns and such as
14 that?

15 Q. Casing and setting depths, sizes?

16 A. The horizontal tools are developing too
17 rapidly now. Right now I'm anticipating 6-1/8
18 drill-out tools, which will require 7-5/8 inch casing
19 through the bent portion of the hole.

20 Q. Through the what?

21 A. Through the bent portion. Beyond that we
22 will drill 6-1/8. And depending on the competency of
23 the formation, we can determine from that. At that
24 point we will decide whether to run 4-1/2 inch slotted
25 liner in that section or leave it open hole.

1 Tubing equipment, wellhead, and all that is
2 conventional, with the tubing seat impacter, which
3 will be set above the curved portion.

4 Q. Can I get you to actually submit a detailed
5 description of the well diagram and the drilling
6 operations?

7 A. Yes.

8 HEARING EXAMINER: I believe that's all the
9 questions I have of this witness at this time.

10 MR. CAVIN: Mr. Examiner, our final witness
11 is George Scott.

12 GEORGE L. SCOTT, JR.,
13 The witness herein, after having been first duly sworn
14 upon his oath, was examined and testified as follows:

15 DIRECT EXAMINATION

16 BY MR. CAVIN:

17 Q. Mr. Scott, would you please state your
18 name, address, occupation, and employer, please.

19 A. George L. Scott, Jr., Suite 648, Petroleum
20 Building, Roswell, New Mexico, geologist and president
21 of Strata Production Company.

22 Q. Mr. Scott, have you previously testified
23 before the Division in your capacity as a geologist?

24 A. Yes, I have.

25 Q. Have your qualifications as a geologist

1 been made a matter of record with the Division?

2 A. Yes, they have.

3 MR. CAVIN: Mr. Examiner, are Mr. Scott's
4 qualifications as a geologist acceptable?

5 HEARING EXAMINER: They are.

6 Q. (BY MR. CAVIN) Mr. Scott, first, are you
7 familiar with the application in this case, No. 9830,
8 and with Exhibits 1 through 6 which have been
9 presented?

10 A. Yes.

11 Q. Can you explain why the unorthodox surface
12 location proposed is necessary and appropriate in this
13 case from a geological standpoint?

14 A. This well needs to be located near the
15 chief control well, the Florida Exploration well, in
16 order to minimize the geological risk. Also, this
17 would be the optimal location for drilling
18 perpendicular to the main fracture direction and still
19 bottom the hole at a legal distance from the edge of
20 the proration unit.

21 Q. Mr. Scott, is it your opinion if this
22 application is granted, it will result in the
23 prevention of waste and the protection of correlative
24 rights?

25 A. Yes.

1 Q. Mr. Scott, was Exhibit 6 prepared or
2 compiled by you or at your direction?

3 A. Yes, it was.

4 MR. CAVIN: Mr. Examiner, I move that
5 Exhibit 6 be admitted.

6 HEARING EXAMINER: Exhibit 6 will be
7 admitted as evidence.

8 MR. CAVIN: Mr. Examiner, I have no further
9 questions for Mr. Scott at this time.

10 CROSS-EXAMINATION

11 BY HEARING EXAMINER:

12 Q. Mr. Scott, approximately how thick is the
13 Bone Springs in this area?

14 A. The total Bone Springs formation, without
15 doing some checking, I couldn't give you a precise
16 answer, but I would estimate about 2,000 feet thick,
17 the entire Bone Springs. We're dealing here with a
18 portion of the Bone Springs that is in the upper part
19 of it. And this particular interval is about -- it
20 varies from 150 to 250 feet thick, depending on where
21 you are.

22 Q. Mr. Scott, besides the Florida Exploration
23 well, is there any other Bone Springs production in
24 this area?

25 A. No, not in this general area.

1 Q. Did the Florida well actually produce?

2 A. It was not completed as a formal gas well,
3 but it produced gas during the extended testing
4 period.

5 Q. So a Bone Springs pool was never created,
6 to your knowledge?

7 A. That's my understanding.

8 Q. So you're in effect drilling a wildcat?

9 A. Yes, yes.

10 HEARING EXAMINER: I guess that's all the
11 questions we have at this time. The witness may be
12 excused.

13 Does that conclude your presentation, Mr.
14 Cavin?

15 MR. CAVIN: Yes.

16 HEARING EXAMINER: On the drilling
17 procedures that I requested, we'll just go ahead and
18 close the record at this time but have those submitted
19 within a week or so.

20 MR. CAVIN: Okay.

21 MR. STOVALL: Mr. Cavin, the set of
22 exhibits which I was presented numbers each exhibit as
23 Exhibit No. 1.

24 MR. CAVIN: Right.

25 MR. STOVALL: It makes it a little harder

1 to follow the testimony. Could I get that renumbered
2 before we --

3 MR. CAVIN: You bet. How about this one?
4 This is 1 through 6.

5 MR. STOVALL: That's a lot better.

6 HEARING EXAMINER: There being nothing
7 further in this case, Case 9830 will be taken under
8 advisement.

9 MR. CAVIN: Thank you.

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 CERTIFICATE OF REPORTER

2
3 STATE OF NEW MEXICO)
4) ss.
5 COUNTY OF SANTA FE)

6 I, Freda Simmons, Certified Shorthand
7 Reporter and Notary Public, HEREBY CERTIFY that the
8 foregoing transcript of proceedings before the Oil
9 Conservation Division was reported by me; that I
10 caused my notes to be transcribed under my personal
11 supervision; and that the foregoing is a true and
12 accurate record of the proceedings.

13 I FURTHER CERTIFY that I am not a relative
14 or employee of any of the parties or attorneys
15 involved in this matter and that I have no personal
16 interest in the final disposition of this matter.

17 WITNESS MY HAND AND SEAL February 18, 1989.

18 Freda Simmons
19 FREDA SIMMONS

20
21 I do hereby certify that the foregoing is
22 a complete record of the proceedings in
23 the Examining hearing of Case No. 9830,
24 heard by me on December 13 1988.

25 David R. Catanzano, Examiner
Oil Conservation Division