

STATE OF NEW MEXICO

ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT

OIL CONSERVATION DIVISION

CASE 9902

EXAMINER HEARING

IN THE MATTER OF:

Application of Hanson Operating Company for salt
water disposal, Chaves County, New Mexico

TRANSCRIPT OF PROCEEDINGS

BEFORE: DAVID R. CATANACH, EXAMINER

STATE LAND OFFICE BUILDING

SANTA FE, NEW MEXICO

April 4, 1990

ORIGINAL

A P P E A R A N C E S

FOR THE DIVISION:

ROBERT G. STOVALL
Attorney at Law
Legal Counsel to the Division
State Land Office Building
Santa Fe, New Mexico

FOR HANSON OPERATING, INC.:

CAMPBELL & BLACK, P.A.
Attorneys at Law
By: WILLIAM F. CARR
Suite 1 - 110 N. Guadalupe
P.O. Box 2208
Santa Fe, New Mexico
87504-2208

I N D E X

	Page Number
Appearances	2
GARY CURTIS FITZSIMMONS	
Examination by Mr. Carr	3
Examination by Examiner Catanach	14
Certificate of Reporter	21

E X H I B I T S

HANSON EXHIBITS:

Exhibit 1	4
Exhibit 2	12

* * *

1 WHEREUPON, the following proceedings were had
2 at 11:45 a.m.:

3 EXAMINER CATANACH: At this time we'll call
4 Case 9902, the Application of Hanson Operating Company
5 for salt water disposal, Chaves County, New Mexico.

6 Are there appearances in this case?

7 MR. CARR: May it please the Examiner, my
8 name is William F. Carr with the law firm Campbell and
9 Black, P.A., of Santa Fe. I represent Hanson
10 Operating, Inc., and I have one witness.

11 EXAMINER CATANACH: Will the witness please
12 stand and be sworn in?

13 GARY CURTIS FITZSIMMONS,
14 the witness herein, after having been first duly sworn
15 upon his oath, was examined and testified as follows:

16 EXAMINATION

17 BY MR. CARR:

18 Q. Will you state your full name for the record,
19 please?

20 A. My name is Gary Curtis Fitzsimmons.

21 Q. Mr. Fitzsimmons, where do you reside?

22 A. 305 North Washington, Roswell, New Mexico.

23 Q. By whom are you employed and in what
24 capacity?

25 A. Hanson Operating Company as chief geologist.

1 Q. Mr. Fitzsimmons, have you previously
2 testified before the Oil Conservation Division?

3 A. Yes, I have.

4 Q. Were your credentials as a geologist accepted
5 and made a matter of record at that time?

6 A. Yes, they were.

7 Q. Are you familiar with the Application filed
8 in this case?

9 A. Yes, I am.

10 Q. Are you familiar with the proposed injection
11 well?

12 A. Yes, I am.

13 MR. CARR: Are the witness's qualifications
14 acceptable?

15 EXAMINER CATANACH: They are.

16 Q. (By Mr. Carr) Would you briefly state what
17 Hanson seeks with this Application?

18 A. We are seeking authority to dispose of salt
19 water in the Hanlad "A" State Number 1, located in
20 Section 28, 10 South, 27 East.

21 Q. Would you refer to what has been marked as
22 Hanson Exhibit Number 1 and identify this for Mr.
23 Catanach?

24 A. Okay, this is the OCD Form C-108 which has a
25 list of questions by the State, with the answers

1 attached.

2 Q. Okay. We're talking about the Hanlad "A"
3 State Well Number 1?

4 A. Yes, we are.

5 Q. What is the current status of that well?

6 A. That well is producing one barrel of oil per
7 day from the San Andres Formation.

8 Q. And how long ago was this well actually
9 drilled?

10 A. It was drilled in the latter part of 1986.

11 Q. Mr. Fitzsimmons, let's turn to the plat which
12 is contained in Exhibit 1 on page 6. I would ask you
13 to identify this and review the information set forth
14 on this exhibit.

15 A. Okay, it's a land plat that shows the
16 locations of the well, of all the wells in the area, of
17 the proposed injection well. It has a circle with a
18 radius of one-half mile centered on the injection well.
19 The area colored in yellow is the acreage that is held
20 by Hanson Operating. And the white area that is
21 overlapped by the circle is owned by Yates Petroleum.

22 Q. And the circle shows the area of review for
23 the proposed injection well --

24 A. Yes, sir.

25 Q. -- is that correct?

1 A. Yes, it does.

2 Q. Does Exhibit Number 1 contain tabular data on
3 all wells within the area of review that penetrate the
4 injection zone?

5 A. Yes, it does. There's eight wells that are
6 attached, and each tabulation has a schematic of the
7 well bore and the casing, the cement program, and then
8 the date of drilling completion and the stimulation
9 procedure we used.

10 Q. And you're talking about pages 7 through 14
11 of Exhibit Number 1?

12 A. Yes, I am.

13 Q. Are all of these wells currently producing
14 oil wells?

15 A. Yes, they are.

16 Q. And they're all producing from the Diablo-San
17 Andres pool?

18 A. Yes, they are.

19 Q. And when you talk about eight wells that
20 penetrate the injection interval, you're also including
21 in that number the Hanlad "A" State Number 1; is that
22 right?

23 A. Yes, I am.

24 Q. Are there any plugged or abandoned wells
25 within the area of review?

1 A. No, there are not.

2 Q. Mr. Fitzsimmons, let's go to the first plat
3 or schematic on page 7 of Exhibit Number 1, and I would
4 ask you to review for Mr. Catanach the current downhole
5 mechanism or -- of the proposed injection well.

6 A. Okay, we have an original hole size of 12-1/4
7 that we set surface casing in. That was 8-5/8. We set
8 the surface casing at 500 feet, cemented with 400 sacks
9 of cement, and we circulated back 50 sacks of cement.

10 We set a 5-1/2 production string to 2132
11 feet. We cemented that with 350 sacks of cement and
12 circulated back 48 sacks to surface.

13 And we set tubing, 2-3/8 tubing, to 2100
14 feet, and the particulars to how we set that tubing up
15 is annotated on the sheet.

16 Then we perforated the San Andres zone from
17 2034 to 2082 feet. Originally we acidized the
18 perforations. We subsequently went in and re-acidized
19 the perforations.

20 The technique we use to stimulate the
21 reservoir is, we go in, pressure up until we get a
22 pressure breakover. At that point we've opened up
23 fractures in the zone, and this pressure breakover
24 ranges from 1800 feet to 2700 feet, 1800 being the
25 minimal.

1 And once we've established that fracture
2 opening, we drop down a little bit, let the acid sit on
3 there, complete the acid etch, and then we're finished
4 with the stimulation.

5 And this is the procedure we use in all the
6 wells in the Diablo field that we have.

7 Q. At the present time, the Hanlad State "A"
8 Number 1 well is only capable of marginal production?

9 A. Yes, one barrel of oil per day.

10 Q. And are you aware of anything you could do to
11 substantially improve the ability of this well to
12 produce oil?

13 A. No, it's just one of the poor wells in the
14 field. It's one of the lowest structurally in that
15 area. It just doesn't have the potential.

16 Q. Let's go to page 3 of Exhibit Number 1, and
17 I'd ask you to review the schematic that is set forth
18 on that page of the exhibit.

19 A. Okay, this schematic essentially is the same
20 one I just enumerated for the "A" 1.

21 What we plan to do on our injection program
22 is to re-enter the well and go into the same plumbing
23 that we have and just open up a wider interval in the
24 San Andres and inject water back into the zone that
25 we've been producing oil out of.

1 Q. What is the thickness of the San Andres in
2 this area?

3 A. Well, we did not penetrate the full section
4 of the San Andres. It's -- We did penetrate over 630
5 feet, the lowermost 48 feet containing porosity in the
6 San Andres.

7 Q. And so that is -- You will be injecting into
8 the lowermost portion of the San Andres that -- into
9 which you -- that has been penetrated by your well?

10 A. Yes.

11 Q. What is the source of the water you propose
12 to dispose of?

13 A. Well, we're partners in a well that was
14 drilled to the Montoya with Stevens Operating, and the
15 water is Montoya water, the Montoyas found at 6200
16 feet, approximately, in this area.

17 Q. What is presently being done with this water?

18 A. At the present time, we're trucking that
19 water off to the racetrack, San Andres Racetrack field
20 to the east, and we're disposing it in the Cibola
21 Plains 29-9, located in 10 South, 28 East, Section 29,
22 in the San Andres zone.

23 Q. So the water is currently going into the San
24 Andres, but in another pool?

25 A. Yes.

1 Q. What volumes do you propose to inject?

2 A. We're anticipating about an average of 350
3 barrels of water per day.

4 Q. And what would be your maximum injection
5 volume?

6 A. 700 barrels of water per day.

7 Q. Is this going to be an open or a closed
8 system?

9 A. A closed system. None of the water is going
10 to be open to atmosphere.

11 Q. Will you be injecting by gravity or under
12 pressure?

13 A. Under pressure.

14 Q. And what will be the injection pressure that
15 you propose to utilize?

16 A. Well, we're anticipating an average of 1400
17 pounds, with a maximum of 1800 pounds.

18 Q. And is this pressure in excess of the .2
19 pound per foot of depth that is customarily used for
20 injection wells?

21 A. Yes, it is.

22 Q. Do you anticipate that injecting at this
23 higher pressure would in any way cause the injection
24 fluid to escape from the San Andres interval?

25 A. No, I don't. That's based on the fact that

1 all the wells that we operate in the field have been
2 fractured, and the minimum pressure to obtain this
3 fracturing has been 1800 pounds.

4 In addition, the type of pressures we're
5 using, we don't anticipate a fracture height of more
6 than 150 feet. And with the 300-plus feet of San
7 Andres above us, we simply have not used enough
8 pressure to be able to frac through that.

9 Q. Mr. Fitzsimmons, would you refer to pages 16
10 and 17 of Exhibit Number 1 and identify those for Mr.
11 Catanach?

12 A. Okay, this is a study we did to determine
13 water compatibility, and we had to go to the field to
14 the east to get the San Andres water to use for our
15 study because we don't produce water -- or very little
16 water from the San Andres -- in our field. So that's
17 why we're using the 29-9 water for the San Andres
18 analysis.

19 And then we have an analysis done on the
20 Stevens water or the Montoya water out of the Stevens
21 well.

22 The results of the analysis shows that the
23 waters are compatible. We'll possibly have a little
24 bit of scaling problem with calcium carbonate, but
25 that's very minimal to clean up with hydrochloric acid.

1 So we don't anticipate any problems with the
2 water mixing.

3 Q. Are there any fresh-water zones in the area?

4 A. None whatsoever.

5 Q. Are there any fresh-water wells in the area?

6 A. None.

7 Q. And how did you ascertain that?

8 A. Well, we did our own study. First of all, we
9 drilled with cable tool in the area, and cable tool is
10 a very good way of determining the type of waters you
11 run into. Very little water, and it's all been salty,
12 sulfur water.

13 And to confirm our conclusions I called up
14 the State and talked to Ken Fresquez of the New Mexico
15 State Engineering Office, and he confirmed our
16 conclusion.

17 Q. Is the log on the proposed injection well on
18 file with the Oil Conservation Division?

19 A. Yes, it is.

20 Q. Mr. Fitzsimmons, is Exhibit Number 2 an
21 affidavit and copies of notice letters confirming that
22 notice of today's hearing has been provided in
23 accordance with Division rules?

24 A. Okay, let's find it here. Okay, I have it
25 here. Yes. Yes, it is.

1 Q. Are you aware of any similar applications
2 that have been granted for injection in the same
3 general area and pool that are involved in this
4 application?

5 A. The one that I do know of has been previously
6 mentioned. It's the Cibola Plains 29-1, which we are
7 presently injecting our Montoya water in.

8 Q. Other than that, are you aware of any others?

9 A. Not that I can confirm.

10 Q. Have you examined available data on the area,
11 and as a result of your examination, have you found any
12 evidence of open faults or other hydrologic connections
13 between the disposal zone and any possible source of
14 underground drinking water?

15 A. I did extensive analysis in the area, and I
16 have found no indications of San Andres faulting and no
17 indications of open fracturing. In addition, there is
18 no fresh water in the area.

19 Q. In your opinion, will granting this
20 application be in the best interest of conservation,
21 the prevention of waste, and the protection of
22 correlative rights?

23 A. Yes, in my opinion.

24 Q. Were Exhibits 1 and 2 prepared by you or
25 compiled under your direction?

1 A. It was not prepared by me, but it was
2 compiled by David Sweeney, our production manager,
3 and --

4 Q. Have you reviewed the exhibits?

5 A. -- with my knowledge and approval.

6 Q. Have you reviewed the exhibit?

7 A. Yes.

8 Q. Can you testify as to its accuracy?

9 A. Yes, I can.

10 MR. CARR: At this time, Mr. Catanach, we
11 would move the admission of Hanson Operating Company
12 Exhibits 1 and 2.

13 EXAMINER CATANACH: Exhibits 1 and 2 will be
14 admitted as evidence.

15 MR. CARR: That concludes my direct
16 examination of Mr. Fitzsimmons.

17 EXAMINATION

18 BY EXAMINER CATANACH:

19 Q. Mr. Fitzsimmons, how many wells do you
20 operate in the pool?

21 A. Oh, the exact number I can't say right
22 offhand --

23 Q. Approximately.

24 A. -- but it runs about 12, 13 wells.

25 Q. What is the closest producing well that you

1 will have to this salt water disposal well?

2 A. Well, the closest producing well --
3 unfortunately, I can't -- It's just to the north and to
4 the northeast. They're producing right now. And it's
5 the -- I don't know the names of the --

6 Q. Is that in Section 27?

7 A. Section 28 and Section 27. Okay, it's the
8 2-A and the Number 3. 2-A will be in the 28, and
9 Number 3 is in Section 27.

10 Q. Do you propose to inject into the same
11 interval that's currently being produced in those
12 wells?

13 A. Yes, we do. The interval is the P-1 porosity
14 unit of the San Andres formation, and you go through
15 over 300 feet of tight carbonate rock before you go
16 into the P-1, and even -- As you go into the P-1 the
17 porosity develops, but you have zones of better
18 porosity and zones of poorer porosity.

19 And it's only in those zones of better
20 porosity that you actually get your oil production, and
21 when we go and fracture, that's the zones that are
22 really opened up.

23 Q. Are your producing wells -- What state of
24 production are they in? Are they marginal wells?

25 A. No, the A-1 is the -- well, is the only one

1 of two wells so far that have been marginal for us.
2 The other one was completed as a dry hole. It's not
3 fantastic production, but it's making us happy.

4 Q. What effect have you determined the disposal
5 into this same zone will have on any of your producing
6 wells?

7 A. Well, at the very least the structural
8 position of the 1-A, the most effect that I can see is
9 that it could serve as a possible flood well to flood
10 some of that oil to the north. But the way that the
11 porosity comes and goes through there, there's no way
12 of really determining communication.

13 We don't see, in most cases, much
14 interference from one well to the next.

15 Q. Well, could there possibly any detrimental
16 effect to your producing wells?

17 A. No, not that I can see, because I don't think
18 that the flood around that well would be to the extent
19 that it could affect any of our other production, and
20 most of it should probably go downdip.

21 We consider that well as being the limiting
22 well for the field development. Most of the field
23 develops to the north. To the south, we don't hold it
24 as having much potential.

25 Q. Downdip would be to the south?

1 A. Yes, sir.

2 Incidentally, that dry hole on the map, you
3 probably -- That is not to the San Andres. That's a
4 clean dry hole.

5 As a matter of fact, all three of those dry
6 holes in Section 28 were TD'd in the Queen formation,
7 which is around 1000 feet, so they did not penetrate
8 the San Andres.

9 Q. Mr. Fitzsimmons, are you requesting a
10 pressure of 1400 pounds for this well?

11 A. Well, that's the engineer's best estimate of
12 what we would probably need to inject the water. It's
13 just a matter of how the injection program goes as to
14 what injection pressure we would use. If we could get
15 by with a lower injection pressure, we would.

16 But the maximum that he proposed is 1800
17 pounds, which again is less than what we find in the
18 fracture break- -- the pressure breakover point when we
19 acidize these wells and fracture them.

20 Q. Are you aware in a normal situation you would
21 be given approximately 407 p.s.i.?

22 A. Yes, I'm well aware of that. It just won't
23 work in this area. All these wells had to be
24 stimulated to produce oil in the first place. And
25 if -- At 400 pounds, we wouldn't even have a field there.

1 Q. Well, I would have to say that unless you
2 submitted some further evidence, that that's all you're
3 going to get, I would venture to guess, unless there
4 was some evidence in this case actually regarding the
5 fracture nature of the San Andres formation.

6 A. I didn't quite understand what you were
7 saying.

8 Q. Well, in order to -- I think in order for us
9 to approve a pressure of 1400 pounds or so, I think we
10 need some evidence in this record.

11 A. I didn't bring with me, but we have the
12 completion procedures, and the pressures we use in all
13 the wells in our acidizing and fracturing process that
14 we go through. Would that supply the kind of
15 information you're looking for?

16 Q. Well, in part. But in an initial -- In a new
17 well, doesn't the reservoir pressure also have
18 something to do with the amount of pressure it takes to
19 fracture?

20 I mean, if you've got a high bottom hole
21 pressure, doesn't -- wouldn't that increase -- wouldn't
22 that tend to increase the fracture pressure?

23 A. Well, I'm a geologist; I don't know. I can't
24 answer that.

25 Q. Well, would you be willing to conduct some

1 tests on the well, some injection tests?

2 A. Yes, we would, if it's required by the State,
3 yes, certainly.

4 Q. Well, I would say, then, submit that evidence
5 if you care to, and we'll take a look at that and we'll
6 just go from there and see what we can come up with --

7 A. Okay.

8 Q. -- in terms of the pressure.

9 MR. CARR: Mr. Catanach, are you talking
10 about continuing the case for submission of additional
11 information?

12 EXAMINER CATANACH: I'm not talking about a
13 continuation, Mr. Carr, just a --

14 MR. CARR: Or would you -- Are you
15 considering an order with a .2 pound-per-foot pressure
16 limitation with a procedure that would permit us to
17 submit additional data to the Division and have that
18 subsequently increased?

19 EXAMINER CATANACH: Well, that's included
20 in -- That's standard language in every order, so --

21 MR. CARR: Just wanted to be sure that's the
22 direction we were going and not just a continuance of
23 it.

24 EXAMINER CATANACH: If you would like me to
25 review the data that you believe might help get --

1 MR. CARR: Yes.

2 EXAMINER CATANACH: -- initially a higher
3 pressure, then you can submit that after we take the
4 case under advisement.

5 MR. CARR: Okay.

6 EXAMINER CATANACH: If you want to go the
7 other way and just get the .2 p.s.i., then we could
8 just look at that maybe later on. Whichever way you
9 guys want to do it.

10 I believe that's all the questions I have at
11 this time. The witness may be excused.

12 MR. CARR: We have nothing further. We will
13 submit additional information to you, but we would
14 prefer that the Order provide that we are able to come
15 back in with an additional showing to increase the
16 injection pressure at a subsequent time.

17 EXAMINER CATANACH: Okay. At this time,
18 then, we'll take Case Number 9902 under advisement.

19 (Thereupon, these proceedings were concluded
20 at 12:07 p.m.)

21
22 I do hereby certify that the foregoing is
23 a complete record of the proceedings in
24 the Examiner hearing of Case No. 9902,
25 heard by me on April 4 1990.
David R. Catanach, Examiner
Oil Conservation Division


1 CERTIFICATE OF REPORTER

2
3 STATE OF NEW MEXICO)
4) SS.
COUNTY OF SANTA FE)

5
6 I, Steven T. Brenner, Certified Shorthand
7 Reporter and Notary Public, HEREBY CERTIFY that the
8 foregoing transcript of proceedings before the Oil
9 Conservation Division was reported by me; that I
10 transcribed my notes; and that the foregoing is a true
11 and accurate record of the proceedings.

12 I FURTHER CERTIFY that I am not a relative or
13 employee of any of the parties or attorneys involved in
14 this matter and that I have no personal interest in the
15 final disposition of this matter.

16 WITNESS MY HAND AND SEAL April 17, 1990.

17 

18 STEVEN T. BRENNER
19 CSR No. 106

20 My commission expires: October 14, 1990
21
22
23
24
25