

1 STATE OF NEW MEXICO
2 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
3 OIL CONSERVATION DIVISION
4 CASE 10115

5
6
7 EXAMINER HEARING

8
9 IN THE MATTER OF:

10
11 Application of Marathon Oil Company for
12 the Assignment of a Special Depth Bracket
13 Oil Allowable, Eddy County, New Mexico

14
15
16 TRANSCRIPT OF PROCEEDINGS

17
18 BEFORE: MICHAEL E. STOGNER, EXAMINER

19
20 STATE LAND OFFICE BUILDING

21 SANTA FE, NEW MEXICO

22 October 31, 1990

23
24 **ORIGINAL**

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A P P E A R A N C E S

FOR THE DIVISION:

ROBERT G. STOVALL, ESQ.
JIM MORROW, EXAMINER/ENGINEER
Post Office Box 2088
State Land Office Building
Santa Fe, N.M. 87504-2088

FOR THE APPLICANT:

W. THOMAS KELLAHIN, ESQ.
Kellahin, Kellahin & Aubrey
Post Office Box 2265
Santa Fe, N. M. 87504-2265

1	I N D E X	
2		Page Number
3	Appearances	2
4	ROBIN W. TRACY	
5	Examination by Mr. Kellahin	4
6	Examination by Hearing Examiner	18
7	Examination by Mr. Morrow	25
8	PATTI PHILLIPS	
9	Examination by Mr. Kellahin	26
10	Examination by Hearing Examiner	31
11	Certificate of Reporter	36
12	E X H I B I T S	
13	APPLICANT'S EXHIBITS:	
14	Exhibit 1	6
15	Exhibit 2	8
16	Exhibit 3	10
17	Exhibit 4	11
18	Exhibit 5	12
19	Exhibit 6	13
20	Exhibit 7	13
21	Exhibit 8	14
22	Exhibit 9	14
23	Exhibit 10	14
24	Exhibit 11	14
25	Exhibit 12	16
	Exhibit 13	27
	Exhibit 14	28
	Exhibit 15	29
	Exhibit 16	34

1 EXAMINER STOGNER: This hearing will come
2 to order. Call next case, No. 10115.

3 MR. STOVALL: Application of Marathon Oil
4 Company for the assignment of a special depth bracket
5 oil allowable, Eddy County, New Mexico.

6 EXAMINER STOGNER: Call for appearances.

7 MR. KELLAHIN: Mr. Examiner, I'm Tom
8 Kellahin of the Santa Fe Law Firm of Kellahin,
9 Kellahin & Aubrey.

10 Appearing with me is Mr. Larry Garcia,
11 attorney with Marathon Oil Company. He and I
12 represent Marathon Oil Company, the Applicant in this
13 case. We have two witnesses to be sworn.

14 EXAMINER STOGNER: Are there any other
15 appearances in this matter?

16 Will the witnesses please stand to be
17 sworn.

18 ROBIN W. TRACY

19 the witness herein, after having been first duly sworn
20 upon his oath, was examined and testified as follows:

21 EXAMINATION

22 BY MR. KELLAHIN:

23 Q. Mr. Tracy, for the record would you please
24 state your name and occupation?

25 A. My name is Robin Tracy. I'm currently the

1 District Operations Supervisor for Marathon Oil
2 Company in our Midland, Texas, office.

3 Q. Have you, on prior occasions, testified
4 before the Oil Conservation Division as a petroleum
5 engineer?

6 A. No, I have not.

7 Q. Would you take a moment and describe your
8 educational background?

9 A. I graduated from the University of Tulsa in
10 1979 with a Bachelor of Science degree in petroleum
11 engineering.

12 Q. Subsequent to graduation, summarize for us
13 your employment experience as a petroleum engineer.

14 A. Out of college I went to work for Amoco in
15 Casper, Wyoming, and worked there a year as a
16 production engineer. Since that time I've been in our
17 northeastern region, which handles Illinois, Michigan,
18 and the Northeastern part of the United States.

19 I served in various capacities there as a
20 production engineer, reservoir engineer, drilling
21 foreman and district reservoir engineer.

22 Q. What duties did you perform with regards to
23 performing your profession for the Tomano-Bone Springs
24 Pool in Eddy County, New Mexico?

25 A. I've supervised most of the engineering

1 work that has gone on in the Tomano field.

2 Q. Based upon that engineering work, what
3 conclusions have you reached, Mr. Tracy?

4 A. We have concluded that there is a more
5 efficient rate at which the oil can be produced from
6 the Tomano field.

7 Q. And that's the purpose of you being present
8 today?

9 A. Yes, it is.

10 MR. KELLAHIN: At this time, Mr. Examiner,
11 we tender Mr. Tracy as an expert petroleum engineer.

12 EXAMINER STOGNER: Mr. Tracy is so
13 qualified.

14 Q. Let me ask you to turn to Exhibit No. 1.
15 Before we discuss the specific details of your
16 request, let's take a minute and orient the Examiner
17 as to how to read the display.

18 A. Okay. This display is a land plat that
19 shows Marathon's acreage position in the Tomano
20 field. The operators and working interest owners as
21 we best know them are listed on each tract. The
22 yellow acreage represents Marathon's acreage.

23 Q. When we look at the display, how do we know
24 what the current boundaries are for the Tomano-Bone
25 Springs Pool?

1 A. The dashed line is from the Byron's report.

2 Q. The specific area of interest for these
3 producing oil wells is the area shown including
4 Section 11 and adjacent to Section 11?

5 A. Yes, Section 10 and 11.

6 Q. The type of wells identified on the display
7 are the Bone Springs completions within the area shown
8 on the map?

9 A. Yes, they are.

10 Q. What's the significance of the red dots on
11 some of these wells?

12 A. The four wells that are shown highlighted
13 in red are the wells that have additional production
14 capacity above the current depth bracket allowable.

15 Q. The rules for this pool require wells to be
16 drilled on 40-acre spacing?

17 A. Yes, they do.

18 Q. And for wells at this depth, what is the
19 maximum allowed producing rate on a daily basis for
20 oil?

21 A. 230 barrels of oil per day or 460 Mcf per
22 day.

23 Q. So the oil rate is 230 a day, and the gas
24 rate is determined by a function of the gas/oil ratio
25 limitation for the pool?

1 A. Yes, it is.

2 Q. And you are operating on the 2000-to-1
3 gas/oil ratio?

4 A. Yes, we are.

5 Q. So if I'm using 230 barrels a day, my gas
6 limit would be what?

7 A. 460 Mcf per day.

8 Q. Based upon your studies, what is your
9 recommendation to the Examiner for the maximum
10 producing rate for a 40-acre spacing unit for the
11 pool?

12 A. We're recommending to double the current
13 depth bracket allowable for 460 barrels of oil per day
14 with the same GOR limitation.

15 Q. You're not seeking to change the gas/oil
16 ratio, simply increasing the oil rate?

17 A. That's correct.

18 Q. In order to reach that conclusion, did you
19 study the production history of the wells in the pool
20 to form a basis of opinion?

21 A. Yes, we have.

22 Q. Let's turn to Exhibit No. 2 and have you
23 identify and describe that display.

24 A. Exhibit No. 2 is a production graph of the
25 Tomano-Bone Springs field, and there are a couple of

1 key items that should be noted there. First of all,
2 you can see that production started in early 1988.
3 It's a relatively new field.

4 The second thing that I would like to point
5 out is that there is a very small producing amount of
6 water, less than 200 barrels of oil per day.

7 Q. Your water is plotted in the blue line?

8 A. Yes, it is.

9 Q. Okay.

10 A. And the third thing is that the gas/oil
11 ratio, although it does increase with time as all
12 solution gas drive reservoirs, it has not broken
13 through and shown a dramatic increase later in the
14 life of the field.

15 Q. When we look at the plot of the oil
16 production in relation to the other items plotted,
17 what does that tell you about the reservoir?

18 A. We've drawn a conclusion from looking at
19 this and looking at the individual well data, that the
20 field's producing mechanism is a solution gas drive
21 reservoir.

22 Q. You don't see any active water drive in the
23 reservoir?

24 A. We do not see any active water drive in the
25 reservoir and we do not see a gas cap in the

1 reservoir.

2 Q. If a gas cap was being formed in the
3 reservoir, what would happen to the gas rate on the
4 plot?

5 A. Well, on some of the wells during the later
6 part of their life, we could see increased production
7 in gas and less production in oil, and that would be
8 signified on this graph as the GOR is showing a
9 significant increase, and this graph does not show
10 that.

11 Q. As a petroleum engineer, are you able to
12 conclude from a review of the information that, in
13 fact, the Tomano-Bone Springs is not a rate-sensitive
14 pool?

15 A. Yes, I have.

16 Q. Let's turn now to Exhibit No. 3. Would you
17 identify that for us?

18 A. Exhibit No. 3 is a tabulation of the well
19 test data, and this was the data that was incorporated
20 into Exhibit 2 that we just looked at.

21 Q. In addition to Marathon being the majority
22 operator in the pool, Heyco also operates wells in the
23 pool?

24 A. Yes, they do.

25 Q. Have you contacted Heyco to see if they

1 have any objection to increasing the oil rate for the
2 pool?

3 A. Yes, we have.

4 Q. And what result?

5 A. They have no objection.

6 Q. Have you contacted the other operators in
7 the pool to see if they have any objection?

8 A. We've contacted all the other operators and
9 all working interest owners, and no one has any
10 objections.

11 Q. Let's turn now to Exhibit No. 4. What is
12 this?

13 A. Exhibit No. 4 is a plot showing rate versus
14 the gas/oil ratio on the four wells that have
15 increased production capacity within the field.

16 Q. Describe for us how you obtained this
17 information.

18 A. The four wells that have additional
19 production capacity, we tested those for 24-hour
20 periods at different rates as signified by the red
21 squares on that graph. What we found that was at the
22 higher rates approaching the 460 barrels of oil per
23 day that we are requesting, the gas/oil ratio did not
24 increase.

25 And, as you can see by this exhibit, three

1 of the four wells, the gas/oil ratio from our
2 measurement actually decreased.

3 Q. The plot of the curves on Exhibit No. 4
4 identifies the four wells shown in red circles on
5 Exhibit No. 1?

6 A. Yes, they do.

7 Q. You've characterized these as the high
8 capacity wells?

9 A. Yes, I have.

10 Q. High capacity means they would have the
11 capacity to produce up to and in excess of the
12 requested 460 a day?

13 A. That is correct.

14 Q. The critical part of this data is what,
15 Mr. Tracy?

16 A. The critical part of this data is that we
17 do not see any rate sensitivity in this oil pool. As
18 you can draw conclusions from these graphs, if they
19 were rate-sensitive as far as a gas cap being present,
20 the gas/oil ratio would probably go up. And, in fact,
21 we've shown it's decreased in three of the four
22 instances and in the fourth instance it looks
23 relatively flat.

24 Q. Let's turn to Exhibit 5 and have you
25 identify and describe that.

1 A. Exhibit 5 is just a tabulation of the data
2 that went into the graphs that were shown on Exhibit
3 No. 4.

4 Q. Have you made a search to determine whether
5 or not the performance you're seeing displayed to you
6 in the Tomano-Bone Springs is representative or
7 characteristic of other Bone Springs pools being
8 produced in Southeastern New Mexico?

9 A. Yes, we have.

10 Q. What particular pools did you examine?

11 A. As can be shown on Marathon Exhibit No. 6
12 and Marathon Exhibit No. 7, the first being the
13 Mescalero Escarp field and the second one being Young
14 North field, both of these fields have additional
15 production history as they're older fields than our
16 Tomano field.

17 What can be seen from the two graphs that
18 are presented is that the gas/oil ratio over the life
19 of the field, although it increases over the life of
20 the field as would be expected in a solution gas drive
21 reservoir, it's only a slight increase, less than 10
22 percent per year. Therefore, we've drawn conclusions
23 from both of these fields that there is no gas cap.
24 The later producing life of the field you do not see a
25 substantial increase in the gas/oil ratio.

1 Q. Have you had displays made to show the
2 capacity of the four high-capacity wells to produce
3 oil?

4 A. Yes, we have.

5 Q. And that's shown as Exhibits 8, 9 and 10?

6 A. That's right.

7 Q. I'm sorry, that's 8, 9, 10 and 11? Those
8 are the four?

9 A. Yes, that's correct.

10 Q. Let's turn to Exhibit No. 8 and describe
11 for us what you've done.

12 A. Exhibit No. 8 shows inflow performance, and
13 this is based off of Vogel's work. What this is
14 showing is that if there were no restrictions at all,
15 and the first Exhibit No. 8 is Johnson B Federal #6,
16 is that that well could produce in excess capacity of
17 3,000 barrels of oil per day. The significant thing
18 to note about the well is that currently, if you'll
19 look between liquid production rate of zero and 1,000,
20 our current rate is about 230 barrels a day, top
21 allowable, and the bottom-hole producing pressure is
22 around 1800 psi.

23 If granted the additional rate where we
24 could go up to 460 barrels of oil per day, as you can
25 see from the graph, the bottom-hole producing pressure

1 would be somewhere around 1700 pounds, bottom-hole
2 filling pressure, not a significant decrease in
3 bottom-hole filling pressure.

4 Q. Do you have inflow performance curves on
5 each of the four wells from which you conclude that
6 each has substantially greater capacity to produce oil
7 than the maximum allowable that you've asked for?

8 A. Yes, I do.

9 Q. Did you see any potential adverse
10 consequences to increasing the oil rate in terms of
11 comparing the high-capacity wells to the four
12 producing wells in the pool?

13 A. No, I do not.

14 Q. What are the range of productivities of the
15 other wells that are incapable or incapable of
16 producing the maximum oil allowable, in a general
17 range?

18 A. In a general range, from 175 barrels of oil
19 per day down to less than 10 barrels of oil per day.

20 Q. In terms of efficiency of producing rate
21 for wells in the pool, will the high-capacity wells be
22 more energy-efficient than the low-capacity wells?

23 A. Yes, they will.

24 Q. Why?

25 A. The low producing wells currently are

1 producing at a very low bottom-hole pressure, meaning
2 that they are being drawn on as hard as they can
3 because they're allowed to produce up to 230 barrels a
4 day. If not, we can produce those at top allowable
5 rates. And currently a 10-barrel-of-oil-per-day well
6 or a 50-barrel-of-oil-per-day well is showing a lower
7 producing bottom-hole pressure.

8 What this does, when you pull on the
9 reservoir a little bit harder than the top allowable
10 wells, you get a little bit more solution gas breaking
11 out away from the wellbore. What that does, it
12 increases the gas/oil ratio of the lower producing
13 wells.

14 Q. Let's turn now to Exhibit No. 12. Would
15 you identify that display for us?

16 A. Exhibit 12 is a picture showing how we
17 think the reservoir will respond with the increased
18 allowable rates. Currently, the field is producing
19 nearly 1800 barrels of oil per day with about 3.2
20 million cubic feet of gas, or for a gas/oil ratio of a
21 little over 1700 standard cubic feet per barrel.

22 If we're allowed to increase the withdrawal
23 rates from the wells that have additional production
24 capacity, it will increase the field production by 51
25 percent in the oil lake. The gas will increase only

1 38 percent. The reason that is, is because the
2 high-flow capacity wells have a gas/oil ratio of less
3 than the 1770 standard cubic feet per barrel that's
4 currently being seen in the Tomano field as shown on
5 one of my earlier exhibits, No. 4.

6 The gas/oil ratio for the high-capacity
7 wells is around 1400 standard cubic feet per barrel in
8 that the gas/oil ratio did not increase with the
9 higher rates. It stayed around 1400 standard cubic
10 feet per barrel.

11 So what that does is now the field GOR,
12 instead of being around 1770, it is reduced to around
13 1610, where the gas/oil ratio is decreased by about 9
14 to 10 percent. So what we're saying is that we're
15 utilizing the existing energy in the field because
16 it's a solution gas drive reservoir more efficiently.
17 We're saving about 9 to 10 percent of that energy,
18 producing the same amount of that oil over a snapshot
19 in time, a period in time, so that that gas energy can
20 be used to help produce additional oil.

21 Q. Can you give us a general range or
22 perspective about the magnitude of increased oil
23 recovery and producing at a higher rate?

24 A. An average well in the field right now
25 produces at around cum recovery of 250 thousand

1 barrels of oil. So, if we could increase that by 10
2 percent per well, that would be another 25 thousand
3 barrels of oil per well.

4 We have four wells that we're proposing to
5 do this to, so that would be, in my estimation, a low
6 side of 100 thousand barrels of oil that we should be
7 able to increase this pool recovery by.

8 Q. Your ultimate conclusion and
9 recommendation, then, Mr. Tracy, based upon your
10 engineering studies, is what, sir?

11 A. Is that the field allowables should be
12 increased from the current depth bracket allowable of
13 230 barrels of oil per day to a new allowable of 460
14 barrels of oil per day.

15 MR. KELLAHIN: That concludes my
16 examination of Mr. Tracy. We move the admission of
17 his Exhibits 1 through 12.

18 EXAMINER STOGNER: Exhibits 1 through 12
19 will be admitted into evidence.

20 EXAMINATION

21 BY EXAMINER STOGNER:

22 Q. Is the solution-gas drive the only
23 mechanism in this pool?

24 A. We believe it is, as shown from Exhibit No.
25 2. There's very little water production and that's

1 basically coming from one well. We've monitored the
2 pressure over the field over the last three years that
3 it's been producing, and we don't see any additional
4 energy support.

5 Q. Do you know when production first started
6 from this pool?

7 A. Around the first part of 1988, I believe.

8 Q. And when did these four wells, do you know
9 their individual beginning production dates?

10 A. Three of the four wells, the well that's
11 shown in Section 10, the well that's listed as Well
12 #9, if you look at Exhibit 1, the map, and the well
13 that's listed as B-2, all of those wells were drilled
14 in 1990. The Well #5, the other high-flow capacity
15 well, it's been on production for over a year.

16 Q. Is that the #5 or #6?

17 A. #6, I'm sorry.

18 Q. Were some of your other wells that are now
19 marginal production or producing under the allowable,
20 did they begin as nonmarginal wells or able to meet
21 their allowable in the beginning and then taper down,
22 and how long did that usually take?

23 A. Yes, sir. Well #4--

24 Q. That's the one in the southwest of the
25 northeast?

1 A. No, sir, that's the one in the northeast of
2 the southwest, the Marathon Hudson & Hudson Well #4.

3 Q. Oh.

4 A. Northeast of the southwest.

5 Q. Okay. Yes.

6 A. That was one of the first wells in the
7 field and it produced at top allowable rates for over
8 two years. Currently it has ceased flowing and we've
9 put a pumping unit on the well and it's still at top
10 allowable rates of around 230 barrels a day, but it
11 does not have much excess capacity. And the Marathon
12 Well #7, the southeast of the northwest, that well was
13 a top allowable well for over a year.

14 Q. How many wells are like that #4, if the
15 allowable was raised, would be able to pump in excess
16 of the 230-barrels-a-day limit?

17 A. #4 would be the only other one.

18 Q. What's usually the next step as far as
19 development in a pool like this here in the Bone
20 Springs and the solution gas drive? Will this be
21 waterflood potential?

22 A. We're looking at that. We're looking at
23 waterflood and we're also looking at gas reinjection.
24 Probably waterflood has more of a chance than
25 reinjecting gas, but we're still not completely sure

1 that the waterflooding will be economically feasible
2 in this pool.

3 We're currently building a reservoir model
4 and we're doing core flood work. We're hoping that
5 we'll be able to do it, but we haven't come to that
6 conclusion yet.

7 Q. Most of your wells in this pool seem to be
8 congregated around Section 11. Were there some wells
9 down in Section 14 and 24 at one time?

10 A. The two wells that are shown in Section 14,
11 both #1's and both shown as dry-hole symbols, they
12 were drilled to the Bone Springs but they were dry in
13 those intervals and they have been since completed in
14 shallower zones. The well shown within the Byron's
15 outline, the #1 that is on the ARCO acreage and then
16 the well that's shown in Section 24, it's also a #1
17 well. Those are Bone Springs sand wells and they are
18 currently producing somewhere around 50 barrels of oil
19 per day.

20 Our wells that have additional capacity are
21 a little bit shallower than that. They're in the Bone
22 Springs second carbonate.

23 Q. Also those wells in Section 2, are they
24 producing from the sand interval?

25 A. Yes, sir, that's correct.

1 Q. Do you know what their capabilities are?

2 A. I think they're around the same, 75 barrels
3 a day or less.

4 Q. Do you know what a typical sand producer in
5 the Bone Springs is in the initial phase, its initial
6 pressure and its initial production? Is it capable of
7 making the 230 or are any of them in the deeper
8 horizon?

9 A. Not in Tomano. The sands are very poorly
10 developed and they're usually used as a back-up zone
11 or a salvage zone for the well. A 50-barrel-a-day
12 sand well, 75-barrel-a-day sand well is considered
13 good in this area, and they do not have any excess
14 production capabilities.

15 Q. Do you know what their reservoir mechanism
16 is?

17 A. It's solution gas drive, also.

18 Q. Are any of the wells in Section 11
19 completed in both the sand and the carbonate?

20 A. Some of the Heyco wells are. In fact, I
21 think most of the Heyco wells are.

22 Q. Would that serve to draw some of the oil or
23 do you see any mechanism problems with--I don't want
24 to call it down-hole commingling, since it's all in
25 the Bone Spring, but in this particular instance let's

1 use that term.

2 A. Okay. No, there shouldn't be any
3 interference between a well producing from a
4 commingled second carbonate and a Bone Springs sand.

5 EXAMINER STOGNER: Mr. Kellahin, what's
6 your next witness going to be testifying on?

7 MR. KELLAHIN: She's the geologic witness.

8 EXAMINER STOGNER: Okay.

9 Q. This well is spaced on 40 acres, is it not?

10 A. Yes, that's correct.

11 Q. Is there any evidence of communication
12 between these wells spaced on 40?

13 A. When we drilled the new wells, the
14 reservoir pressure in the new wells was lower than
15 discovery pressure, so there's some pressure
16 communication. We do not feel that a well will drain
17 over 40 acres, though.

18 Q. Even with the higher allowable?

19 A. Even with the higher allowable.

20 Q. In looking at Exhibit No. 3, Mr. Tracy, it
21 looks like some of the Heyco wells have a higher GOR
22 than some of your wells, and you just got through
23 saying that you believe the Heyco wells are perforated
24 through the sand and the carbonate interval. Do you
25 see any correlation there or problems that could

1 surface?

2 A. Well, when we look back at some of our
3 wells, like the Marathon Oil Company Shugart B #1, and
4 that's just a carbonate well only. It has a higher
5 GOR also. And, in most cases, the Marathon Johnson B
6 Federal #4, which is less than top allowable well,
7 it's GOR is also in excess of 2000. Johnson B Federal
8 #5, 17 barrels a day, GOR of 2600.

9 In my opinion, when you get down to those
10 low of rates, the influx rate it takes more gas energy
11 to get the oil to the wellbore to produce it, and
12 therefore you see the higher GOR. The Heyco wells
13 have substantially higher GOR. Some of that could be
14 from the sand, but even if they weren't producing from
15 the sand, it's my opinion that their GOR would be in
16 excess of the field average that we're showing of
17 1700.

18 Your previous question you asked about, can
19 one well drain more than 40 acres, I don't think it
20 can. And would a well with additional flow capacity
21 drain more than 40 acres, in my opinion, no. But what
22 could be going on is that you see these wells with
23 lower rates, higher gas/oil ratios. They're using
24 more gas energy to produce a barrel of oil, sometimes
25 as much as twice as much as what the high-flow

1 capacity wells are doing. If there's any detrimental
2 effect, it would be caused by these lower producing
3 wells that could be stealing gas energy from the high
4 producing wells. So, what our proposal is, is to take
5 better use of the existing reservoir energy.

6 EXAMINER STOGNER: Mr. Morrow?

7 EXAMINATION

8 BY MR. MORROW:

9 Q. Did you indicate what the solution gas/oil
10 ratio is and what the bubble point pressure is? Did
11 you testify to that?

12 A. I didn't testify to the bubble point
13 pressure, no, I have not.

14 Q. Do you know the answer to that?

15 A. The bubble point pressure is somewhere
16 around 2000 pounds, and the current reservoir pressure
17 is less than that. We're around 1800 pounds, so we're
18 below the bubble point pressure of the reservoir.

19 Q. And the solution GOR, do you know what that
20 is?

21 A. Solution GOR currently is around 1700.
22 Discovery was less than a thousand.

23 EXAMINER STOGNER: Any other questions of
24 this witness? You may be excused at this time.

25 Mr. Kellahin?

1 MR. KELLAHIN: Thank you.

2 PATTI JEAN PHILLIPS

3 the witness herein, after having been first duly sworn
4 upon his oath, was examined and testified as follows:

5 EXAMINATION

6 BY MR. KELLAHIN:

7 Q. Ms. Phillips, would you please state your
8 name and occupation?

9 A. My name is Patty Jean Phillips and I'm a
10 petroleum geologist with Marathon Oil Company in
11 Midland, Texas.

12 Q. Mrs. Phillips, have you testified before
13 the Division on prior occasions?

14 A. No, I haven't.

15 Q. Summarize for us your geologic education.

16 A. I received a Master's in geology at
17 Louisiana State University in 1983, and I've worked
18 for Marathon eight years, three years offshore in
19 Houston, and almost five years in Midland, Texas, in
20 the Permian Basin.

21 Q. As part of your duties as a geologist for
22 Marathon, have you made a geologic study of the
23 Tomano-Bone Springs?

24 A. Yes, I have.

25 Q. Describe for us in a general way the extent

1 of your study of that pool?

2 A. For two years I've done the reservoir
3 geology in the Tomano-Bone Springs second carbonate
4 reservoir. I've made several maps and described the
5 four existing cores in the field in the second
6 carbonate.

7 Q. You've done that geologic work for purposes
8 other than this particular hearing today, have you
9 not?

10 A. Yes, I have.

11 Q. Have you assisted Mr. Tracy in trying to
12 understand the geology so that you can see if there's
13 a geologic explanation to some of the performance
14 characteristics he's seeing for the producing wells in
15 the pool?

16 A. Yes, I have.

17 Q. Let me direct your attention to Exhibit No.
18 13 and ask you to identify and describe for us your
19 structure map?

20 A. This is a subsurface structure map on top
21 of the second sand which is the regional marker just
22 below the main pay reservoir. Regional dip is to the
23 southeast, and the purpose of this exhibit is to
24 illustrate that the reservoir is not a structural trap
25 but is stratigraphic in nature.

1 Q. In looking at the geologies, do you see any
2 evidence that there is a water component to the makeup
3 of the reservoir?

4 A. There is some water production in the #8,
5 but it is not an active water drive.

6 Q. You concur geologically, then, that you
7 don't see evidence that this reservoir has an active
8 water drive to it?

9 A. That's correct.

10 Q. In the absence of a structural explanation
11 to the reservoir, I presume, then, it's a
12 stratigraphic trap of some type?

13 A. That's correct.

14 Q. Have you attempted to map the limits of the
15 reservoir?

16 A. I have.

17 Q. Is that shown on Exhibit No. 14?

18 A. Yes, I have.

19 Q. Describe it for us.

20 A. This is a porosity thickness map with no
21 porosity cutoff, of the wells in the Bone Springs
22 second carbonate reservoir. As shown, the four
23 high-capacity wells are located in that area of higher
24 porosity thickness, showing that those wells contain
25 greater thicknesses of porosity.

1 Q. When Mr. Tracy sees in the performance of
2 his high capacity wells the ability of those wells to
3 produce significantly in excess of his requested
4 adjustment in the top allowable and that he looks at
5 the field and sees there's other wells producing out
6 of this second carbonate that don't produce as well,
7 is there a geologic explanation to what he sees in
8 terms of production?

9 A. Yes, there is. I've looked at the cores
10 from the Johnson B Federal #5, the Johnson B Federal
11 #4, the Shugart B-2 and the Stedco 10 #1, and they
12 make a good cross-section through the reservoir and
13 illustrate that the higher capacity wells have a
14 vuggian fractured porosity network to them.

15 As you go away from this area, as
16 illustrated by the core and the Shugart B #1 and the
17 #5, those wells have less vuggy porosity and are not
18 as well connected to the main part of the reservoir.

19 Q. Do you have a sample of a cross-section
20 that you could share with us that demonstrates
21 vertically what we see in the reservoir?

22 A. I do. I have only one copy with me.

23 Q. Exhibit No. 15?

24 A. Yes.

25 Q. Let me have you describe it from where you

1 sit.

2 A. This is a stratigraphic cross-section hung
3 on the top of the main pay marker. It's an east/west
4 cross-section that extends from the Stedco 10 #1 in
5 the west through the B-2, the #4, the #5 and the Heyco
6 #2 AJ well. The inset shows the location of the
7 cross-section.

8 On the cross-section, the purple zones are
9 high-flow units and they are high porosity
10 correlatable zones. The purpose of the zonation was
11 for our ongoing reservoir model. These higher
12 porosity zones as identified on the neutron density
13 logs, do correlate to the cored wells which have high
14 vuggy and fracture porosity.

15 So, as you can see going from east to west,
16 the amount of porosity increases and gets thicker
17 towards the east into the B #2 well and the Stedco 10
18 #1 wells, which are two of the wells that we are
19 proposing to increase the allowable in.

20 MR. KELLAHIN: That concludes my
21 examination of Mrs. Phillips. We move the
22 introduction of her Exhibits 13, 14 and 15.

23 EXAMINER STOGNER: Exhibits 13, 14 and 15
24 will be admitted into evidence.

25

1 EXAMINATION

2 BY EXAMINER STOGNER:

3 Q. Now, you show the high-flow zones in
4 purple. What is the makeup of the remainder of that,
5 between your main pay and your second sand?

6 A. Well, the entire Bone Springs second
7 carbonate is predominantly composed of debris flows.
8 The purple zones correlate with the debris flows and
9 in between those, or zones of what we call wacky
10 stone, which have some matrix porosity but do not have
11 the abundant vuggy porosity network that is found in
12 the debris flow intervals.

13 Q. Most of your wells are perforated through
14 that wacky stone interval, is it not?

15 A. Yes, they are. We feel that they are
16 connected by fractures.

17 Q. On your isopach map, Exhibit No. 14, you
18 mention the outer limit. Would you go over this
19 exhibit for me again? I was a little confused.

20 A. Yes, this is a porosity thickness map. It
21 has no porosity cutoff because we feel that perhaps a
22 porosity type might be a better cutoff. And, as
23 shown, the wells in the north half of Section 14 had
24 shows; however, they had shows of oil in the Bone
25 Springs second carbonate and are included within the

1 limit of the reservoir, however, they're not economic
2 wells.

3 Q. So this zone pinches out at the zero line?

4 A. That's correct.

5 Q. You don't show control back to the west.

6 Is there plenty of control in this area?

7 A. No. The fill is delineated on the north,
8 the east and the south sides, but Marathon is pursuing
9 a development program in Section 10 currently. There
10 are no Bone Spring wells in Section 10 other than the
11 two that are shown.

12 EXAMINER STOGNER: Are there any other
13 questions of this witness? If not, she may be
14 excused.

15 Mr. Kellahin?

16 MR. KELLAHIN: That concludes the
17 presentation of our evidence, Mr. Examiner. This is
18 the first case that I'm aware of since the
19 Commission's informal discussion in early October
20 about encouraging an increase in the oil production of
21 the various oil pools in New Mexico. It is
22 specifically brought before you what we think is a
23 well-documented example of a nonsensitive,
24 nonrate-sensitive pool that can support an increased
25 oil rate and meet the requirements that the Commission

1 was talking about in early October. There is a total
2 absence of objection from any of the parties that
3 produce oil in the pool.

4 We believe Mr. Tracy has shown you
5 sufficient engineering information by which you can
6 approve the increase in the oil rate. I think it's
7 important to recognize that we are not asking for an
8 adjustment in the gas rate. The gas/oil ratio can be
9 used as a control mechanism to save reservoir energy.
10 Mr. Tracy has demonstrated to you that in fact the
11 four producing wells are wasting reservoir gas and the
12 high-capacity wells will more effectively and
13 efficiently produce the pool.

14 It's also conclusive that there is no
15 advantage gained over the other operators. The
16 appearance of the reservoir, as Mrs. Phillips shows
17 us, is that there's a geologic explanation as to why
18 the high-capacity wells are high-capacity wells.
19 They, in fact, have more of the reservoir and have
20 greater porosity thickness and a greater development
21 and therefore are entitled to more oil and they can
22 capture that oil without waste and without violating
23 the correlative rights of any of the interest owners
24 in the pool, and therefore we would request that the
25 application be approved.

1 EXAMINER STOGNER: Thank you, Mr.
2 Kellahin. Do you have an Affidavit of Notification?

3 MR. KELLAHIN: Yes, sir, we do. We would
4 like to introduce that as Exhibit No. 16, if we may.

5 MR. MORROW: Mr. Kellahin said something
6 there that I would like to ask him a question about.

7 EXAMINER STOGNER: Mr. Morrow, please
8 proceed.

9 MR. MORROW: If I heard you correctly, you
10 said you didn't request an increase in gas rate?

11 MR. KELLAHIN: Well, not an increase in the
12 statewide 2000-to-1 gas/oil ratio. And that is what I
13 meant.

14 MR. MORROW: You would expect to double the
15 gas limit?

16 MR. KELLAHIN: Certainly. But the
17 controlling mechanism, I think, for the engineers, is
18 that ratio, the 2000-to-1, and we're not asking to
19 change that.

20 MR. STOVALL: You have to watch yourself
21 around those engineers, Mr. Kellahin.

22 MR. KELLAHIN: Making sure you're paying
23 attention.

24 EXAMINER STOGNER: Does anybody else have
25 anything further in Case No. 10115?

1 If not, this case will be taken under
2 advisement.

3 (Thereupon, the proceedings concluded.)

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 CERTIFICATE OF REPORTER

2

3 STATE OF NEW MEXICO)
 4) ss.
 5 COUNTY OF SANTA FE)

6

7 I, Carla Diane Rodriguez, Certified
 8 Shorthand Reporter and Notary Public, HEREBY CERTIFY
 9 that the foregoing transcript of proceedings before
 10 the Oil Conservation Division was reported by me; that
 11 I caused my notes to be transcribed under my personal
 12 supervision; and that the foregoing is a true and
 13 accurate record of the proceedings.

14 I FURTHER CERTIFY that I am not a relative
 15 or employee of any of the parties or attorneys
 16 involved in this matter and that I have no personal
 17 interest in the final disposition of this matter.

18 WITNESS MY HAND AND SEAL November 14, 1990.

19

Carla Diane Rodriguez
 CARLA DIANE RODRIGUEZ
 CSR No. 91

20

21 My commission expires: May 25, 1991

22

23

24

25

I do hereby certify that the foregoing is a true and accurate record of the proceedings heard by me on 31 October 1990.
Michael E. Brown
 Oil Conservation