

1 STATE OF NEW MEXICO
2 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
3 OIL CONSERVATION DIVISION
4 CASE 10140

5
6
7 EXAMINER HEARING

8
9 IN THE MATTER OF:

10
11 Application of OXY USA, INC., for a
12 Waterflood Project, Lea County,
13 New Mexico

14
15
16 TRANSCRIPT OF PROCEEDINGS

17
18 BEFORE: MICHAEL E. STOGNER, EXAMINER

19
20 STATE LAND OFFICE BUILDING
21 SANTA FE, NEW MEXICO
22 October 31, 1990

23
24 **ORIGINAL**
25

A P P E A R A N C E S

FOR THE DIVISION:

ROBERT G. STOVALL, ESQ.
Legal Counsel to the Division
Post Office Box 2088
State Land Office Building
Santa Fe, N.M. 87504-2088

FOR THE APPLICANT:

W. THOMAS KELLAHIN, ESQ.
Kellahin, Kellahin & Aubrey
Post Office Box 2265
Santa Fe, N.M. 87504-2265

1	I N D E X		
2			Page Number
3	Appearances		2
4	REBECCA A. EGG		
5	Examination by Mr. Kellahin		5
6	Examination by Hearing Examiner		15
7	Certificate of Reporter		18
8	E X H I B I T S		
9	APPLICANT'S EXHIBITS:		
10	Exhibit 1		5
11	Exhibit 2		5
12	Exhibit 3		7
13	Exhibit 4		7
14	Exhibit 5		8
15	Exhibit 6		14
16	Exhibit 7		14
17	Exhibit 8		15
18			
19			
20			
21			
22			
23			
24			
25			

1 EXAMINER STOGNER: This hearing will come
2 to order again. Call next case, No. 10140.

3 MR. STOVALL: Application of OXY USA, Inc.,
4 for a waterflood project, Lea County, New Mexico.

5 EXAMINER STOGNER: Call for appearances.

6 MR. KELLAHIN: Mr. Examiner, I'm Tom
7 Kellahin of the Santa Fe Law Firm of Kellahin,
8 Kellahin & Aubrey, appearing on behalf of the
9 Applicant, and I have one witness to be sworn.

10 EXAMINER STOGNER: Will the witness please
11 stand to be sworn.

12 MR. KELLAHIN: Mr. Examiner, Rebecca Egg is
13 a petroleum engineer with OXY. She has appeared
14 before the Division on past occasions and she is my
15 witness today.

16 EXAMINER STOGNER: Ms. Egg, you've also
17 been qualified as a geologist before the Division, is
18 that correct?

19 THE WITNESS: Yes, I have.

20 EXAMINER STOGNER: Ms. Egg is so
21 qualified.

22 REBECCA A. EGG
23 the witness herein, after having been first duly sworn
24 upon her oath, was examined and testified as follows:
25

1 EXAMINATION

2 BY MR. KELLAHIN:

3 Q. Ms. Egg, let me have you take what is
4 marked as Exhibit No. 1 and simply identify for us
5 what this shows?

6 A. Exhibit 1 is a map showing the leases in
7 the Mescalero San Andres field. Highlighted in pink
8 is our State BN lease, the lease in which we hope to
9 get approval to initiate a waterflood pilot.

10 Q. This waterflood pilot project is a lease
11 waterflood, then?

12 A. Yes, it is.

13 Q. When we look at the southwest quarter of
14 Section 14, the Wells 1, 2, 3 and 4 are oil wells
15 drilled on 40-acre spacing?

16 A. Yes, they are.

17 Q. From what formation do they produce?

18 A. They produce from the San Andres.

19 Q. Let's take a look, in connection with
20 Exhibit No. 1, at Exhibit No. 2 and have you show us
21 what is the producing interval and the proposed
22 injection interval for the injector well.

23 A. Exhibit 2 is a cross-section that runs from
24 northeast to a southwest direction, from the State BN
25 #1 to the State BN #2, crossing our proposed location

1 for the State BN #5, the injection well.

2 Marked on this cross-section are the
3 perforations that are currently in the two producing
4 wells, the BN #1 and BN #2. This also shows our
5 proposed injection interval in the State BN #5 as
6 being part of the San Andres.

7 Q. Describe in general terms what the plan is
8 for drilling the injector and utilizing this injector
9 for purposes of a waterflood project. What's the
10 plan?

11 A. We plan to drill the State BN #5 in the
12 center of the State BN lease and inject water that we
13 currently collect from the San Andres producers.

14 Q. What is your anticipated result once you do
15 that?

16 A. We hope to show that we can indeed recover
17 secondary oil in this field.

18 Q. What is the current status of the four
19 producing wells in the southwest quarter of Section
20 14?

21 A. One well produces approximately eight
22 barrels of oil per day. Another is down to five, and
23 the other two are marginal, really uneconomical, at
24 one or two barrels of oil per day, as are many of the
25 other wells in the Mescalero San Andres field.

1 Q. As a reservoir engineer, based upon your
2 study of this area, do you have a general range of
3 expectation of the additional oil recovery that you
4 might expect if this is a successful operation?

5 A. A reservoir model, a black oil model was
6 run on a 160-acre tract in this field, showing that we
7 can anticipate a recovery of 12 percent of the
8 original oil in place through secondary recovery.

9 Q. Have you prepared a display that shows the
10 Examiner the reservoir parameters and your recovery
11 predictions for the project?

12 A. Yes. Exhibit 3 gives some basic
13 information concerning the reservoir in this field,
14 and it also shows some reserve numbers and recovery
15 prediction for the field as a whole.

16 Q. Let's turn now to Exhibit No. 4. Would you
17 identify and describe that?

18 A. Exhibit 4 gives our last well tests that
19 were submitted to the State for the four wells on the
20 State BN lease.

21 Q. When we look at the San Andres reservoir
22 that's being produced by these four wells, they
23 produce oil, some gas and some water?

24 A. Yes, they do.

25 Q. Is there sufficient water being produced

1 out of the reservoir that that can satisfy all your
2 needs for water injection into the injector?

3 A. It is likely that it will. We currently
4 collect from the entire field about 250 barrels of
5 water per day which is currently disposed of through
6 another system. We plan to use the San Andres
7 produced water as our injection water.

8 Q. Do you desire to have the flexibility,
9 however, to use other makeup water to supplement the
10 reinjection of the produced water in order to have an
11 effective and efficient operation?

12 A. Yes, we do. If the injection well will
13 take more than 250 barrels of water per day on the
14 vacuum, we would like to have the option of using
15 Ogallala water to make up the additional water.

16 Q. In terms of pressuring up the reservoir,
17 are you satisfied initially that you can stay within
18 the .2 psi per foot of depth guideline the Division
19 uses as a benchmark for surface injection limitation?

20 A. Absolutely. Because of the fractured
21 nature of the reservoir, we definitely do not want to
22 inject at high pressures.

23 Q. Let me ask you to direct your attention now
24 to Exhibit No. 5. Exhibit No. 5 is the C-108 form and
25 the attachments for this project?

1 A. Yes.

2 Q. For Exhibit 5 you, in fact, have numbered
3 all the pages of that exhibit?

4 A. Yes.

5 Q. Let's turn beyond the form itself and
6 direct you to page 5. This schematic shows what?

7 A. Page 5 is a plat of the State BN lease.

8 Q. The plan is that the injector is identified
9 as the #5 well, and it will be physically located,
10 then, within the northeast quarter of the southwest
11 quarter?

12 A. Yes, that's correct.

13 Q. What's page 6?

14 A. 6 is the survey plat from John West
15 Surveys, showing the location of the proposed
16 injection well.

17 Q. And page 7?

18 A. 7 is a map showing the area of the
19 Mescalero San Andres field and the surrounding
20 sections.

21 Q. I recognize that this is on a small scale
22 and it's a little difficult to read. Let me have you
23 describe for us whether or not you and others working
24 with you have made an inventory of all the wells that
25 either are completed in or penetrated through the San

1 Andres within the half-mile radius circle shown on
2 this display?

3 A. Yes, those wells have been investigated.

4 Q. As part of that investigation and in
5 compliance with the Form C-108, have you caused to be
6 prepared a tabulation of that wellbore information?

7 A. Yes. That information is included in the
8 application.

9 Q. All right. When we go to page 8, that is a
10 summary of the project?

11 A. Yes, it is.

12 Q. Describe for us the significant parts that
13 you have not already discussed.

14 A. This exhibit gives some details about the
15 injection well that we're proposing to drill.

16 Q. Let me invite your attention to the
17 injected interval. It says 4100 to 4200 feet through
18 perforation?

19 A. Yes, that's correct. We plan to inject
20 into the top part of the San Andres where most of the
21 reservoir volume is located. Some of the wells are
22 also perforated in the lower part. We would like the
23 option at some future date of also waterflooding the
24 remainder of the San Andres, just depending on the
25 results of this pilot.

1 Q. So you're seeking approval of the injection
2 of water into the San Andres formation and not
3 necessarily limited to this specific hundred-foot
4 interval as shown on this display?

5 A. That's correct.

6 Q. And that would give you additional
7 flexibility for future operations if you decided to
8 flood some other portion of the San Andres?

9 A. Yes.

10 Q. Do you see any problem in doing that? Is
11 there any problem in flooding other portions of the
12 San Andres?

13 A. No, but to properly evaluate the pilot, we
14 want to first attempt to flood the portion of the
15 reservoir that appears to be most applicable to
16 flooding, most amenable.

17 Q. The operation of the injector will be in
18 compliance with Division rules, and you'll have some
19 way to monitor the annular space between the tubing
20 and the casing?

21 A. Yes. We plan to do that as the Division
22 requires.

23 Q. You'll otherwise complete your injector
24 well as the Division requires?

25 A. Yes.

1 Q. Let's turn now to the tabulation of the
2 wellbore information within the one-half-mile radius.
3 Have you prepared for the Examiner and included in the
4 exhibit schematics for any plugged and abandoned
5 wells?

6 A. Yes, we have. The schematics for the wells
7 that are listed as #1 and #2 and then also in this
8 exhibit there are two more wells that were drilled and
9 abandoned are included in the exhibit.

10 Q. Let's talk about the plugged and abandoned
11 wells. As an expert, do you find any of those wells
12 that you want to comment on?

13 A. There is one well, the C. H. Juni White
14 #2. That schematic is on page 14 of Exhibit 5.

15 Q. Okay.

16 A. In that well there's no record of a plug
17 being set across the surface casing shoe. However, we
18 feel that the primary cement as the two bridge plugs
19 and the three cement plugs that are set between the
20 San Andres and the Ogallala, would be sufficient to
21 protect that fresh water supply.

22 Q. What does your investigation show you to be
23 the deepest point at which fresh water is produced in
24 this immediate area?

25 A. We were given the information from the

1 Artesia office that the base of the Ogallala is at 150
2 feet in this area.

3 Q. With the exception of this one wellbore
4 which, nevertheless in your opinion is adequately
5 plugged, do all the other producing and plugged wells
6 have casing strings set deep enough to protect fresh
7 water sands?

8 A. All other wells have surface casing set
9 below 350 feet.

10 Q. In making your investigation of the
11 producing and plugged and abandoned wells within the
12 area of review, do you find any that give you concern
13 about the mechanical integrity of those wells?

14 A. No.

15 Q. You don't see any evidence that there's
16 open faulting or fracturing that would cause injection
17 fluids to migrate out of the San Andres and move up
18 into the shallow fresh water sands?

19 A. No, I have no evidence of any fracturing
20 above the San Andres.

21 Q. And the mechanical integrity of all the
22 wellbores you've examined is such that you can isolate
23 out the injected fluids from the San Andres and keep
24 them separate and apart from the fresh water sands?

25 A. Yes.

1 Q. Have you made an analysis or had an
2 analysis made in your behalf to show the
3 compatibilities in the event that you have to take
4 Ogallala water and use it as makeup water in order to
5 have sufficient volumes for injection?

6 A. Yes. The compatible study is included in
7 Exhibit 7.

8 Q. All right. And what does it show?

9 A. This shows that there is some scaling
10 tendency for calcium carbonate scale between the fresh
11 water and the San Andres water. However, it wasn't so
12 great that we could not treat for this problem and
13 eliminate it through chemicals.

14 Q. As part of the operation plan you simply
15 treat it and take care of the scaling problem?

16 A. That's correct.

17 Q. And Exhibit No. 6, I think you commented
18 on, it's a supplement to the C-108 and shows the
19 tabulation of a schematic, the wellbore information
20 for two other wells?

21 A. Yes, we had missed two drilled and
22 abandoned wells that were within that half-mile radius
23 on the initial application.

24 Q. With that supplement, then, have you
25 tabulated all the plugged and abandoned wells within

1 the half-mile radius?

2 A. Yes.

3 Q. And this is a State of New Mexico oil and
4 gas lease in the southwest quarter of 14?

5 A. Yes.

6 Q. Have you received any objection from any of
7 the parties notified of your application?

8 A. I'm aware of no objections being filed on
9 this.

10 MR. KELLAHIN: Mr. Examiner, we'll mark and
11 introduce, if we may, Exhibit No. 8, which is the
12 certificate of mailing.

13 EXAMINER STOGNER: The State of New Mexico
14 is the surface owner, is that correct?

15 MR. KELLAHIN: That is our understanding,
16 and the last return receipt card shows notice to the
17 Oil & Gas Division of the State Land Office.

18 That concludes my examination of Ms. Egg.
19 We move the introduction of Exhibits 1 through 8.

20 EXAMINER STOGNER: Exhibits 1 through 8
21 will be admitted into evidence.

22 EXAMINATION

23 BY EXAMINER STOGNER:

24 Q. You have a location of 1410 from the south,
25 1405 from the west, is that correct?

1 A. That's correct.

2 Q. Will you start a water injection
3 immediately upon completion?

4 A. Yes, we will. The model predicts that it's
5 going to take a year to see response in any case, so
6 we're anxious to get on with it since we do have some
7 uneconomical leases in the field.

8 Q. Are there any plans to check production on
9 this well or put this well on production prior to
10 injection?

11 A. If we were to swab some oil during its
12 completion, we might want to just get a test for
13 science's sake. But, as I said before, we don't have
14 any plans for installing any pumping equipment. We
15 plan to put the well on injection right away.

16 Q. And such a test would be in the best
17 interest of planning the waterflood, is that correct?

18 A. It would possibly allow a check upon
19 expects that are a result of the modeling. We
20 anticipate--

21 Q. It would be for waterflood testing purposes
22 only, right?

23 A. Yes.

24 Q. You have this design to go down to 4500
25 feet, yet the injection interval of 41- to 4200, you

1 did request, perhaps in the future, to open up more
2 zones and flood in other areas, is that correct?

3 A. There is some pay that occurs in some wells
4 in the lower part of the San Andres, and we would like
5 to allow ourselves the future option of perhaps also
6 putting those zones on waterflood.

7 EXAMINER STOGNER: Are there any other
8 questions of this witness? If not, she may be
9 excused.

10 Does anybody else have anything further in
11 this case? If not, this case will be taken under
12 advisement.

13 (Thereupon, the proceedings concluded.)
14
15
16
17
18
19
20
21
22
23
24
25

CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)


I, Carla Diane Rodriguez, Certified
Shorthand Reporter and Notary Public, HEREBY CERTIFY
that the foregoing transcript of proceedings before
the Oil Conservation Division was reported by me; that
I caused my notes to be transcribed under my personal
supervision; and that the foregoing is a true and
accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative
or employee of any of the parties or attorneys
involved in this matter and that I have no personal
interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL November 14, 1990.


CARLA DIANE RODRIGUEZ
CSR No. 91

My commission expires: May 25, 1991

I hereby certify that the foregoing is
a true and accurate transcript of the
proceedings before the Oil Conservation Division
and by me on 31 October 1990
, Examiner
Oil Conservation Division