

STATE OF NEW MEXICO
ENERGY AND MINERALS DEPARTMENT
OIL CONSERVATION DIVISION
STATE LAND OFFICE BLDG.
SANTA FE, NEW MEXICO

3 May 1984

EXAMINER HEARING

IN THE MATTER OF:

Application of Belco Development	CASE
Corp. for HARDSHIP GAS WELL CLASS-	8178
IFICATION, Eddy County, New Mexico.	

BEFORE: Richard L. Stamets, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Oil Conservation	W. Perry Pearce
Division:	Attorney at Law
	Legal Counsel to the Division
	State Land Office Bldg.
	Santa Fe, New Mexico 87501

For the Applicant:	W. Thomas Kellahin
	Attorney at Law
	KELLAHIN & KELLAHIN
	P. O. Box 2265
	Santa Fe, New Mexico 87501

I N D E X

CARL M. HOUSER

Direct Examination by Mr. Kellahin	3
Cross Examination by Mr. Stamets	19
Questions by Mr. Clements	20

E X H I B I T S

Belco Exhibit One, Map	4
Belco Exhibit Two, Application	5
Belco Exhibit Two-A, Document	6
Belco Exhibit Two-B, Schematic	10
Belco Exhibit Two-C, Plat	11
Belco Exhibit Two-D, Decline Curve	11
Belco Exhibit Two-E, Pumper's Report	13
Belco Exhibit Two-F, Daily Progress Report	14
Belco Exhibit Three, Recorder Chart	14
Belco Exhibit Three-A, Recorder Chart	15
Belco Exhibit Three-B, Recorder Chart	15
Belco Exhibit Three-C, Recorder Chart	16
Belco Exhibit Four, Recorder Chart	16
Belco Exhibit Four-A, Recorder Chart	16
Belco Exhibit Five, Letter	18
Belco Exhibit Six, Log	18

1
2
3 MR. STAMETS: We'll call next
4 Case 8178.

5 MR. PEARCE: That case is on
6 the application of Belco Development Corporation for a Hard-
7 ship Well Classification, Eddy County, New Mexico.

8 MR. KELLAHIN: If the Examiner
9 please, I'm Tom Kellahin of Santa Fe, New Mexico, appearing
10 on behalf of the applicant and I have one witness to be
11 sworn.

12 MR. PEARCE: Are there other
13 appearances in this matter?

14 (Witness sworn.)

15 CARL M. HOUSER,
16 being called as a witness and being duly sworn upon his
17 oath, testified as follows, to-wit:

18
19 DIRECT EXAMINATION

20 BY MR. KELLAHIN:

21 Q Mr. Houser, for the record would you
22 please state your name and occupation?

23 A I'm Carl M. Houser. I'm employed by Bel-
24 co Petroleum Corporation. I currently work as a production
25 superintendent for the Gulf Coast District, West Texas and
New Mexico areas.

1
2 Q Mr. Houser, have you previously testified
3 as a petroleum engineer before the New Mexico Oil Conserva-
4 tion Division?

5 A Yes, I have.

6 Q And pursuant to your employment by Belco
7 Development Corporation have you prepared certain exhibits
8 and made a study of the well that's the subject of this ap-
9 plication?

10 A I have.

11 MR. KELLAHIN: We tender Mr.
12 Houser as an expert petroleum engineer.

13 MR. STAMETS: He is considered
14 qualified.

15 Q Mr. Houser, let me have you turn first of
16 all to what you've marked as Exhibit Number One and have you
17 identify for us the Morrow field that the subject well is
18 located in.

19 A This map shows the South Carlsbad Morrow
20 Field. The red dots represents the wells that are currently
21 producing. The blue dots represent the wells that are tem-
22 porarily abandoned.

23 This data was taken from the December,
24 1983 New Mexico Statistical Reports. At this time there
25 were 72 wells producing from the field of which 34 were pro-
ducing less than 100 Mcf per day.

Q Let me direct your attention, Mr. Houser,
to Section 5 in Township 22 South, Range 27 East, and have

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

you locate for us the subject well that you're applying for a hardship gas well classification for.

A We're applying for a hardship gas well classification on the Union Mead No. 3, which is represented by the red arrow that points to the Union Mead No. 3.

Q What is the 320-acre spacing and proration unit assigned to that well?

A 320 acres.

Q Yes, sir, and how is it oriented in the section?

A It's north/south, or the east half of the section.

Q All right, looking in the southwest corner of Section 5, what is the well identified by the blue arrow?

A That is the Jarvis Mead No. 1.

Q Okay. What is the reason you're seeking hardship gas well classification for the No. 3 Well?

A Because of excessive water production and decreasing productivity in gas.

Q All right, sir. Let's turn if you will, Mr. Houser, to Exhibit Number Two. Would you identify for us Exhibit Number Two?

A Exhibit Number Two is Application for Classification of a well as a hardship gas well.

Q And who's the transporter for the gas produced out of the Union Mead No. 3 Well?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A Llano, Incorporated.

Q Do you have an opinion to express to the Examiner concerning the minimum rate on a daily basis below which the subject well cannot be restricted without causing damage and waste?

A On our original application we requested 850 Mcf but this well can be restricted to less without -- anywhere from, I'd say, 650 up to 700, and --

Q All right, in your opinion if that minimum rate requested is set at 700 Mcf a day would that be a rate sufficient to allow this well to be produced in a manner that's effective and efficient and that would not otherwise damage the formation or the well?

A I think 700 would give us a good production rate for the well.

Q All right, sir, let's turn to the Exhibit Number Two-A, Mr. Houser, and describe for us in some detail what has been the history of the Union Mead No. 3 Well?

A Okay. During February of '84 this well produced at an average rate of 713 Mcf per day with 3/10ths barrel of condensate and 118 barrels of salt water per day on compression.

Now, production tests taken on that well, as shown here in the -- on April the 3rd of '84, the well produced 720 Mcf per day and that is a field calculation for the well with gravity and flowing tubing -- and compressibility and flowing temperature not taken into consideration.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

At this same time this well produced 125 barrels of salt water on a 3/4 inch choke with flowing tubing pressure of 200 psig and a line pressure of 600 psig.

Q Would you describe generally in a brief fashion what has been the history of the well insofar as its sensitivity to liquids and to your efforts and ability to produce the well?

A Well, generally, if we allowed the -- if the well starts logging up or anything, we must immediately get it unloaded or get it so that we can retain production. Normally it's gone ahead and log up on us, require a bunch of core swabbing.

Q At some point in the life of the well I believe the operator has attempted to solve the liquid problem in the well by changing out the tubing string.

A This is correct. In November -- I mean October 20, 1980 we changed the -- the 2-7/8ths inch tubing out and replaced it with 2-3/8ths inch tubing to obtain better flowing characteristics.

Q All right, sir, and what happened as a result of that change?

A After swabbing the well in the well has produced considerably better. Now it required 12 days to swab that well in at the time that we changed all this tubing out.

And then we had to alternately flow the thing and unload to keep it going.

1

8

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

Q Do you have an opinion as to whether or not you could change out the tubing size again in this well and minimize the liquid problems in this well?

A Smaller tubing would probably give us a greater velocity and less fallback but at the same time we are looking at friction which is going to begin to take hold and cause us to drop back or have more fallback.

Q In addition you would have to kill the well to make the change out in tubing, would you not?

A That is correct, the way we're mechanically arranged.

Q In your opinion would that cause an unnecessary risk of damaging the well?

A It would cause the possibility of probably not being able to swab the well back in.

Q All right, sir, have you attempted to install compression on the well in order to solve the liquid problem?

A Yes. On January 26th, '82 we installed compression and -- on the well, and during the later part of March of '82 we -- the well did load up on us and die at that point, and at this time it required ten days of swabbing to get this well back in.

And then it had to unload it, just alternately unload and flow to the sales system to keep the well going.

Q All right, sir, do you have an opinion as

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

to what is the source of the water in this Morrow well?

A Yes. It appears to be coming from the Lower Morrow section.

Q In your opinion would it be reasonable for the operator to attempt to cut off that water flow by recompleting the well in the Upper Morrow section or attempt to take action that would isolate the water flow from the Lower Morrow section?

A No, it would not, because we tried this on the offsetting well, the Jarvis Mead No. 1.

Q This is the well to the west of this --

A West, right.

Q All right, sir.

A No. 1 Well.

Q What did you attempt to do?

A We tried to shut off the -- ran a suite of production logs and determined that the water was coming from the Lower Morrow intervals. So we moved in and set a two tubing bridge plug, dumped cement on it, and then went in with coil tubing, dumped additional cement, and tried to swab the upper portion of the well in.

Well, that didn't work so we had to come out of the hole with the tubing and when we went back to the workover the end result was that it lost practically all production from the Upper Morrow section.

Q How is that well now completed? In what formation?

1
2 A Currently we are producing from what
3 would be classified as the Morrow carbonate, which is up
4 above the sand sections.

5 Q All right, sir. Mr. Houser, is there a
6 market for the gas produced from this well and is there a
7 purchaser if you're allowed to produce at a rate approximat-

8 A Yes, there is, and this is shown by Exhi-
9 bit Number Five.

10 Q All right, sir, who is the purchaser of
11 the gas?

12 A Llano, Incorporated.

13 Q All right. Let's go through some of the
14 rest of your exhibits here, Mr. Houser.

15 Let's turn to Exhibit Number Two-B, if
16 you please, and have you identify that one for us.

17 A Exhibit Number Two-B is a schematic show-
18 ing the -- where the casing and all, tubing and everything
19 was set, or what kind of packer we have in the hole, where
20 it's set. Also it shows the perforated interval that we
21 have in the well.

22 Q All right, and these Morrow intervals do
23 correlate to the Morrow intervals in the Jarvis Mead Well?

24 A The Lower Morrow intervals you can corre-
25 late across.

The Upper Morrow intervals you cannot
correlate, but what we call the Upper intervals there, which

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

you will note show the Mead zone, what we classify as the Mead zone, I believe 7 wells in the area that have that section in it, you can correlate those intervals.

Q All right, sir, and if you'll turn to Exhibit Number Two-C and identify that for us.

A This is the proration unit showing the 320 acres assigned to the Union Mead No. 3.

Q All right, sir, and you also show the Belco Jarvis Mead No. 1 Well down in the southeast quarter in the southwest quarter?

A Correct.

Q All right. All right, sir, let's look at Exhibit Number Two-D. What is this exhibit, Mr. Houser?

A This is a decline curve from inception of the well to -- up through the March, showing our production.

The red line represents the gas production from the well. The blue line represents the water production from the well. The black shows the condensate production. The green represents the flowing tubing pressure from the well.

Q Let me direct your attention to the year 1976 and have you explain what has occurred in the well at that point to cause the break in the production.

A In 1976 it -- our gas contract -- emergency gas contract expired and the well was closed in till we could obtain a market.

Q All right, sir, and later in '76 then you

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

restored your market and started producing the well again?

A That is correct.

Q If you'll go down to 1980 in July and August, September, October, of 1980, what has occurred at that point in the life of the well?

A At that time we, as you can note on the water production was increasing and it got to the point that we could not keep the well fully unloaded. So after attempting to try to keep the well on-stream, we finally exchanged out the tubing and went to the 2-3/9ths tubing to obtain better flowing characteristics and put the well back on production.

Q All right, sir, if you'll look at the entry in 1982 in April, April and May of 1982, what is the explanation for the sharp up and down action in the production curve?

A This is where we loaded up, after putting on the conversion, loaded up and had to swab the well in.

Q In your opinion, Mr. Houser, has the operator, Belco Development Corporation, taken all reasonable action as a prudent operator to attempt to keep this well producing at a rate that allows it not to be over produced according to the allowable formulas established by the Commission?

A Yes, we have, with the amount of water the well is producing.

Q Have you examined and are you familiar

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

with the Commission rules concerning the hardship gas well classification?

A Yes.

Q And have your exhibits conformed to the requirements in that order?

A Yes. I tried to make them conform with everything that was requested by their exhibit.

Q All right, sir, in your opinion is this well entitled to hardship gas well classification?

A Yes, in my opinion this well is entitled to a hardship gas well classification, especially if allowables are going to be cut to such a point that they were in the mid-eighties, '83 there, because we cannot close the well in and we're going to have to produce above these allowables to keep the well flowing.

Q All right, sir, and that minimum rate which will be the minimum sustainable rate at which the well will flow, in your opinion is that range between, I believe you said 680 Mcf a day and 700 Mcf a day?

A Right, that's it, 6 or 700.

Q All right, sir. Let me direct your attention and not have you describe in detail but to identify for us what Exhibit Number Two-D is -- I'm sorry, Two-E.

A Two-E is the monthly pumper's report which shows the flowing tubing pressure; also gives us the size choke, the differential line pressure, the amount of daily gas production, water production, and also the tank

1
2 gas.

3 Q All right, sir, and you have provided one
4 of those monthly tabulations commencing with March of '82
5 down to the latest one.

6 A Not -- they're not continuous but we
7 picked out the sheets that would show the better data for
8 the well and what was going on and where we were having dif-
9 ficulty.

10 Then at the latter part they are contin-
11 uous.

12 Q All right, sir, and would you identify
13 for us Exhibit Two-F? What is that?

14 A Two-F is the -- our daily progress re-
15 port, which shows what we went in and did on the well when
16 we changed out the tubing, how long it took us to re-estab-
17 lish flow. It shows where compression was set and how long
18 after the well died after -- how long it took us to swab it
19 in.

20 And then as you progress further through
21 the report, it just shows how much our daily production,
22 water per day, daily production is, what our oil, gas, and
23 salt water production and our flowing pressures.

24 Q All right, sir, let me direct your atten-
25 tion to the charts, pressure charts, commencing with Exhibit
26 Three, and have you go through those production -- I mean
27 pressure charts with us and tell us what has occurred.

28 A Exhibit Number Three is a recorder chart.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

We put on these recorder charts to show that the well would start loading up with a decrease in choke allowing the water to drop back.

This chart number three, the flowing tubing pressure was 200 pounds on a 3/4 inch choke.

Q All right, sir, and Exhibit Number Three-A.

A Exhibit Number Three-A we reduced the choke from a 3/4 to a 30/64th choke. As you note, there is really no decrease. You can see no decrease in the flowing tubing pressure. It still tracks very well on the 200 pound pressure line.

Okay, for the 24 hours that well flowed at the rate of 700 Mcf per day, zero barrels of condensate and 150 barrels of salt water.

Q Okay, Three-B.

A Three-B shows us we're still reducing the choke. We reduced to 23/64th choke at 6:00 a. m.

At 12:15 a. m. -- or p. m., pardon me, we had a flowing tubing pressure of 235 pounds with a gas volume of 680 Mcf per day.

Our line pressure had dropped upon us and we had 580 pounds of line pressure and from the time the choke was reduced to 12:15 we produced 33 barrels of salt water.

Okay, to 4:00 p.m. we had produced 81 barrels of salt water.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

For the day we had produced only 129 barrels of salt water as compared to the previous day of 150.

Q All right, charts Three-C.

A Three-C, the chart was put on at 6:25 a. m.. We're still on a 23/64th choke. At 12:45 p. m. we had a flowing tubing pressure of 235 pounds with a gas volume of 610 Mcf per day, no condensate, and 39 barrels of salt water.

You can note that starting about 12:00 and coming on around, you're beginning to see some fluctuation in your recorder chart; not great but the more up and downs to it.

Then at 2:00 p. m. we gauged everything again and checked it out and at 2:00 p.m. we had a flowing tubing pressure of 210 pounds with a gas volume of 560 Mcf, and we had produced only 41 barrels of salt water, which was two barrels of salt water above what we had at the gauge at 12:45 p.m.

Q What does that tell you, Mr. Houser?

A It tells me that the well was beginning to load up; that we were beginning to drop water back on formation.

Q All right, sir. Would you identify for us Exhibits Four and Four-A?

A Yes, Exhibit Number Four is a gas chart which shows a line pressure entered. It really shows a static and a differential pressure on the well and the period

1
2 from before the 23 is shown there. You can observe we are
3 beginning to see a decrease in differential and you're not
4 really seeing a decrease in your static pressure.

5 Then on the 24th we are -- you can see
6 that the differential is running approximately 10 inches.

7 MR. STAMETS: What is the dif-
8 ference between the 23rd and 24th on this chart? I see 4-
9 23-84. Is that --

10 A Yes, that goes into the 24th.

11 MR. STAMETS: Okay, I --

12 A And then on the next page you have the 2-
13 24th-84. They had a chart change on us so we had to steal
14 both charts.

15 Okay, on the 4-24, which will show the
16 full 24-hour period there, I'd say we had ten inches of dif-
17 ferential with a little variation in static pressure.

18 Then on the 25th for some reason the line
19 pressure dropped considerably but also our differential
20 started dropping and there at 2:00 p.m. we opened to a 3/4
21 chart -- choke, rather, and at this particular point we can
22 come back, I hand calculated that and came up with 456 Mcf
23 where the field calculations showed the volume on the re-
24 corded chart at 5-something, 560, I believe.

25 So there's not too much variance in be-
tween the two taking in gravity, flowing, compressibility,
flowing temperature, and everything, by hand calculating
these volumes at that particular point.

1
2 At that point we opened back to a 3/4
3 inch choke and as you can see we had quite a variance in
4 fluctuation and a continued or -- our line pressure on the
5 following day continued to go down, which would also in-
crease the differential on a well.

6 Q Mr. Houser, would you identify Exhibit
7 Number Five for us?

8 A Exhibit Number Five is a letter from
9 Llano, Incorporated, stating that they would take all of the
10 gas from this well.

11 Q All right, sir, and Exhibit Number Six, a
12 copy of the log of the well?

13 A Yes. This is a copy of the log and
14 referring back to this log, the -- we show the top of the
Lower Morrow section there.

15 Now this Lower Morrow section from our
16 correlations is in connection which we can correlate it
17 across to the Jarvis Mead No. 1, which is already previously
18 watered out.

19 Now the Upper Morrow we cannot correlate
20 with anything in the area and that's -- and then you come
21 back up to what we refer to as the Mead zone. Now these
22 zones you can correlate about seven wells in that particular
23 area, and that is just -- they're just located in this, in
the area.

24 Q In your opinion, Mr. Houser, unless this
25 application is approved, will underground waste occur with

1
2 regards to the proration unit involved for the subject well?

3 A Yes, it will. If we cannot keep the well
4 flowing we're going to.

5 Now I have the reserves and everything,
6 estimated reserves that were presented in the application.
7 It shows how much we expect to recover from the well.

8 Q All right, sir. Were the exhibits that
9 you've discussed, Exhibit One through Exhibit Six, prepared
10 by you or compiled under your direction and supervision?

11 A They were.

12 MR. KELLAHIN: Mr. Examiner, we
13 move the introduction of Exhibits One through Six.

14 MR. STAMETS: These exhibits
15 will be admitted.

16 CROSS EXAMINATION

17 BY MR. STAMETS:

18 Q Mr. Houser, what other options do you
19 have to take care of this water? Install a beam pump, what
20 else?

21 A We could install a beam pump but as much
22 in the depth that we will probably be pumping from, I don't
23 think the beam pump will keep us -- will take care of us.

24 Now, the only other thing that I can
25 really see, that if the well was forced to be closed in and
died on us, we would have to install gas lift valves and
we'd have to take gas from Llano initially to get the well

1
2 to kick off, and we're just hoping it would not damage the
3 Morrow formation enough that we'd lose the productivity dur-
4 ing this time that we're going to be down getting all of
5 this done.

6 QUESTIONS BY MR. CLEMENTS:

7 Q Haven't you ever talked about a plunger
8 lift, Carl, or Mr. Houser?

9 A Yes. Not on this particular well. We
10 have some plunger lifts working in the South Salt Lake Field
11 and in the Revelation Field, but none of them are producing
12 the amount of water this well is producing.

13 This is my concern on it. The well will
14 load up while we're dropping our plunger back and we will
15 not be able to keep the well fully unloaded with just a
16 plunger lift alone.

17 Q Is this characteristic of this formation
18 to -- over here on your Number Two-D, to have a sudden in-
19 crease of water production? Is this characteristic of this
20 whole area or --

21 A On the Jarvis Mead No. 1, when we com-
22 pleted that well it was water free. Within approximately
23 ten to twenty days after putting the well on stream, the
24 water was up to -- running from about 12 to 20 barrels and
25 just shot on up immediately to about 70 barrels a day.

Now I have some figures here that will
show how much that Jarvis Mead -- how much water it produced

1
2 during its life. We're showing 133,500 barrels of salt
3 water being produced from the Jarvis Mead and it produced
4 approximately 2.8 billion of gas with very little conden-
5 sate, about 3600 barrels of condensate.

6 So it seems that the water just moves in
7 on us and we go on up on our -- all of a sudden it moves in
8 and we increase in --

9 Q And no one that you're aware of in that
10 area has had any -- any type of success with squeezing or --
11 or blocking off this bottom zone where this water is coming
12 from.

13 A No one has, to my knowledge, have. They
14 have not -- really, this particular area seems to be the one
15 that is really affected by the water production because as
16 you can note on the Exhibit Number One, very few of the
17 wells in the Morrow currently are producing very much
18 water. The majority of them are showing -- reporting zero
19 water production.

20 But yet in this particular area our No.
21 1, Union Mead No. 1, the water production we're noticing our
22 increase in water production on it, which is to the south of
23 this Union Mead No. 3, and we're right on the north edge of
24 the South Carlsbad Morrow Field.

25 MR. STAMETS: Mr. Houser, has
-- do you think that the lower zone has watered out com-
pletely in this well?

A No, I do not, because the logs that we

1
2 ran on the -- production logs that we ran on the Jarvis Mead
3 No. 1 showed that we still had gas production in some of the
4 lower stringers.

5 Now there is more stringers in the Jarvis
6 Mead No. 1 than there are in this particular well, but some
7 of the wells were still productive, or some of the string-
8 ers, pardon me, were still productive, with the water coming
9 from a stringer near the top of what we classify as the Low-
er Morrow section.

10 MR. CLEMENTS: But you are us-
11 ing soap sticks and things of this sort to lighten the load
12 or not with very much success?

13 A Not too much.

14 MR. CLEMENTS: All right.

15 MR. STAMETS: Mr. Houser, do
16 you understand that if this well is authorized a hardship
17 classification that you would not be allowed to produce it
18 at a rate of, say, higher than 700 Mcf a day so long as it
remained overproduced?

19 A That is my understanding on the -- but
20 with the current allowables, this overproduction is going to
21 be cut off of the well, because we're not going to be able
22 to produce what the April allowable for the well was.

23 MR. STAMETS: What is the April
allowable?

24 A About 1600 Mcf per day.

25 MR. STAMETS: So at the 700 you

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

will be making up overproduction.

A We will be making up overproduction.

MR. STAMETS: Okay.

MR. CLEMENTS: What's, primarily what is Llano's line pressure, do you know?

A It will vary from 620 up to 700.

MR. CLEMENTS: 700. Have they -- have they considered setting compressors or in a sense of lowering the line pressure?

A They have some compressors set on the line but not in our --

MR. CLEMENTS: Not in that vicinity.

A -- immediate area, and like I say, this line pressure will vary with -- from day to day as to the takes, what's going on.

MR. STAMETS: Are there any other questions of the witness?

A For April the monthly allowable was 49058. This is the first month we've had high allowables in the South Carlsbad Morrow Field. See, our problem started back in the period when it was 3050 up to about 4000.

MR. STAMETS: Any other questions of the witness?

MR. CLEMENTS: Have you -- have you -- has anyone under these new pumping units that have come in under -- since I've gotten out of the industry, like

1
2 the Marco, what is -- what is the maximum producing or pump-
3 ing bit that they use for a small amount of water comes off
4 --

5 A A small amount of water we can keep pump-
6 ed off. We're using a 456 to keep water pumped off of a
7 well in Texas.

8 MR. CLEMENTS: Uh-huh.

9 A But it does not make this much fluid.
10 We're only producing about five barrels of condensate and 16
11 to 20 barrels of salt water.

12 MR. CLEMENTS: What kind of
13 bits are you talking about there?

14 A We were producing from -- that well was
15 around a 10/300 and at the time they have now reduced, that
16 Phillips has now reduced their tubing -- I mean their line
17 pressure, but the time we first started off on this we had
18 to go to quite an elaborate stepping box procedure because
19 we were bucking about 800 pounds of pressure at varying in-
20 tervals throughout that.

21 MR. CLEMENTS: I don't have
22 anything else.

23 MR. STAMETS: If there is no-
24 thing further, then the witness will be excused and the case
25 will be taken under advisement.

(Hearing concluded.)

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY CERTIFY that the foregoing Transcript of Hearing before the Oil Conservation Division was reported by me; that the said transcript is a full, true, and correct record of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 8178 heard by me on 5-9 19 84.
Richard P. Starnes, Examiner
Oil Conservation Division