

1 STATE OF NEW MEXICO
2 ENERGY AND MINERALS DEPARTMENT
3 OIL CONSERVATION DIVISION
4 STATE LAND OFFICE BLDG.
5 SANTA FE, NEW MEXICO

6 5 September 1984

7 EXAMINER HEARING

8 IN THE MATTER OF:

9 Application of Sun Exploration and CASE
10 Production Company for amendment 8333
11 to Division Order R-7313-A, Lea
12 County, New Mexico.

13 BEFORE: Gilbert P. Quintana, Examiner

14 TRANSCRIPT OF HEARING

15
16 A P P E A R A N C E S
17

18
19 For the Oil Conservation Division: Charles E. Roybal
20 Attorney at Law
21 Energy and Minerals Dept.
525 Camino de Los Marquez
Santa Fe, New Mexico 87501

22 For the Applicant: W. Thomas Kellahin
23 Attorney at Law
24 KELLAHIN & KELLAHIN
25 P. O. Box 2265
Santa Fe, New Mexico 87501

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

ROBERT W. WALKER

Direct Examination by Mr. Kellahin	3
Cross Examination by Mr. Quintana	15

E X H I B I T S

Sun Exhibit One, Cross Section	4
Sun Exhibit Two, C-108	8

1
2
3 MR. QUINTANA: We'll call next
4 Case 8333.

5 MR. ROYBAL: Case 8333. Appli-
6 cation of Sun Exploration and Production Company for amend-
7 ment of Division Order R-7313-A, Lea County, New Mexico.

8 MR. KELLAHIN: If the Examiner
9 please, I'm Tom Kellahin of Santa Fe, New Mexico, appearing
10 on behalf of the applicant and I have one witness to be
11 sworn.

12 MR. QUINTANA: Will you stand
13 and be sworn in?

14 (Witness sworn.)

15 ROBERT W. WALKER,
16 being called as a witness and being duly sworn upon his
17 oath, testified as follows, to-wit:

18 DIRECT EXAMINATION

19 BY MR. KELLAHIN:

20 Q Mr. Walker, would you please state your
21 name and occupation?

22 A My name is Robert W. Walker. I'm a geo-
23 logist with Sun Exploration and Production Company in Mid-
24 land, Texas. From it.

25 Q Mr. Walker, would you describe for the

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Examiner when and where you obtained your degree in geology?

A Yes, sir. I graduated from Texas Tech University in Lubbock, Texas, December, 1976.

I mud logged for about two and a half years out in southeastern New Mexico and West Texas after graduation and have currently been employed by Sun Exploration and Production Company for the last -- little over five years.

Q Mr. Walker, have you made a review of the geology surrounding this application by Sun Exploration and Production Company as well as review and satisfy yourself of the accuracy of the information that has been included on Commission Form C-108?

A Yes, sir, I have.

MR. KELLAHIN: We tender Mr. Walker as an expert petroleum geologist.

MR. QUINTANA: He's considered an expert petroleum geologist.

Q Mr. Walker, let me direct your attention to what we have marked as Exhibit Number One, first of all, and have you simply identify the exhibit for me and then we'll go into some detail about what the exhibit contains.

A All right, sir. We are attempting to deepen the Jennings "B" Federal No. 2, which is located in the south -- in the southeast quarter of the southwest quarter of Section 15, Township 19 South, Range 32 East of Lea County, New Mexico, and that is the well on the extreme left

1
2 of the cross section, and I put in a north offset, which
3 would be the Jennings Federal "B" No. 1, which would be lo-
4 cated in the northeast quarter of the southwest quarter of
5 Section 15. It's a 40-acre offset to the "B" No. 2, located
6 in Unit letter K.

7 Now, the Jennings Federal "B" No. 1 did
8 penetrate the Seven Rivers formation, which we are at-
9 tempting to deepen into here.

10 You can see the top of the Seven Rivers
11 is approximately 3100 feet and -- which you go into a po-
12 rous, secrosic dolomite beneath your Yates sand, and we pro-
13 pose to deepen to a depth of 3350, which shows correlative
14 on our well, the "B" 1, over to the "B" 2 which we're at-
15 tempting to deepen into.

16 Q All right. The well on the far left of
17 the cross section is the disposal well.

18 A Yes, sir, that is correct.

19 Q This well was previously approved as a
20 disposal well in the Yates formation, was it not?

21 A Yes, that is correct.

22 Q Would you give the examiner that order?
23 I think it's in the package of C-108, Mr. Examiner, if
24 you'll simply turn the page, you'll see a copy of the order.

25 All right, this is the same well that was
approved in October, '83 for disposal into the Yates forma-
tion?

A That is correct.

1
2 Q All right. What happened when you at-
3 tempted to dispose of water in the Yates formation in this
4 well?

5 A All right, sir. In October we -- it was
6 approved to dispose into the Yates from approximately 2986
7 to 3060, selectively, in some sands within that vertical in-
8 terval.

9 The -- our maximum pressure was around
10 600 pounds, I believe, and when we hooked this well up to
11 injection our pressure increased within just a very short
12 time to approximately 1250 psi and still increasing, and
13 like I previously mentioned, our limitation was 600 psi.

14 So we went in --

15 Q The well was too tight.

16 A Yes, sir, it was.

17 Q All right.

18 A The well was then acidized with 1000 gal-
19 lons of 15 percent NEHCL and even it took our acid at an
20 average pressure of 1750 pounds and our injection pressure
21 was still too high, and so the well has been shut in since
22 March of '84.

23 Q It appears as if the Yates formation is
24 not an adequate zone to take the water which you want to
25 dispose of.

A That is correct. We don't feel -- it
does not have the permeability within those sands.

Q All right, and the proposal, then, is to

1
2 deepen the same well and to test the possibility of dispos-
3 ing of this water into the Seven Rivers formation.

4 A Yes, sir, that is correct.

5 Q And when we look at the cross section and
6 come around -- come across to the other well, the closest --
7 looking at the Seven Rivers formation in that well, what do
8 you find happens in the Seven Rivers formation?

9 A Well, we see it is an extremely clean
10 formation, looking at the gamma ray. The porosity is ex-
11 tremely high. We -- we did test this well when we drilled
12 it. Let me get the data on that. We tested this well down
13 in the Seven Rivers from approximately 3331 to 3337. We
14 acidized the well and our initial shut-in pressure did go on
15 vacuum and that tells us that we -- we feel like we do have
16 some permeability within these Seven Rivers dolomites.

17 Q In seven hours you swabbed 118 barrels of
18 water and no oil.

19 A That is correct, yes, sir. It is non-
20 productive.

21 Q All right. Of any of the wells that
22 you've examined in this area, is the Seven Rivers productive
23 of oil?

24 A No, sir, it is not.

25 Q All right, where is the closest producing
26 Seven Rivers well? Is it on any of these exhibits?

27 A Well, no, sir, it isn't. Well, it's not
28 on any of the exhibits. We have -- we have found some Seven

1
2 Rivers production a little over two miles to the north and
3 approximately, well, a little over two miles to the west,
4 due west of us.

5 Q All right. Are there wells in the imme-
6 diate area that have been drilled a depth sufficient enough
7 to have tested the Seven Rivers formation?

8 A This "B" 1, which is on the exhibit.

9 Q All right, and drilling through that for-
10 mation and testing it, it produces water.

11 A That is correct.

12 Q All right. Let's go to the C-108, now,
13 Mr. Walker, and if you'll turn to the plat, sir, that's ap-
14 pended to that package of exhibits, have you reviewed the
15 well files on plugged and abandoned and producing wells
16 within that half mile radius?

17 A Yes, sir, I have.

18 Q Have there been any changes in the number
19 of wells or in the producing intervals for any of those
20 wells since the hearing on September 28th, 1983 for the
21 prior approval of the Yates formation in this case?

22 A Yes, sir. You mean changes in those
23 wells within the half mile radius?

24 Q Yes, sir.

25 A Okay. We have recently gone in, since
26 May of '84, and plugged one, two, we've plugged three wells.

27 Q All right.

28 A In Section 22, the -- in the northeast

1
2 quarter of Section 22 would be our Sloan No. 2. We plugged
3 and abandoned that in May of '84, and it was a 10,954-foot
4 Wolfcamp test.

5 Q And what is the next well that was plug-
6 ged?

7 A All right, sir, we came over and plugged
8 the Sloan No. 1 in July of '84. It was a 10,915-foot Wolf-
9 camp test, and it has been recently plugged.

10 Q And what's the third well that's been
11 plugged?

12 A It would be the Shearn No. 1, located in
13 the northwest -- it would be in the northwest of the south-
14 west and it is a 14,330-foot Morrow test, and it was plugged
15 August of '84.

16 Q Let's look at the Wolfcamp well to the
17 north and east of the disposal well, still in the half mile
18 radius. Is that a producing Wolfcamp well?

19 A Yes, sir, it is. We drilled that well
20 about, let me see, I want to say about a year ago, okay,
21 that well was drilled in 1982 and completed in '82 as a
22 Wolfcamp producer at approximately 10,800 feet.

23 Q With regards to the producing and plugged
24 and abandoned wells within the half mile radius, have you
25 attached to the C-108 either a schematic or a tabulation of
the wellbore information for each of those wells?

A Yes, sir, we have.

Q Looking at the plugged and abandoned

1
2 wells, have all those plugged and abandoned wells been pro-
3 perly plugged and witnessed by the Oil Conservation Divi-
4 sion's District Supervisor?

5 A Yes, sir, they have.

6 Q And have they all been plugged and aban-
7 doned pursuant to Oil Commission rules?

8 A Yes, sir.

9 Q In your opinion are each of those plugged
10 and abandoned wells properly plugged and abandoned to iso-
11 late the Seven Rivers?

12 A Yes, sir, they would be isolating both
13 the Yates and the Seven Rivers. The most -- these upper
14 plugs were put approximately at the top of the Tansill for-
15 mation, which would isolate all your salts and evaporites
16 above that, and the lower plugs were set where your interme-
17 diate casing was set in the original drilling of the well,
18 and they -- they set their plugs in that overlap there.

19 Q All right. With regards to the producing
20 wells within the half mile radius that produce from forma-
21 tions below the Yates and Seven Rivers, how many of those
22 wells do we have?

23 A Just one, which would be the Jennings
24 Federal "A" No. 4 from the Wolfcamp.

25 Q So the only producing well that we have
that penetrates the Yates and the Seven Rivers is the Wolf-
camp well. Direct us in the package of exhibits to the
information addressed to that Wolfcamp well.

1
2 It's the Sloan Federal No. 2, isn't it?

3 A No, sir, are you talking about the Jen-
4 nings "A" 4, now?

5 Q The "A" 4.

6 A Yes, uh-huh.

7 Q That's the one I want.

8 A Yes, sir, now what was your question?

9 Q Show us where it is in the package, you
10 got it?

11 A Well, it comes --

12 Q You got it? Everybody's got it.

13 All right. My question for you, Mr. Wal-
14 ker, is whether or not the cement that's on the outside of
15 the casing in that well --

16 A Yes, sir.

17 Q -- has been circulated to a point high
18 enough that we'll have cement across the Yates and Seven
19 Rivers formations.

20 A Okay. When we drilled that well we -- we
21 set an intermediate stage of 3-5/8ths at 4400 feet and we
22 cemented that with two stages. 2500 sacks were cemented on
23 the first stage, which our engineering group calculated an
24 estimated top of cement at around 2500 feet, which would get
25 it well up into the salts.

Q All right. In making your study in this
area, Mr. Walker, do you find any fresh water sands or fresh
water aquifers in the immediate area, within a mile?

1
2 A No, sir, not anything other than the
3 Ogallala formation.

4 Q Where is the Ogallala formation in this
5 area in terms of its depth?

6 A Normally we find the Ogallala within the
7 top 200 feet from the surface.

8 Q Is the method of casing and cementing for
9 the disposal well sufficient to isolate the disposal inter-
10 val from the Ogallala formation?

11 A Yes, sir, it is.

12 Q Have you made a study to determine where
13 the fresh water wells are that produce from the Ogallala in
14 this area?

15 A No, sir, I'm not familiar with the ones
16 that are immediately in this vicinity.

17 Q All right, sir. Would you turn to the
18 tabulation of information on this C-108 that talks about the
19 specific disposal program in terms of the average and maxi-
20 mum daily rates of disposal?

21 A Yes, sir.

22 Q What is going to be the source of the
23 water that will be disposed of in this well?

24 A Okay, we are presently producing approxi-
25 mately 250 barrels of water a day from our Yates wells. We
26 have three producing Yates wells in this field and they are
27 producing approximately 250 barrels of water and the Jen-
28 nings Federal Com No. 1, which is located in -- it would be

1
2 in the southeast quarter of the northwest quarter, it's a
3 Bone Springs well immediately outside this half mile radius,
4 and it is presently making 58 barrels of oil and 4 barrels
5 of water. Our water production is very small from this well
6 and the Jennings "A" 4, our other deep well in the field.

7 So most of our water, we feel, is coming
8 from the Yates here.

9 Q Would you identify for us, then, each of
10 the Yates producing wells that will contribute water to be
11 disposed of in the disposal well?

12 A Yes, sir. Okay, if you will go to the
13 northwest quarter of the northwest quarter, Unit letter D,
14 you will find our Shearn No. 3, which is presently -- wait a
15 minute.

16 Let me think, the Shearn No. 3 is cur-
17 rently producing 29 barrels of oil and 138 barrels of water.

18 The -- if you'll go to the southeast
19 quarter of the northwest quarter you'll find our Jennings
20 Federal "C" No. 3. It is a Yates producer, producing 8 bar-
21 rels of oil and 7 barrels of water.

22 And our only other Yates producer in the
23 field is in the northeast quarter of the southwest quarter,
24 Unit letter K, which is our Jennings Federal "B" No. 1,
25 which is producing 7 barrels of oil and 107 barrels of
water.

 Q What do you anticipate to be the average
and maximum daily rates of disposal in the well?

1
2 A Approximately 250 barrels a day; however,
3 we are dealing with a waterdrive reservoir. Some of these
4 wells were potentialed initially making no water and we have
5 seen water produced -- we've seen our water production in-
6 crease the longer we produce these wells, so we feel like we
7 need to be sure that we have enough maximum rate here, say
8 up to 1000 barrels a day for the longevity of the lease.

9 Q Are you familiar with the Division's
10 guidelines on the surface limitation pressure for a disposal
11 well?

12 A Yes, sir, using their .2 psi per foot, I
13 believe it is still approximately 600 pounds.

14 Q And is it acceptable to you as a geolo-
15 gist to have a surface limitation pressure tied into that
16 number for this well?

17 A Yes, sir. Now, if we go in and find --
18 if we deepen the "B" No. 2 and find that this pressure is
19 not adequate, then our engineering group will run bottom
20 hole pressure bombs and do their step rate test to come back
21 at a later date to make -- get an increase in pressure.

22 Q All right. Your package of exhibits in-
23 cludes water analyses of the produced water on each of these
24 three wells that will contribute water for disposal pur-
25 poses?

26 A Yes, sir, and our engineering group has
27 determined it is compatible.

28 Q Okay. Mr. Walker, have you made a study

1
2 of available geology to determine whether or not there are
3 any open faults or hydrologic connections between the disposal
4 zone and any fresh water aquifers?

5 A We do not know of any at all, no, sir.

6 Q All right, sir, and have you provided notice
7 to any offsetting operators and to the surface owner at
8 the disposal well location?

9 A Yes, sir, we have, and the surface owner
10 is the Bureau of Land Management and they have been notified.

11 Q All right, sir.

12 MR. KELLAHIN: Mr. Examiner,
13 that concludes my examination of this witness.

14 We move the introduction of Exhibit One,
15 which is the cross section and Exhibit Two will
16 be the C-108 and its attachments.

17 MR. QUINTANA: Exhibits One and
18 Two will so be admitted into evidence.

19 I have a question.

20 CROSS EXAMINATION

21 BY MR. QUINTANA:

22 Q You said you had -- you weren't aware of
23 any fresh water wells producing within a mile of your disposal
24 area?

25 A No, sir, I sure am not.

Q Could you study that and find out if

1
2 there's any and provide me with any water analyses of those
3 fresh water wells?

4 A I sure will and submit it directly to you
5 at a later date? You bet.

6 MR. KELLAHIN: Mr. Examiner, if
7 you prefer, that information is contained in Case 7964,
8 which is the case that resulted in the prior order. I have
9 called the State Engineer's office and there are no changes
10 to the information that has been presented in the prior
11 case.

12 MR. QUINTANA: I will take note
13 of that.

14 MR. KELLAHIN: All right, sir.

15 MR. QUINTANA: The witness may
16 be excused.

17 Before you're excused, I'm sor-
18 ry, there is one other question I wanted to ask.

19 A Yes.

20 Q Seeing that the Yates had difficulty in
21 accepting water, and you propose to expand to the Seven
22 Rivers, do you feel that it's -- do you feel that it would
23 be appropriate that you continue to try to inject into the
24 Yates even though you're going to continue and try to inject
25 into the Seven Rivers, also, or would you rather -- why
don't you just shut off this Yates and inject into the Seven
Rivers?

A Okay. I tend to think that you will --

1
2 it will probably take some water. Of course we will be
3 open-holing this well in the basal Yates prior to penetrat-
4 ing the Seven Rivers. There's a small interval in the basal
5 part of the Yates and as far as getting any secondary re-
6 covery from water going into the Yates here, we'd probably
7 see very little water going into the Yates formation and it
8 would probably take the path of least resistance, which we
9 feel in this case is the Seven Rivers.

10 I don't -- the well has just been -- is
11 equipped to dispose of it in this manner, you know, into the
12 Yates now, and we really haven't done any consideration of
13 squeezing off those perforations prior to this deepening.

14 Q So it's your impression that even though
15 the Seven Rivers will take most of the water, if the Yates
16 can take some water you'd prefer it also to take some water.

17 A Yes, sir, because this is a down-dip well
18 and our other wells are up structure to it, and we feel like
19 if it did take some water, it could possibly enhance the
20 pressures.

21 Q That will be all. Thank you.

22 MR. QUINTANA: You may be
23 excused.

24 Case 8333 will be taken under
25 advisement.

(Hearing concluded.)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY CERTIFY that the foregoing Transcript of Hearing before the Oil Conservation Division was reported by me; that the said transcript is a full, true, and correct record of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner's case no. 8333 heard by me on SEPTEMBER 5 1984.

Gilbert P. Quintana, Examiner
Oil Conservation Division