

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

EXAMINER HEARING

Application of Exxon Corporation CASE
for a pressure maintenance project, 8429
Lea County, New Mexico.

A P P E A R A N C E S

For the Applicant: James G. Bruce
Attorney at Law
HINKLE LAW FIRM
P. O. Box 2068
Santa Fe, New Mexico 87501

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

JOEL A. DEGENSTEIN

Direct Examination by Mr. Bruce 3

DAN BABCOCK

Direct Examination by Mr. Bruce 11

Cross Examination by Mr. Quintana 15

Cross Examination by Mr. Taylor 18

Redirect Examination by Mr. Bruce 19

JOEL A DEGENSTEIN (RECALLED)

Cross Examination by Mr. Quintana 19

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

E X H I B I T S

Exxon Exhibit One, Map	6
Exxon Exhibit Two, Cross Section	7
Exxon Exhibit Three, Structure Map	9
Exxon Exhibit Four, Isopach	9
Exxon Exhibit Five, Analysis	10
Exxon Exhibit Six, Data	12
Exxon Exhibit Seven, Data	13
Exxon Exhibit Eight, Information	13
Exxon Exhibit Nine, Chemical Analysis	14
Exxon Exhibit Ten, Summary	14

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. QUINTANA: We'll call next
Case 8429.

MR. TAYLOR: The application of
Exxon Corporation for pressure maintenance project, Lea
County, New Mexico.

MR. BRUCE: Mr. Examiner, my
name is Jim Bruce from the Hinkle Law Firm in Santa Fe, re-
presenting Exxon.

I have two witnesses that need
to be sworn in.

MR. QUINTANA: Are there other
appearances in this case?

Will the witnesses please stand
and be sworn in?

(Witnesses sworn.)

JOEL A. DEGENSTEIN,
being called as a witness and being duly sworn upon his
oath, testified as follows, to-wit:

DIRECT EXAMINATION

BY MR. BRUCE:

Q Will you please state your name, city of
residence, occupation, and employer?

A My name is Joel Degenstein and I reside

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

in Andrews, Texas.

I work for Exxon Corporation as a production geologist.

Q And have you previously testified before the New Mexico OCD?

A No, I have not.

Q Would you please give a brief summary of your educational and work experience?

A I graduated from the University of North Dakota with a BS and an MS in geology in 1978 and have worked for Exxon since -- since 1978.

I have worked in this area for three and a half years.

Q By "this area" you mean eastern New Mexico and West Texas?

A Yes, sir.

Q And are you familiar with Case 8429 and the geological matters involved in this case?

A Yes, sir.

MR. BRUCE: Mr. Examiner, is the witness considered qualified?

MR. QUINTANA: He is considered qualified.

Q Would you briefly state what Exxon seeks by this application?

A Exxon Corporation is applying for an injection well for pressure maintenance, Lea County, New Mex-

1
2 ico.

3 The applicant seeks authority to inject
4 produced salt water into the Delaware Ramsey Sand in the
5 proposed Exxon New Mexico State "EF" No. 3 at a depth of ap-
6 proximately 5160 to 5250 feet.

7 This proposed injection well is located
8 990 feet from the south line and 330 feet from the west line
9 of Section 17, Township 23 South, Range 33 East.

10 The salt water to be injected is produced
11 from the Ramsey Sand from Exxon wells on State leases in the
12 Cruz Delaware Field, located in Sections 17 and 18, Township
13 23 South, Range 33 East.

14 Q Will you now please refer to Exhibit Num-
15 ber One and describe that for the Examiner?

16 A Exhibit Number One is a base map located
17 approximately 25 miles northwest of the City of Jal, New
18 Mexico. The proposed New Mexico State "EF" No. 3 is pointed
19 out by the arrow in the center of the map.

20 Surrounding this well is a half mile rad-
21 ius circle and two mile radius circle.

22 The green dots indicate those wells that
23 have penetrated the proposed injection well within this half
24 mile radius circle.

25 The orange dots indicate those wells that
have penetrated the proposed injection zone within the two
mile radius circle.

The map also shows Exxon acreage outlined

1
2 in yellow. All other leaseholders are also shown on this
3 map.

4 All offsetting lessees have been noti-
5 fied, including a surface owner.

6 Conquest Exploration is the lessee to the
7 north. Conoco is the lessee to the southwest. American
8 Quasar and Phillips Petroleum are the lessees to the south.

9 The surface owner is the State of New
10 Mexico.

11 The lines of two structural cross sec-
12 tions are also shown on Exhibit One.

13 Cross section A to B, located in the east
14 central part of Section 18, and the easternmost part of Sec-
15 tion 17, or the westernmost part of Section 17, runs from
16 the Exxon "DL" No. 5 on the west to the Exxon "EF" No. 1 on
17 the east.

18 Cross section C to D crosses the south-
19 ernmost part of Section 18 and 17 and runs from the Helbing
20 Shell State on the west to the PM Oil Texaco State
21 on the east.

22 Q In connection with this, would you please
23 refer to the cross section marked as Exhibit Number Two and
24 describe that?

25 A Exhibit Number Two, shown on the wall, is
being shown to show the zone of Ramsey production, the posi-
tion of the oil/water contact, and the proposed -- and the
relative position of the proposed injection zone.

Both cross sections have a vertical scale of one inch equals feet and horizontal scale of one inch equals 300 feet.

Both cross sections are hung on a -1400 foot subsea datum and show the Castile anhydrite and the Morrow limestone, the Ramesy Sand, the Ford shale, and the Olds Sand.

In addition, the oil/water contact at -1435 feet subsea is also shown on each cross section.

Cross section A to B on the top of this Exhibit Number Two, shows three producing Exxon wells. The proposed injection well will affect the Exxon New Mexico State "DL" No. 1 in the center of the cross section and the Exxon "EF" No. 1 on the right side of the top cross section.

The lower cross section, C to D, shows a dry hole, the Helbing Shell State, on the west, three Exxon producers in the middle, the proposed Exxon "EF" No. 3, and a dry hole on the east, the PM Oil Texaco State.

The Exxon "DL" No. 6 will be affected by the injection in the proposed Exxon "EF" No. 3.

The proposed interval and the injection zone is the Ramsey Sand, which consists of a very fine to fine grained, clean sand, composed predominantly of quartz.

The cross sections show the Ramsey Sand is bounded above and below by impermeable formations, the Castile and the Lamar above and Delaware shale below.

The proposed injection well, the Exxon

"EF" State No. 3, is shown as being at or slightly below the oil/water contact at -1435 feet subsea.

The perforated intervals for each well are also shown on both cross sections.

Q Would you please now refer to Exhibit Number Four and describe that?

A Exhibit Number Three?

Q Or Exhibit Number Three, excuse me.

A Exhibit Number Three is a structure contour map drawn on top of the Ramsey Sand.

This values a subsea horizon found by subtracting the log depth from the top of the Ramsey, subtracted from the Kelly Bushing observation.

This map shows gentle southeastward dip of one degree.

Also highlighted in blue is the oil/water contact at -1435 feet subsea.

Conventional and sidewalk core data from the New Mexico State "EF" No. 1 and the "DL" No. 6 indicate that there are no hydrocarbons below this -1435 foot subsea value.

Q Would you please now refer to Exhibit Four?

A Exhibit Number Four is a gross Isopach of the Ramsey Sand and shows a northeast to southwest trend to the thick of this interval. The values used in this map are the gross thickness of the Ramsey Sand from the top of the

1
2 Lamar limestone to the top of the Ford shale.

3 Also shown on the Isopach map is the area
4 which will be affected by our proposed injection well. This
5 area is shown by the cross hatched area.

6 Q And finally, would you refer to Exhibit
7 Number Five and describe that?

8 A Exhibit Number Five is a three-page exhi-
9 bit and it contains a topographic map on the last page that
10 shows the location of the proposed injection well and the
11 Graham fresh water well approximately 3/4 miles east of the
12 proposed Exxon State "EF" No. 3.

13 The well is completed in the Santa Rosa
14 formation.

15 Also included on page two is an analysis
16 of the water coming from that well performed by an indepen-
17 dent consultant laboratory.

18 We have found no indication of open
19 faults or other hydrologic connections between the disposal
20 interval and this fresh water zone.

21 Q In your opinion will the granting of this
22 application be in the interest of conservation, the preven-
23 tion of waste, and the protection of correlative rights?

24 A Yes, sir.

25 Q And were Exhibits One through Five pre-
pared by you or under your direction?

A Yes, sir.

MR. BRUCE: At this time I'd

1
2 move the admission of Exhibits One through Five.

3 MR. QUINTANA: Exhibits One
4 through Five will be admitted into evidence.

5 MR. BRUCE: I have no further
6 questions of this witness.

7 MR. QUINTANA: No further ques-
8 tions.

9 The witness may be excused.

10 DAN BABCOCK,
11 being called as a witness and being duly sworn upon his
12 oath, testified as follows, to-wit:

13 DIRECT EXAMINATION

14 BY MR. BRUCE:

15 Q Would you please state your name, city of
16 residence, occupation, and employer?

17 A My name is Dan Babcock. I live in An-
18 drews, Texas, and I work for Exxon as a reservoir engineer.

19 Q And have you previously testified before
20 the OCD?

21 A I have not.

22 Q Would you give a summary of your educa-
23 tional and work experience for the Examiner?

24 A I have a BS degree in electrical engin-
25 eering from the University of Texas at El Paso.

After graduating in May of 1980 I worked

1
2 for Dresser-Atlas as a logging engineer until March of '82
3 when I was hired as Exxon as a reservoir engineer.

4 Q And you've been working in Andrews since
5 that time?

6 A Yes.

7 Q Are you familiar with Case 8429 and the
8 engineering matters involved in this case?

9 A I am.

10 MR. BRUCE: Mr. Examiner, is
11 the witness considered qualified?

12 MR. QUINTANA: Your duties with
13 Exxon have been primarily reservoir engineering?

14 A They've been strictly reservoir engin-
15 eering.

16 MR. QUINTANA: He's -- he's
17 considered as a qualified reservoir engineer.

18 Q Mr. Babcock, would you please refer to
19 Exhibit Number Six and describe it?

20 A Exhibit Number Six is a wellbore schema-
21 tic of the proposed injection well. The proposed TD is 5400
22 feet with surface and production casing set at 650 feet and
23 5400 feet, respectively.

24 Cement will be circulated to surface on
25 both strings.

The composed completion interval is based
on our own geologic mapping of the Ramsey and is from 5160
feet to 5250 feet, as was shown on Exhibit Two.

1 The well will be completed naturally.

2 Also included in Exhibit Number Six is a
3 tabulation of this same data. We are presenting this exhi-
4 bit to show how the well should appear after drilling and
5 completion.

6 Q Would you please now refer to Exhibit
7 Number Seven and describe that?

8 A Exhibit Number Seven lists the completion
9 data on the eight wells within a half mile radius of the
10 proposed injection well, as shown by the green dots on Exhi-
11 bit Number One.

12 It lists things such as completion zones
13 and casing programs for each well.

14 In addition, wellbore sketches are also
15 included in the following pages.

16 This exhibit is being presented to show
17 that the injected water will be contained in the Delaware
interval.

18 Q Please move on to Exhibit Number Eight.

19 A Exhibit Number Eight lists the informa-
20 tion on the proposed injection operation.

21 The source of the injected water will be
22 produced water from our "DL" and "EF" Leases, all of which
are Delaware completions.

23 The anticipated volume of injection is
24 800 barrels of water per day and it's based on the available
25 reservoir information and a calculation we were able to make

1 from those.

2
3 We have no frac pressure data in this
4 area and therefore the injection pressures are only approxi-
5 mations. We plan to run step rate tests periodically to de-
6 termine parting pressure for this injection well and in so
7 doing we can assure that injection pressures will be main-
tained below frac pressure.

8 Q Will you please now refer to Exhibit Num-
9 ber Nine?

10 A Exhibit Number Nine is a chemical analy-
11 sis of produced water from our "DL" State No. 1. Since we
12 are proposing to inject produced water, there will be no
compatibility problems.

13 Q And would you please now refer to Exhibit
14 Number Ten and describe that briefly for the Examiner?

15 A Exhibit Number Ten is a summary of our
16 recovery estimate calculations for the application. It
17 shows that if the application is approved, we estimate re-
18 covery for the project area to be approximately 76,000 bar-
rels of oil.

19
20 Without approval, primarily -- strictly
21 by primary means, about 30,000 barrels will be recovered,
22 and therefore, the incremental recovery is estimated to be
nearly 46,000 barrels of oil.

23 The primary justification of this project
24 is increased oil recovery; however, incidental to this re-
25 covery is cost savings associated with the disposal of pro-

duced water.

We are presently paying from \$700 to \$1000 a day to haul the water.

Q Mr. Babcock, in your opinion will the granting of this application be in the interest of conservation and the prevention of waste?

A Yes.

Q And were Exhibits Six through Ten prepared by you or under your direction?

A Yes, they were.

MR. BRUCE: At this time, Mr. Examiner, I move the admission of Exhibits Six through Ten.

MR. QUINTANA: Exhibits Six through Ten will be admitted as evidence.

MR. BRUCE: I have no further questions of this witness.

CROSS EXAMINATION

BY MR. QUINTANA:

Q Mr. Babcock, do you realize that I'll limit you to .2 psi per foot limitation at first until you do provide me with a step rate test as far as injection pressure is concerned.

A All right.

Q Also, prior to commencing of injection in this well, I'd like you to have a pressure test done on the casing to determine its mechanical integrity.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A All right.

Q You can get with our District office and determine what they consider as acceptable in a pressure test --

A Okay.

Q -- and determine its mechanical integrity.

Also, would you ever plan an expansion of this pressure maintenance project? Would you care for a clause in there allowing for an expansion of this?

A If we can find some beneficial results from it, yes.

Q You would care for a clause in there to allow for administrative application to allow for expansion so you wouldn't have to come to hearing?

A Yes, we would.

Q I just want to -- bear with me just one second.

I noticed the well to the southeast, directly southeast of the proposed injection well is plugged and abandoned, is that correct?

A That's correct.

Q For the record would you please go over the plugging program for that well?

A There is a wellbore schematic of that well in Exhibit Number Seven. It's on page two of the wellbore schematics.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

The well was drilled to a TD of 5415 feet and was never -- production casing was never set.

There is 7-1/2 inch surface string set at 331 feet and cemented with 150 sacks of cement, and it was circulated.

Upon plugging the well they set 25 sack -- a 25 sack plug at TD, one through the Lamar section, one at approximately 1220 feet to 1320 feet, and one from 281 feet to approximately 381 feet, and then a 10 sack plug at the surface.

Q In your opinion do you think that's an adequate plugging not to allow produced waters or liquids to escape from the Lamar formation up the pipe into fresh water zones?

A Yes, I do.

Q I didn't notice that there was any notice to offset operators. Do you have those to offset operators?

A Yes.

MR. BRUCE: Yes, Mr. Examiner. If you want, after the hearing we can provide copies of the letters and the certified mail receipts.

MR. QUINTANA: Okay.

Q Are there any fresh water wells located within a mile of the proposed injection zone? Proposed, excuse me, proposed injection well, you know, like a windmill type for a ranch or farmers or anything like that, where you could provide us with a fresh water sample?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A There is in Exhibit Number Five, there is a topographic map with a water well. It's called the Graham water well.

Q Yes.

A Listed on the map and right before that exhibit or right in front of that topographic map is a water sample from that well.

Q Yes, I missed that.

CROSS EXAMINATION

BY MR. TAYLOR:

Q We're obliged by law to protect fresh water sources and I just want to know if it's your testimony that the manner in which you're doing this will afford reasonable protection against contamination of fresh water sources.

A Yes.

Q I think that's it.

MR. QUINTANA: I have no further questions for the witness.

Is there any further questions from anybody else for the witness?

If not --

MR. BRUCE: I have one final question.

REDIRECT EXAMINATION

BY MR. BRUCE:

Q Mr. Babcock, what in your opinion will be the area affected by the injected water?

A Since we are producing three wells in the immediate area, that provides a pressure sink for this water that we would inject into the "EF" No. 3; therefore the affected area should be to the east of the "EF" No. 3.

Q West.

A I mean to the west.

MR. QUINTANA: I have no further questions.

I would like to recall Mr. Degenstein for a quick question.

JOEL A. DEGENSTEIN,

being recalled and being still under oath, testified as follows, to-wit:

CROSS EXAMINATION

BY MR. QUINTANA:

Q Mr. Degenstein, would you briefly describe the acreage that you plan to -- that has been planned for involvement in this pressure maintenance project?

I wanted to clarify that so I won't put it down on the order wrong.

1
2 A Okay. It is described by an area that's
3 enclosed going from the Exxon "EF" No. 3, the proposed in-
4 jection well, north up the oil/water contact, directly west
5 to the "EF" State No. 1, west to the Exxon "DL" No. 1 in
6 Section 18, and south to the Exxon "DL" No. 6.

7 Q So essentially it would include all of
8 Section 18?

9 A It would only include that portion of
10 Section 18 that is shown by the cross hatched area on Exhi-
11 bit Number Four.

12 Q Number Four, okay, let me pull that out.
13 You're talking about this right in here?

14 A Yes, sir.

15 Q Just this right in here?

16 A Yes, sir.

17 Q I'd like to have a little bit more --
18 neater definition of the lines, you know, than -- it's not
19 quite, you know, like -- in quarter sections, that's what
20 I'm talking about. I would need a better definition, a le-
21 gal description, better -- better legal description than --
22 even though technically we know that's the only area that's
23 going to be affected, we need a legal description in
24 squares, you know, not cutting off in angles and stuff like
25 that. That makes it a little bit difficult for me to de-
scribe.

Do you understand what I'm talking about?

25 A Yes, sir.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Q Is it possible you could -- you can determine that now, what you plan to include in that and you could submit that to me at a later date.

MR. BRUCE: Okay.

A Yes, sir, we will.

MR. BRUCE: I'll write a better description for you.

MR. QUINTANA: I would appreciate that.

I have no further questions of Mr. Degenstein.

He may be excused.

Is there anything further in Case 8429?

If not, Case 8429 will be taken under advisement.

(Hearing concluded.)

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY CERTIFY that the foregoing Transcript of Hearing before the Oil Conservation Division was reported by me; that the said transcript is a full, true, and correct record of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 8429 heard by me on Dec. 19 1984.

Gilbert P. Quintana, Examiner
Oil Conservation Division

STATE OF NEW MEXICO
ENERGY AND MINERALS DEPARTMENT
OIL CONSERVATION DIVISION
STATE LAND OFFICE BUILDING
SANTA FE, NEW MEXICO

27 March 1985

EXAMINER HEARING

IN THE MATTER OF:

Application of Exxon Corporation for CASE
a pressure maintenance project, Lea 8429
County, New Mexico.

BEFORE: Michael E. Stogner, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Oil Conservation	Jeff Taylor
Division:	Attorney at Law
	Legal Counsel to the Division
	State Land Office Bldg.
	Santa Fe, New Mexico 87501

MR. STOGNER: We'll go back to the first page and call next Case No. 8429.

MR. TAYLOR: The application of Exxon Corporation for a pressure maintenance project, Lea County, New Mexico.

MR. STOGNER: This case was heard on December 19, 1984 and was taken under advisement at that time.

Due to an error in the lease name in the advertisement at that time, this case is now reopened to correct that error.

We will now call for any appearances.

Any additional testimony?

There being none, this case will be taken under advisement.

(Hearing concluded.)

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY CERTIFY
that the foregoing Transcript of Hearing before the Oil Con-
servation Division was reported by me; that the said tran-
script is a full, true, and correct record of the hearing,
prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is
a true and correct copy of the transcript
as filed in the file No. 8429.
Signed by me on 27, March 1985.

Michael H. Hager, Examiner
Oil Conservation Division