

STATE OF NEW MEXICO
ENERGY AND MINERALS DEPARTMENT
OIL CONSERVATION DIVISION
STATE LAND OFFICE BUILDING
SANTA FE, NEW MEXICO

19 December 1984

EXAMINER HEARING

IN THE MATTER OF:

Application of Champlin Petroleum
Company for two waterflood pro-
jects, Chaves County, New Mexico.

CASE
8437

BEFORE: Gilbert P. Quintana, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Oil Conservation
Division:

Jeff Taylor
Attorney at Law
Legal Counsel to the Commission
State Land Office Bldg.
Santa Fe, New Mexico 87501

For the Applicant:

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. QUINTANA: We'll call next
Case 8437.

MR. TAYLOR: The application of
Champlin Petroleum Company for two waterflood projects,
Chaves County, New Mexico.

Applicant has requested that
these cases be continued.

MR. QUINTANA: Case 8437 will
be continued until January 16th, 1985.

(Hearing concluded.)

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY CERTIFY
that the foregoing Transcript of Hearing before the Oil Con-
servation Division was reported by me; that the said tran-
script is a full, true, and correct record of the hearing,
prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 8437
heard by me on Dec. 19 1984.

William P. Quintana, Examiner
Oil Conservation Division

NEW MEXICO OIL CONSERVATION COMMISSION

EXAMINER HEARINGSANTA FE, NEW MEXICOHearing Date JANUARY 16, 1985 Time: 8:00 A.M.

NAME	REPRESENTING	LOCATION
William L. Jan	Campbell and Clark, T.A.	Santa Fe
Bob Hahn	Bryman	Santa Fe
Susan Reno	Southern Union Expl	Dallas
Tammy SIVOKER &	CHS Co of NM	Alb
J.R. CARTER JR	CHAMPLIN PET. Co.	HOUSTON
A.B. STRANGER	Kellubin & Kellubin	"
W.T. Kellubin		Santa Fe
E.R. Manning	El Paso Natural Gas	El Paso, TX
Don Read	El Paso Exploration Co.	Farmington, N.M.
JOHN F. NANCE	EL PASO NATURAL GAS Co.	El Paso, TX
Randy G. Patterson	Yates Petroleum Corp	Artesia NM
Dave Boseru	YATES PETROLEUM CORPORATION	ARTESIA, NM
Billy Don Davis	Champlin Petroleum Co.	Houston, Tx.
Chad Dickerson	Dickerson Fink & Vardner	Artesia
David Hundley	TXO Production Corp	Midland
BRUCE INSALACO	TXO PRODUCTION CORP	M. Idand
RICHARD BATS	TXO Don Read	Midland

NEW MEXICO OIL CONSERVATION COMMISSION

EXAMINER HEARINGSANTA FE, NEW MEXICOHearing Date JANUARY 16, 1985 Time: 8:00 A.M.

NAME	REPRESENTING	LOCATION
Robert L. Bayless	Self	Farmington
John F. Eichelmann	El Paso Natural Gas Co.	Santa Fe
Paul G. White	Blanco Engineering, Inc.	Artesia, N.M.
Dan Hutton	Hortman	Santa Fe

STATE OF NEW MEXICO
ENERGY AND MINERALS DEPARTMENT
OIL CONSERVATION DIVISION
STATE LAND OFFICE BUILDING
SANTA FE, NEW MEXICO

16 January 1985

EXAMINER HEARING

IN THE MATTER OF:

Application of Champlin Petroleum CASE
Company for two waterflood projects, 8437
Chaves County, New Mexico.

BEFORE: Gilbert P. Quintana, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

[illegible]

For Champlin: W. Thomas Kellahin
Attorney at Law
KELLAHIN & KELLAHIN
P. O. Box 2265
Santa Fe, New Mexico 88210

I N D E X

BILLY DON DAVIS

Direct Examination by Mr. Kellahin	3
Cross Examination by Mr. Quintana	18
Cross Examination by Mr. Taylor	19

E X H I B I T S

Champlin Exhibit One, Montage	5
Champlin Exhibit Two, Production Map	6
Champlin Exhibit Three, Type Log	8
Champlin Exhibit Four, C-108	9
Champlin Exhibit Five, Tabulation	11
Champlin Exhibit Six, Tabulation	11
Champlin Exhibit Seven, Well Data	11
Champlin Exhibit Eight, Reserve Estimate	13
Champlin Exhibit Nine, Reservoir Data	14
Champlin Exhibit Ten, Item 8 Information	15
Champlin Exhibit Eleven, Memo	16
Champlin Exhibit Twelve, Stimulation Data	16
Champlin Exhibit Thirteen, Water Analysis	16
Champlin Exhibit Fourteen, Letter	17

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. QUINTANA: We'll call next
Case 8437.

MR. TAYLOR: The application of
Champlin Petroleum Company for two waterflood projects,
Chaves County New Mexico.

MR. KELLAHIN: If the Examiner
please, I'm Tom Kellahin of Santa Fe, New Mexico, appearing
on behalf of the applicant and I have one witness to be
sworn.

MR. QUINTANA: Are there other
appearances in Case 8437?

If not, will the witnesses
appearing in Case 8437 please stand and be sworn in at this
time?

(Witness sworn.)

BILLY DON DAVIS,
being called as a witness and being duly sworn upon his
oath, testified as follows, to-wit:

DIRECT EXAMINATION

BY MR. KELLAHIN:

Q Mr. Davis, for the record would you
please state your name and occupation?

A My name is Billy Don Davis. I'm a petro-

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

leum engineer for Champlin Petroleum Company.

Q Mr. Davis, have you previously testified before the Oil Conservation Division of New Mexico?

A No, I have not.

Q Would you describe for the Examiner when and where you obtained your degree in engineering?

A I obtained my degree in engineering from Texas A & M in December of 1975.

I was employed in January of 1976 as a petroleum engineer for Amoco Production Company in Odessa and have been employed since that time with Amoco and later with Champlin Petroleum for about nine years now as a petroleum engineer.

Q Would you describe for the Examiner what your area of responsibility is for Champlin as a petroleum engineer insofar as this application is concerned?

A At the present time I am in charge of special projects, presentation to regulatory bodies, and handling any type of problems that may occur within the division that I work in.

Q Would you describe briefly what Champlin is seeking to accomplish with this application?

A Champlin Petroleum wishes to instigate a waterflood on their State 5 and State 5-A Leases in the Chaveroo Field, which is located in Chaves County, New Mexico.

Q Have you made a study of the engineering

1 facts surrounding this application?
2

3 A Yes, sir, I have.

4 MR. KELLAHIN: We tender Mr.
5 Davis as an expert petroleum engineer.

6 MR. QUINTANA: Mr. Davis is
7 considered an expert petroleum engineer.

8 You may proceed.

9 A Thank you.

10 Q Mr. Davis, let me direct your attention
11 to what we've marked as Champlin Exhibit Number One and have
12 you first orient the Examiner as to what portion of south-
13 eastern New Mexico this project is located in.

14 A Exhibit Number One is a montage showing
15 upper -- in the upper lefthand corner of the box showing
16 the location of Chaveroo Field, which is located in both
17 Roosevelt and Lea Counties.

18 The area we're interested in -- excuse
19 me, Roosevelt and Chaves Counties. The area we're located
20 in is Chaves County with this application.

21 To the right is a map of a portion of the
22 Chaveroo Field. The center of the map details the two wells
23 that we wish to convert from producers to injectors.

24 The outside circle details the two mile
25 radius.

The interior circles detail a one-half
mile radius around each of the proposed wells.

Q All right, sir, let's go to Exhibit Number

Two and have you identify that.

A Exhibit Number Two is a production map which is an expanded view of the one-half mile radius area, and it details each of the leases in Section -- actually a nine section area with the center being concentrated on the State 5 and State 5-A Lease.

It details a half mile area of review, also showing the proposed injectors, showing current production, which is as of, for Champlin leases, as of November, 1984, detailing current production and cumulatives. For outside operated leases it's showing current production and cumulatives as of June, 1984.

Q Would you summarize for the Examiner some of the background information that you have used in terms of the Chaveroo San Andres Pool to determine that these wells are candidates for injection wells and that the immediate area is one that you believe suitable for waterflooding?

A Champlin has had a waterflood going to the north of this -- of this State 32 Lease, and in the State 32 Lease.

We have had very marginal success with that waterflood. There appears to be a better interconnection of pay to the south side of the field. We believe the leases are getting down to where they're averaging about 2 to 3-1/2 barrels a day per well and before we reach what we consider an economic limit we wish to attempt to waterflood to see if there is some additional benefit that we can pick

1
2 up there.

3 Q What is the spacing for the Chaveroo
4 Field?

5 A 40 acres.

6 Q And has the immediate area been drilled
7 to a density of 40-acre wells?

8 A Mostly, yes. There is one 40-acre loca-
9 tion on the Section Number 5 that has not been completed.

10 There is, as you go toward the south and
11 toward the southeast, you're getting below what we call the
12 water contact. You start producing significant amounts of
13 water.

14 Q Do you have an opinion as to whether or
15 not this portion of the Chaveroo Field has been produced for
16 a sufficient period of time in order to recover its primary
17 reserves?

18 A Yes, sir, it has been.

19 Q Within the area scribed by the two cir-
20 cles, designated by the Commission as the area of review, --

21 A Yes.

22 Q -- have you identified any plugged and
23 abandoned wells that penetrated the San Andres formation?

24 A Yes, sir. At the present time there is
25 one well. It's located in the State 32 Lease at the very
top of the area of review on the State -- for the State 5-A
Well No. 1. It's -- the well that has been plugged and
abandoned is the State 32 Well No. 8. It was abandoned by

1 Champlin in the middle of last year.

2 Q Was that well abandoned and plugged in
3 accordance with the current plugging and abandoning
4 requirements of the Oil Conservation Division?

5 A Yes, sir.

6 Q In your opinion is that well properly
7 plugged and abandoned so as not to be a conduit for the
8 migration of produced waters to some other interval?

9 A Yes, sir. It has been plugged properly.

10 I do have in later exhibits showing the
11 plugging report and a schematic of that plug.

12 Q All right. Within the area of review are
13 there any wellbores drilled below the San Andres formation?

14 A No, sir.

15 Q Have you made an inquiry of the District
16 Office of the Oil Conservation Division to determine whether
17 or not they have identified any problem wells within the
18 area of review?

19 A Yes, sir. I contacted with Mr. Jerry
20 Sexton in the District Office, discussed this application,
21 and he indicated that he knew of no problem wells within the
22 area.

23 Q All right, sir, let's go to Exhibit
24 Number Three and have you identify that.

25 A Exhibit Number Three is what we're
calling a type log. It is actually a sidewall neutron
porosity log of the State 5-A Well No. 1.

1
2 In the log, which goes from surface to
3 total depth of the well, which was at 4430, and details each
4 of the -- each of the horizons within the wellbore.

5 Q Within the San Andres interval what is
6 the general portion of that interval that's found to be pro-
ductive in the area?

7 A Usually it's somewhere from around -- it
8 varies, but around 4200 to around 4400 is the top of the --
9 top and bottom of the productive intervals.

10 Q Let's go to Exhibit Number Four, now, Mr.
11 Davis, and have you identify what that exhibit is.

12 A Exhibit Number Four is the Form C-108
13 that was submitted by our Midland District Office, which is
14 the application for this waterflood.

15 Q And have you reviewed the application and
16 all the exhibits that have been prepared pursuant to this
form?

17 A Yes, sir, they've been submitted to me
18 for review.

19 Q Will you turn to the wellbore schematic
20 for the first of the two injection wells, the one on the
21 State A Lease --

22 A Yes, sir.

23 Q -- and describe for us the method you'll
24 use to convert this for injection?

25 A At the present time the well is a produc-
ing well with a pumping unit. We plan to pull the rods,

1
2 pump, and tubing; replace -- do a small acid Xilene (sic)
3 type clean-up job to insure that the wellbore is clean of
4 corrosion and anything that might be injected back into the
5 formation, and install 2-3/8ths fiberglass tubing with a
6 packer, such that we can get better control upon the inject
7 -- of the zone that's going to be injected to protect the
8 back side from any possible corrosion, and inject into the
9 San Andres formation.

9 Q What is done with the annular space be-
10 tween the tubing string and the casing string?

11 A We will be filling it with a fluid that
12 will oppose any type of corrosion that might occur. It
13 would be what we commonly call packer type fluid.

14 Q Will there be a gauge on the surface or
15 some other device on the surface to detect pressure leaks?

16 A Yes, sir, there will be two gauges, one
17 on the tubing side showing the injection pressure, and a
18 gauge on the back side so that we can indicate if there is
19 any type of casing -- tubing leak or packer leak.

20 Q Turn now to the schematic for the Section
21 5 Lease and describe that for us.

22 A This is a schmatic of the proposed well-
23 bore arrangement after we've instigated our injection pro-
24 gram.

25 The procedure for doing the injection in-
to this Well No. 5 is the same as previously discussed.

Q All right, sir. I believe that completes

1 the pertinent information for Exhibit Number Four, Mr.
2 Davis.

3
4 Let's go on to Exhibit Number Five. All
5 right, sir, would you describe Exhibit Number Five for us?

6 A Exhibit Number Five is a -- indicates all
7 the wells within the area of review for the State 5 Well 8
8 No. 1. This is the area of review that was detailed on the
9 production map which was Exhibit Number Two.

10 Q And Exhibit Number Six, would you identify that for us?

11 A This is the same type of exhibit but it's
12 for the area of review for the State 5 Well No. 5 and details all the wellbores within that area.

13 Q All right, sir, and now would you turn to
14 Exhibit Number Seven?

15 Would you describe for us what information
16 is included within Exhibit Number Seven?

17 A Exhibit Number Seven includes all public
18 information on the wells that are indicated within the area
19 of review on the -- on Exhibit Number Five and Exhibit Number
20 Six.

21 The first two are non-operated wells, or
22 Champlin does not operate it. We have the scout tickets,
23 copies of them.

24 The additional wells are included that
25 are operated by Champlin. We've included all the Forms C-
105 indicating the initial completion.

1
2 The one well that was plugged and aban-
3 doned is included as the last well.

4 Q All right, let's turn to that attachment.

5 A Okay, that's the State 32 Well No. 8. I
6 have my own schematic drawn indicating how -- what the cur-
7 rent wellbore looks like, the way it was abandoned.

8 Q Just a minute, let's make sure we're with
9 you.

10 It's the fourth page from the end of the
11 package of --

12 A That's correct.

13 Q -- exhibits.

14 Q All right, sir, would you describe for us
15 the way this well has been abandoned?

16 A We have -- the perforations were from
17 4214 to 4428. We have set a cast iron bridge plug at 4100,
18 capping it with cement. The top of the cement was tagged at
19 4042.

20 We perforated the casing at 1700 to 01,
21 pumped 30 sacks of cement into the perforations and tagged
22 cement within the casing at 1558.

23 We perforated the casing at 419 to 20,
24 established circulation on the 4-1/2 and 8-5/8ths inch annu-
25 lus, pumped 150 sacks into the cement -- into the perfora-
26 tions, and left the 4-1/2 and 4-1/2 and 8-5/8ths annulus
27 full of cement.

28 Q All right, sir.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A We also installed a dry hole marker.

Q And this is the only plugged and abandoned well within the area of review.

A That's true.

Q All right, sir, let's turn to Exhibit Number Eight now.

A Exhibit Number Eight is a secondary reserve estimation for the conversion of the two wells.

Based upon our experiences on the northern partial unit that we installed for waterflooding, we had a secondary to primary ratio of 0.5 to 1.

We have not waterflooded this southern end so there is questions, will this be an accurate estimation of what we expect to perform.

The State 5 Well No. 5, we have an average recovery per well for the nine wells within the 9-spot of only 36,000 barrels of oil. Cumulative primary production allocation to the 9-spot would be a little less than 130,000 barrels of oil.

Assuming a secondary to primary ratio of 1 to R2.5, your secondary reserves estimates range from 130,000 to 65,000.

Current production allocated to the nine producers within the 9-spot is only 9 barrels of oil a day.

Based upon our experience to the north we've seen upwards of a threefold increase in production when we do get the secondary response, but it has required a

1
2 time delay of from one-half to one year, if we did get the
3 secondary recovery response.

4 The same type of information is presented
5 on the State 5-A Well No. 1.

6 The average recovery is 34,000. The cum-
7 ulative primary production is a little better, it's 165,000.

8 The assumed secondary -- with an assumed
9 secondary/primary ratio of .5 to 1, your reserves are 82,000
10 to 65,000. Current production allocated for the nine produ-
11 cers within the 9-spot is 8 barrels of oil a day.

12 Q All right, sir, if you'll turn to Exhibit
13 Number Nine and identify that exhibit.

14 A Exhibit Number Nine is a reservoir infor-
15 mation data sheet. It details the formation, the San Andres
16 formation in the Chaveroo San Andres Field. The source for
17 this information came from The Oil and Gas Fields of the
18 Southeastern New Mexico, which is a 1966 supplement pub-
19 lished by the Roswell Geological Society from Roswell, New
20 Mexico.

21 The pay zone is the San Andres. It de-
22 tails the discovery well, the trap type, the lithology, some
23 general reservoir data information, shows a normal comple-
24 tion practice, shows the normal well spacing, which is 40
25 feet -- 40 acres, and the depth to the bottom or deepest
fresh water zone in the area is -- is 170 feet.

26 Q Would you turn now to Exhibit Number Ten
27 and describe for the Examiner what the general injection

1
2 operation will be for this project?

3 A We have -- these are questions that are
4 asked on Item Number Seven on the Form C-108.

5 Our proposed daily rate of fluid to be
6 injected will be averaging 500 barrels of water per day per
7 well with a maximum of 1000 barrels of water per day.

8 The system is a closed system.

9 Our proposed injection pressures will
10 average, we believe, around 600 psi with a maximum of around
11 850 psi. That is equivalent to a .2 psi per foot to the top
12 of the perforations.

13 The source of our injection water is pro-
14 duced San Andres water collected by Champlin Petroleum with-
15 in the field from operated and one non-operated lease.

16 We do not expect any compatibility prob-
17 lems since it is going to be a closed injection system and
18 an analysis of the produced water is shown in the previous
19 exhibit, the reservoir data section of the geological data,
20 and I have included as an exhibit a water analysis report.

21 Q Mr. Davis, the proposed method of opera-
22 tion would include using make up water from some other for-
23 mation other than the San Andres.

24 A That is correct.

25 I have on Exhibit Number Ten, I do have
appended the injection well testing program which was out-
lined by me to the D. W. Talley, Jr., who is in our West
Texas District, telling -- detailing the type of testing and

operating procedure I want on the waterflood.

Q All right, sir, let's turn then to Exhibit Number Eleven and without going through it in detail, if you'll summarize for us the information contained on that exhibit.

A This is the interoffice correspondence I've previously referenced.

It details the series of step rate tests, pressure fall off tests, and injection well profile testing that I want completed on -- on the project. There's quite a few tests that are done at the first of the project and then after a time it spreads out to where we have one to two year intervals between tests.

Q All right, sir. Would you identify for us Exhibit Number Twelve?

A Exhibit Number Twelve details the proposed stimulation program. This is -- just details what I said previously about we're planning to give it a small acid, 500 gallon 15% hydrochloric acid and 500 gallons Xylene (sic) to remove wellbore and near wellbore damage.

Q And Exhibit Number Thirteen.

A Exhibit Thirteen is the water analysis report that I previously have alluded to.

This was taken from one of Champlin's wells, the 32-14. It was taken in March, 1977.

It compares very closely with the water sample that was supplied by the Roswell Geological Society.

1
2 Q All right, sir, and would you identify
3 for us Exhibit Number Fourteen?

4 A Exhibit Number Fourteen is from Ray Gra-
5 ham, who's Director of the Oil and Gas Division of the Com-
6 missioner for Public Lands.

7 It details who the beneficiaries are in
8 our State 5 and State 32 leases -- section.

9 State 32 section the beneficiary is the
10 common schools and in Section 5 the beneficiary is the Uni-
11 versity.

12 Q Let's turn now to Exhibit Number Two,
13 which was the production map, Mr. Davis.

14 A Yes, ma'am -- yes, sir.

15 Q Within the area of concern, have you
16 identified -- have you notified and obtained waivers from
17 all offsetting operators other than Champlin?

18 A Yes, sir, we've obtained waivers from all
19 offset operators.

20 Q And the surface owner at the well loca-
21 tion is the State of New Mexico?

22 A That is correct.

23 Q And you have Mr. Graham's approval on the
24 surface location?

25 A Yes, sir.

Q The injection wells are operated on a
lease by lease basis, are they not, Mr. Davis?

A That's correct.

1 Q And in your opinion is the proposed
2 method of operation one that will not violate the correla-
3 tive rights of any working interest or royalty interest
4 owner?

5 A That is correct.

6 Q The State of New Mexico is the royalty
7 owner. The working interest and overriding royalties are
8 either identical or the same within the area of operation?

9 A Yes.

10 Q Were Exhibits One through Fourteen pre-
11 pared by you or compiled under your direction and supervi-
12 sion?

13 A Yes, sir.

14 Q In your opinion will approval of this ap-
15 plication be in the best interests of conservation, preven-
16 tion of waste, and the protection of correlative rights?

17 A Yes, sir.

18 MR. KELLAHIN: I move the in-
19 troduction of Exhibits One through Fourteen.

20 MR. QUINTANA: Exhibits One
21 through Fourteen will be accepted as evidence.

22 CROSS EXAMINATION

23 BY MR. QUINTANA:

24 Q Mr. Davis, are there any fresh water
25 wells in the area that you have seen?

 A No, sir, there is no fresh water samples

1 -- wells in -- within the area.

2 We've had a visual inspection of the area
3 attempting within that area trying to find them and we have
4 not.

5 Q When you do convert these wells, would it
6 be too much trouble for you to do a pressure test on the
7 casing before you commence injection? By a pressure test I
8 mean if you would put 300 pounds on the casing for a half an
9 hour and if it falls off (not clearly understood.)

10 A Yes, sir, that is a common practice that
11 we utilize. We will be happy to do it.

12 Q I just want to make sure.

13 MR. QUINTANA: No further ques-
14 tions of the witness.

15 Does anybody have any questions
16 of the witness?

17 MR. TAYLOR: Yes, sir, I have a
18 question.

19 CROSS EXAMINATION

20 BY MR. TAYLOR:

21 Q Is it your testimony that your applica-
22 tion will protect fresh water sources in the area?

23 A The manner in which we have completed the
24 wells and diligently maintain our operations, I believe we
25 do protect any possible fresh water source within the area.

Q Would it be possible for you to check I

1 believe the records of the State Engineer to make sure there
2 are no fresh water wells in the area that you're missing
3 just by visual observation?

4 A Yes, sir.

5 Q I believe they have a method where you
6 can just call them or either write a letter and they have a
7 list of any fresh water wells.

8 A I contacted Jerry Sexton down in the Dis-
9 trict Office in Hobbs, New Mexico, and -- because this is my
10 first time to be before this body to find out all the infor-
11 mation.

12 We did talk about that and he said that
13 in this area, because we did have the visual inspection, he
14 did not believe it would be necessary to contact the State
15 Engineer. I believe he's in Roswell, New Mexico.

16 I can follow -- at that time I took that
17 as being okay.

18 Q Well, sure, but I mean some fresh water
19 wells may not be obvious to the surface, I suppose.

20 MR. KELLAHIN: You can check
21 again.

22 A We will be happy to check again.

23 MR. TAYLOR: That's all I have.

24 MR. QUINTANA: Okay, you may be
25 excused.

26 A Thank you.

27 MR. QUINTANA: Is there any-

1
2 thing further in Case 8437?

3 If not, it will be taken under
4 advisement.

5 (Hearing concluded.)
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY CERTIFY
that the foregoing Transcript of Hearing before the Oil Con-
servation Division was reported by me; that the said tran-
script is a full, true, and correct record of the hearing,
prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 8437
heard by me on January 16 1985.
William P. Quintana, Examiner
Oil Conservation Division