

STATE OF NEW MEXICO
ENERGY AND MINERALS DEPARTMENT
OIL CONSERVATION DIVISION
State Land Office Building
Santa Fe, New Mexico

24 April 1985

EXAMINER HEARING

IN THE MATTER OF:

Application of HNG Oil Company for
compulsory pooling, Eddy County,
New Mexico.

CASE
8558

Application of Texaco Producing,
Inc., for compulsory pooling, Eddy
County, New Mexico.

CASE
8580

BEFORE: Michael E. Stogner, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Oil Conservation
Division:

Maryann Lunderman
Attorney at Law
Energy and Mineral Department
Energy and Minerals Division
Santa Fe, New Mexico 87501

For HNG Oil Co.:

William F. Carr
Attorney at Law
CAMPBELL & BLACK P. A.
P. O. Box 2208
Santa Fe, New Mexico

For Texaco Producing
Inc.:

Ken Bateman
Attorney at Law
WHITE, KOCH, KELLY &
McCARTHY
220 Otero Street
Santa Fe, New Mexico 87501

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

CRAIG DUKE

Direct Examination by Mr. Carr	7
Cross Examination by Mr. Bateman	21
Redirect Examination by Mr. Carr	26
Cross Examination by Mr. Stogner	28

TERRY CHERRYHOLMES

Direct Examination by Mr. Carr	35
Cross Examination by Mr. Bateman	48

RAYMOND KEITH WILLIAMS

Direct Examination by Mr. Bateman	66
Cross Examination by Mr. Carr	81
Redirect Examination by Mr. Bateman	96
Recross Examination by Mr. Carr	97
Cross Examination by Mr. Stogner	98

GARY ROBERT KERN

Direct Examination by Mr. Bateman	101
Cross Examination by Mr. Carr	116
Cross Examination by Mr. Stogner	131

1

2

I N D E X CONT'D

3

4 STATEMENT BY MR. BATEMAN 134

5 STATEMENT BY MR. CARR 135

6

7

8

E X H I B I T S

9

10 HNG Exhibit One, Plat 9

11 HNG Exhibit Two, Lease 11

12 HNG Exhibit Three, AFE 12

13 HNG Exhibit Four, Letter 14

14 HNG Exhibit Five, Plat 36

15 HNG Exhibit Six, Cross Section A-A' 37

16 HNG Exhibit Seven, Structure Map 39

17 HNG Exhibit Eight, Isopach 41

18 HNG Exhibit Nine, Map 45

19 HNG Exhibit Ten, Plat 46

20

21 Texaco Exhibit One, Structure Map 68

22 Texaco Exhibit Two, Proposal 69

23 Texaco Exhibit Three, Cross Section 70

24 Texaco Exhibit Four, Isopach 73

25 Texaco Exhibit Five, Cross Section 75

E X H I B I T S CONT'D

1		
2		
3	Texaco Exhibit Five-A, Letter	77
4	Texaco Exhibit Six, Map	102
5	Texaco Exhibit Seven, Curve	104
6	Texaco Exhibit Eight, Drainage Calculations	105
7	Texaco Exhibit Nine, Curve	106
8	Texaco Exhibit Ten, Data	107
9	Texaco Exhibit Eleven, P/z Plot	107
10	Texaco Exhibit Twelve, Calculation	
11	Texaco Exhibit Thirteen, Log	110
12	Texaco Exhibit Fourteen, Log	110
13	Texaco Exhibit Fifteen, Log	112
14	Texaco Exhibit Sixteen, Log	112
15	Texaco Exhibit Seventeen, C-102	115
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1

2

3

MR. STOGNER: The hearing will
come to order.

4

5

6

We'll call next Case 8558,
which is the application of HNG Oil Company for compulsory
pooling, Eddy County, New Mexico.

7

8

9

MR. CARR: Mr. Stogner, my name
is William F. Carr with the law firm Campbell & Black, P.
A., of Santa Fe. We represent HNG Oil Company.

10

11

12

13

14

We would request at this time
that this case be consolidated with the application of Texa-
co, Inc., in Case 8580. Both applications involve pooling
of a 320-acre Pennsylvanian unit in Section 18, Township 24
South, Range 29 East.

15

16

MR. STOGNER: Are there any --
I'm sorry.

17

18

19

MR. BATEMAN: Ken Bateman, of
White, Koch, Kelly, and McCarthy, representing Texaco Produ-
cing, Inc.

20

21

We have no objection to consol-
idation of these two cases.

22

23

24

25

MR. STOGNER: In that case we
will now call Case 8580, which is the application of Texaco
Producing, Incorporated, for compulsory pooling, Eddy Coun-
ty, New Mexico.

1 This case, along with Case 8558
2 will be consolidated this morning for purposes of testimony.

3 At this time I will call for
4 appearances in 8580.

5 MR. CARR: William F. Carr,
6 representing HNG.

7 MR. BATEMAN: Ken Bateman,
8 White, Koch, Kelly, and McCarthy, appearing for Texaco
9 Producing, Inc.

10 MR. STOGNER: Are there any
11 other appearances in either one of these cases?

12 Will the witnesses -- are there
13 any witnesses?

14 MR. BATEMAN: Yes, I have two.

15 MR. CARR: And I have two.

16 MR. STOGNER: Will they all
17 stand and be sworn at this time?

18

19 (Witnesses sworn.)

20

21 MR. STOGNER: Mr. Carr, since
22 you are with Case 8558, and that was the first one filed,
23 you may proceed.

24 MR. CARR: At this time I would
25 call Craig Duke.

1

2

CRAIG DUKE,

3 being called as a witness and being duly sworn upon his
4 oath, testified as follows, to-wit:

5

6

DIRECT EXAMINATION

7

BY MR. CARR:

8

Q Will you state your full name and place
9 of residence?

10

A Craig Duke, Midland, Texas.

11

Q Mr. Duke, by whom are you employed and in
12 what capacity?

13

A HNG Oil Company.

14

Q Have you -- and how are you employed by
15 HNG?

16

A As a landman.

17

Q Have you previously testified before this
18 Division or one of its examiners?

19

A No, sir, I have not.

20

Q Would you summarize for Mr. Stogner your
21 educational background and your work experience?

22

A I graduated from Pecos High School and
23 attended the University of Texas at Austin, where I received
24 a BA with specialization in petroleum land management.

25

I then went to work for Exxon Corporation

1 for approximately one year and a half after graduating and
2 then in June of 1980 went to work for HNG Oil Company; have
3 been there ever since.

4 Q When did you receive your degree?

5 A When? In 1978.

6 Q Are you familiar with the application of
7 HNG filed in this case?

8 A Yes, sir.

9 Q Are you familiar with the subject area
10 and the proposed well?

11 A Yes, sir, I am.

12 MR. CARR: Are the witness'
13 qualifications acceptable?

14 MR. STOGNER: Yes, they are.

15 MR. BATEMAN: No objection.

16 MR. STOGNER: Mr. Duke is so
17 qualified.

18 Q Mr. Duke, will you briefly state what HNG
19 seeks in this case?

20 A We are seeking to pool the west half of
21 Section 18 of Township 24 South, Range 29 East, Eddy County,
22 New Mexico.

23 We're going to drill a well at a standard
24 location thereon. I believe our overhead and administrative
25 costs are in line. We wish to be designated as operator of

1 said well, and we would like the imposition of a risk penal-
2 ty.

3 Q Have you prepared certain exhibits for
4 introduction in this case?

5 A Yes, sir, I have.

6 Q Would you refer to what's been marked for
7 identification as HNG Exhibit Number One, identify this and
8 review it for Mr. Stogner?

9 A Exhibit Number One is just a land plat
10 and what it basically shows in red is the proration unit
11 proposed by HNG, along with the well location of the Fort 18
12 Federal Com No. 1, being 1980 from the north line and 885
13 from the west line, which is a standard location for a west
14 half unit.

15 Basically, the solid yellow acreage is
16 HNG's leasehold.

17 The dashed, or the horizontal, diagonal
18 lines designate farmout to HNG, and then the green acreage
19 is the Getty/Texaco acreage involved.

20 We currently plan to drill the Fort Well
21 to a depth of 12,400 foot to encounter the Atoka Sands and
22 the plat so designates the ownership.

23 Q Have you moved this well location?

24 A Yes, sir, we have. Originally the loca-
25 tion was 1980 from the south, 660 from the west. We went

1 out to survey it and at that particular point in time, be-
2 cause the Pecos River runs right through there, which is not
3 shown in this map, we had to move it to the north along with
4 our -- the other witness to testify will give the geologic
5 reasons of that.

6 We moved it 1980 from the north line and
7 660 from the west and at that same point of the surveying
8 date, around March the 7th, thereabouts, there was an alfal-
9 fa field out there and the farmer didn't want us to get in
10 that, so we moved it to 885 from the west.

11 Q Is this still a standard location?

12 A Yes, sir, it is.

13 Q What is the current status of the Fort 18
14 Federal Com No. 1 Well?

15 A We have drilled the Fort Federal Com 18
16 No. 1 Well to a depth of 10,650 foot and have set 7-inch
17 intermediate casing.

18 We have moved the rig off on or about Ap-
19 ril the 20th of 1985 and are currently waiting pending the
20 outcome of this hearing whenever to finish drilling that
21 well.

22 Q What is the status of the east half of
23 the northeast quarter of 18?

24 A It is open Federal acreage.

25 Q Are there other recent wells in the area

1 which are not shown on this plat?

2 A Yes, sir, there are. There, you can see
3 a Section 13 on said plat due west of our proposed location,
4 and in that east half there Tenneco has just recently or are
5 still drilling the Harrison -- I don't -- I guess Harrison
6 No. 1, Com No. 1.

7 Down about a mile to the south, just off
8 the plat, you see Section 24. Right below that is where HNG
9 has just completed the Craft 25 Federal Com No. 1.

10 Q Now what is the proposed -- the objective
11 in the proposed well?

12 A It is a 12,400 foot test and we hope to
13 encounter the Atoka Sands.

14 Q Would you now refer to what has been
15 marked HNG Exhibit Number Two, identify this and explain
16 what it shows?

17 A Okay. Exhibit Two basically shows the
18 leasehold owners and/or working interest owners.

19 The next column shows the number of acres
20 contributed and then the percent of that acreage to the
21 proposed working interest proration unit.

22 The first is HNG Oil Company and then in
23 the, let's see, the southwest southwest and the northeast
24 northwest quarters of Section 18 is a KGS lease of which HNG
25 has 100 percent working interest.

1 We also own another undivided 20 acres
2 consisting of the west half of the northwest, the southeast
3 of the northwest, and the northwest southwest, and that's an
4 undivided 20 acres.

5 Then, as you can see, we've got roughly
6 20 working interest owners and which we obtained a farmout
7 to HNG on a produce to earn, and that is one base lease con-
8 sisting of approximately 139.04 acres, and then Texaco,
9 Inc., has their 80 acres in the east half of the southwest,
10 which they acquired from Getty Oil Company, who had the D.
11 S. Harroun Trustee lease, HBP by another well in the immed-
12 iate area.

13 Q What percentage of the acreage has been
14 voluntarily committed to the drilling of a well in the west
15 half of this section?

16 A 75 percent, thereabouts.

17 Q Would you now refer to what has been
18 marked as HNG Exhibit Number Three, identify this, and then,
19 if you would, would you review the totals on it?

20 A Yes, sir. This is a copy of HNG's AFE in
21 the drilling of this 12,400 foot Atoka test.

22 The dry hole cost is \$1,116,500. To com-
23 plete this well would cost another \$372,625, bringing the
24 total cost to complete the well of \$1,489,125.

25 Q Has this AFE previously been submitted to

1 Texaco?

2 A No, sir, I don't believe so. The costs
3 have not a formal AFE.

4 Q Are these costs in line with what's being
5 charged by other operators in this area for similar wells?

6 A Yes, sir, they are.

7 Q Would you summarize for the examiner your
8 efforts to obtain voluntary joinder of all interest owners
9 under the proposed west half spacing unit?

10 A Okay. On or about January the 9th of
11 1985 I -- we had gotten from the geologist permission or ap-
12 proval to go ahead and propose the drilling of this well.

13 At that particular day I called Woody
14 Woods, who was then employed by Getty and who is now em-
15 ployed, I guess, with Texaco after the merger, subsequent to
16 the merger, and discussed the drilling of this Fort 18 Fed-
17 eral Com No. 1, and asked if Getty/Texaco would join and/or
18 farmout to this well or what, you know, they might do on the
19 thing.

20 At that particular point Woody stated
21 that they would be inclined to either join and/or farmout.
22 He couldn't commit at this point, but that they would do
23 something.

24 On 1-11 of '85, two days later, I sent a
25 proposal letter to Woody Woods over at Getty/Texaco asking

1 them to participate as to their 80 acres, being the east
2 half of the southwest quarter, in the forming of a west half
3 proration unit to drill this 12,400 foot Atoka test.

4 If Getty did not want to join, the pro-
5 posal letter stated that we would accept a farm-in from Get-
6 ty with Getty delivering a 75 percent net revenue interest
7 to us with the option to convert their override, retain the
8 override to a 25 percent working interest after payout of
9 the said well.

10 I further stated in the proposal letter
11 that HNG, if Getty did farm out, Texaco/Getty, HNG would
12 have the option within 180 days of completion of this Fort
13 Federal Com 18 No. 1, to start a well at a legal location in
14 the east half of the section, form an east half proration
15 unit, with Getty farming out its interest, remaining inter-
16 est in the section, being southeast quarter, on all the same
17 terms and conditions as was proposed for the initial test.

18 Q And, Mr. Duke, is HNG Exhibit Number Four
19 a copy of the letter you sent on January 11th to Getty or
20 Texaco, whichever it may be?

21 A Yes, sir, it is.

22 Q And at that time you were proposing that
23 this section be developed with two stand up units
24 ultimately.

25 A Yes, sir, ultimately, right.

1 Q Okay, would you the review your -- the
2 next contact you had with Getty or Texaco?

3 A Okay. On February the 20th, 1985, Mr.
4 Bill Lewis of HNG had called Bennie Tidwell of Texaco to see
5 if they had made a decision. What has transpired is Getty,
6 when they had the lease after the merger and transferred
7 this acreage over to their Production Department, or some-
8 thing of that nature, and it was going to be a Production
9 Department decision, and therefore that's the reason Mr.
10 Lewis contacted Mr. Tidwell.

11 Mr. Tidwell said that it would be next
12 week before they had a decision but all indications were
13 that they were inclined to join us in the drilling of this
14 well.

15 On or about March the 4th we still, Mr.
16 Tidwell kept postponing us, postponing us, putting us off,
17 and we couldn't wait on Texaco any longer because of certain
18 farmout obligations that we had to this.

19 We called Mr. Bill Carr here in Santa Fe
20 and told him to file a forced pooling on Texaco, pooling the
21 west half of said section.

22 Q When did you receive a formal reply from
23 Texaco?

24 A A formal reply, they repropoed an addi-
25 tional well on March the 22nd of that -- that year. We then

1 notified them on around March the 11th of the forced pooling
2 notification.

3 Q All right. How did you do that?

4 A We got a copy of the application and sent
5 it straight to Texaco, attention Mr. Bennie Tidwell.

6 Q Did anything happen after March 11th
7 prior to their response on the 22nd?

8 A No, sir.

9 Q Will you review what happened exactly on
10 the 22nd?

11 A On the 22nd Mr. Tidwell called Mr. Bill
12 Lewis of our office and said that he was sending a letter
13 over hand delivered, stating that Texaco would not be inter-
14 ested in joining a well in the west half but now they would
15 be interested in -- nor would they be interested in farming
16 out.

17 Instead, the letter, simply stated, pro-
18 posed the drilling of a 12,400 Atoka test to be located 1980
19 from the west line and 660 from the south line of Section
20 18, thus forming a south half proration unit, and they
21 didn't give a spud date, simply said they would spud the
22 well in the near future.

23 Q When did you learn that a forced pooling
24 application had been filed?

25 A On HNG?

1 Q Yes.

2 A Let's see, that was on, I believe, around
3 in April the --

4 Q Okay.

5 A -- some, well, let's see, no, it was
6 March sometime.

7 I'm not for sure of the exact date.

8 Q Then following the receipt of the letter
9 and the proposal from Texaco, what transpired?

10 A At that particular time on the 22nd when
11 Mr. Lewis talked with Mr. Tidwell, he explained that we were
12 going to have to go ahead and spud the well three days
13 later, which we did on the 23rd of -- yeah, the 23rd, the
14 25th, around in there, we spudded the well in order to meet
15 the March 30th farmout obligation, and the -- excuse me.

16 Q Has there been any contact or negotiation
17 with Texaco since that time?

18 A No, sir.

19 Q Now, Mr. Duke, you've testified so far
20 about your efforts to bring in the Getty/Texaco interest,
21 being the east half of the southwest quarter.

22 Would you now review for Mr. Stogner your
23 efforts to obtain the joinder of the other interest owners
24 in the west half?

25 A As you can see on the Exhibit One, HNG

1 has roughly 80 acres that we own ourselves.

2 The other, roughly, 160 acres is --
3 there's an old -- it's not shown on the exhibit, but there's
4 an old -- it's called the Malaga Unit. It's an old Federal
5 unit producing, oh, from the surface to roughly 3000 feet.
6 This was back in the fifties when it started out and even-
7 tually this Austin Gas Purchasing Company, who you find on
8 Exhibit Two, had bought it and they since had disbursed part
9 of their assets of the corporatio to their shareholders
10 and/or employees, and so we had to start trying to track
11 these people down. They didn't have anything filed in the
12 county or anything like that.

13 We then -- we've been working on this
14 roughly eighteen months trying to get these working interest
15 owners all together to farm out. We've had to track down
16 probates. We've had several title problems; none of the
17 probates being filed in Eddy County, and whatnot, and final-
18 ly got them all in the boat, so to speak, back last -- the
19 first part of last fall or in the summer, and we just felt
20 an extension at this point in time would just not be a pos-
21 sible situation since most of the people that we -- that we
22 got the farmouts from were non-industry types or not in-
23 formed about, you know, didn't know a lot about the oil bus-
24 iness, basically.

25 Q The farmout agreement between HNG and

1 these interest owners that interest comes from the Austin
2 Gas Purchasing, Inc., does that farmout agreement contain
3 any requirements providing for the drilling of wells by any
4 dates?

5 A Yes, sir, it does. It provides that we
6 will spud a well on or before March 30th, 1985.

7 Q And that is the reason you had to go
8 ahead with the well.

9 A Yes, sir, it is.

10 Q In your opinion have you made a good
11 faith effort to locate and obtain the voluntary joinder of
12 all interest owners in the west half of Section 18?

13 A Yes, sir.

14 Q Has HNG drilled other Pennsylvanian wells
15 in this general area?

16 A Yes, sir, we have, oh, I would say within
17 a 10-mile radius there, HNG's drilled anywhere from 25 to 30
18 wells.

19 Q Were Exhibits One through Four prepared
20 by you or compiled under your direction and supervision?

21 A Yes, sir, they were.

22 Q Can you testify as to the accuracy of
23 these exhibits?

24 A Yes, sir, I can.

25 MR. CARR: Mr. Stogner, at this

1 time we would offer into evidence HNG Exhibits One through
2 Four.

3 MR. STOGNER: If there are no
4 objections, Exhibits One through Four will be admitted into
5 evidence.

6 Q Mr. Duke, have you made an estimate of
7 the overhead and administrative costs while drilling this
8 well and also while operating it, if in fact it is a suc-
9 cessful well?

10 A Yes, sir. The drilling rates that we use
11 on all wells is \$5250 and \$525 a month producing.

12 Q And what is the basis for these figures?

13 A The COPAS accounting procedure, which we
14 adjust annually.

15 Q And this -- these are the figures you're
16 using for all wells which you're drilling during this year?

17 A Yes, sir, it is.

18 Q Are these costs in line with what's being
19 charged by other operators?

20 A Yes, sir, they are.

21 Q Do you recommend that these figures be
22 incorporated into any order which results from this hearing?

23 A Yes, sir, I do.

24 Q Does HNG seek to be designated operator
25 of the proposed well?

1 A Yes, sir, we do.

2 MR. CARR: That concludes my
3 direct examination of Mr. Duke.

4 MR. STOGNER: Thank you, Mr.
5 Carr.

6 Mr. Bateman, your witness.

7 MR. BATEMAN: Thank you, Mr.
8 Examiner. Just a few questions concerning HNG interest in
9 the area.

10

11 CROSS EXAMINATION

12 BY MR. BATEMAN:

13 Q You didn't mention Section 19, I don't
14 believe, in your testimony. What does HNG own in Section
15 19, the offset to the south?

16 A We own the north half proration unit
17 which we drilled on a Phillips farmout several years ago.

18 Q Do you own any interest in the south
19 half?

20 A Yes, sir, we do.

21 Q What interest is that?

22 A I believe it's roughly 50 percent.

23 Q Who owns the other 50 percent?

24 A Phillips.

25 Q Is that covered under the farmout you re-

1 ferred to?

2 A Yes, sir.

3 Q So you either own or control the south
4 half of 19, right?

5 A We don't own or control it. We own an
6 interest in it, yes, sir.

7 Q What else do you own in the immediate
8 offsetting area?

9 A We own acreage in the north half of Sec-
10 tion 24 and we also have acreage under or we have contrac-
11 tual rights under Section 6 to the north, of which we are a
12 working interest owner in the Getty Harroun Well, and we
13 have various small interests in Section 7.

14 Q The Queen Lake Federal No. 1, shown in
15 Section 19, is completed in what interval, do you know?

16 A It's the Atoka Lime, I believe. You'd
17 probably do better to cross examine the geological witness
18 on that, but I believe it is the Atoka Lime.

19 Q All right. Now, with respect to Exhibit
20 Number Four, you testified that Texaco has offered two op-
21 tions with respect to the drilling of a well but you identi-
22 fied the well -- let's see, the reference here is 1980 from
23 the south line and 660 from the west line. Now that in fact
24 is not the location of the well that's spudded, right?

25 A That is -- in fact, no, it is not.

1 Q Now was Texaco notified of the change in
2 location?

3 A No, sir.

4 Q And you testified that that was because
5 of terrain and geologic?

6 A Yes, sir.

7 Q From terrain considerations, how far away
8 from the river was it required to move?

9 A I can't -- explain that.

10 Q How far away from the river did you have
11 to move?

12 A After they got out there and looked at
13 it, I'm not for sure of the exact footage, but at that par-
14 ticular point they had done some more geological work after
15 surveying it, and had decided to go with 1980 from the
16 north.

17 Q And at this time it's 660 from the west.

18 A Yes, sir.

19 Q So you wound up with a third location,
20 which was what, 880 from the west?

21 A No, sir, 885. That was due --

22 Q 885.

23 A -- to the alfalfa field, as I previously
24 testified.

25 Q So you had during that period three pos-

1 sible locations, only one of which you notified Texaco, is
2 that correct?

3 A That is correct.

4 Q You were also requested to join in drill-
5 ing a well in the south half, is that correct --

6 A Yes, sir, --

7 Q -- by Texaco?

8 A -- that's correct.

9 Q Was there any response to that request?

10 A We didn't receive the request until, as I
11 stated, March the 22nd, and at that particular time we spud-
12 ded our well the next day, as they were aware of.

13 Q So that was the response, I take it.

14 A That is exactly right.

15 Q No formal response, phone call, letter,
16 or any response other than the spudding the well?

17 A No, sir, there was a phone call, as I
18 told you, on the 22nd with Mr. Lewis and Mr. Tidwell, and
19 Bill Lewis told Mr. Tidwell that we were going ahead with
20 the spudding of our well due to farmout obligations.

21 Q But that wasn't in response to Texaco's
22 request, was it?

23 A No, sir.

24 Q Now you never did submit an AFE, just a
25 total figure, is that correct?

1 A That is correct.

2 Q So they have an AFE that's here, was pre-
3 pared in connection with this hearing, is that correct?

4 A Sir?

5 Q The AFE that's here as Exhibit Number
6 Three was prepared in connection with this hearing, is that
7 right?

8 A No, sir, that is not correct. It was
9 prepared for the drilling of the well.

10 Q But nevertheless, it hadn't been submit-
11 ted to Texaco.

12 A At such time as Texaco would have told us
13 whether they were going to join or farmout, they would have
14 had the right to approve a mutually acceptable operating
15 agreement along with an AFE.

16 Q The question is whether it was submitted
17 and I think the answer is no.

18 A I already said no.

19 MR. BATEMAN: No further ques-
20 tions.

21 MR. STOGNER: Mr. Carr, any
22 more direct?

23 MR. CARR: Yes, Mr. Stogner,
24 just two questions.

25

1

2

REDIRECT EXAMINATION

3

BY MR. CARR:

4

Q

Mr. Duke, at the time you received the proposal from Texaco on March 22nd, had HNG already built the location for their well in the northwest quarter of Section 18?

6

7

8

A

Yes, sir, we had.

9

Q

And if I look at Exhibit Number Three, the AFE, there are a number of initials on the bottom and dates after those.

10

11

12

Would you explain what those show?

13

A

Well, the way an AFE is generated, the engineers draw up their casing design and all of that, the tangible and intangible well costs, and then they start circulating it for all the Vice Presidents. You've got the Vice President of Drilling. You've got the Vice President, Production; Vice President of the Land; Vice President of Production Geology. You've got the Executive Vice President. You've got -- then the President.

14

15

16

17

18

19

20

21

Q

And you have to do this every time you get an AFE?

22

23

A

Every single time.

24

25

Q

All of these initials are various company employees?

CROSS EXAMINATION

1
2 BY MR. STOGNER:

3 Q Now let's go to Exhibit One, Mr. Duke.

4 A Yes, sir.

5 Q You said the mighty Pecos River goes
6 through here.

7 A Yes, sir.

8 Q Approximately where?

9 A Well, roughly it -- it's meandering com-
10 ing down through there, but roughly it goes -- it takes a
11 turn back to the southwest, cutting across the Harroun Texa-
12 co Lease and then winding back around through the Queen Lake
13 Well down there, around like that. So it's kind of an "S"
14 shaped type situation.

15 Q Does HNG have a map with the river on it,
16 by any chance, that they're going to be submitting as an ex-
17 hibit today?

18 A No, sir.

19 Q Mr. Duke, I'm going to hand you my copy
20 of Exhibit One.

21 A Yes, sir.

22 Q And let you roughly draw where the Pecos
23 River is in there.

24 A Okay. That's real rough.

25 Q No problem. The dot that is on this par-

1 ticular exhibit represents the well as it is now, is that
2 correct, where it exists, is that correct?

3 A Yes, sir, it does.

4 Q And how far is it from the west line?

5 A 885 feet.

6 Q How far is it from the north line?

7 A 980 feet -- 1980 feet, I'm sorry.

8 Q What is the present status of that well?

9 A We have drilled the well to 10,650 foot,
10 set 7-inch intermediate casing, and moved the rig off loca-
11 tion.

12 Q 10,000-what?

13 A 650.

14 Q 650. And you don't know the exact date
15 and time that you spudded that well?

16 A Yes, sir, it was the 25th -- 25th of
17 March.

18 Q Do you know the date that you penetrated
19 the Pennsylvanian formation?

20 A No, sir, we're, like I said, at 10,650
21 foot. We've set intermediate casing, 7-inch, just fixing to
22 start into the Wolfcamp.

23 Q Okay. On January 11th -- I'm sorry,
24 let's back up two more days, if I heard it right, 'and cor-
25 rect me if I'm wrong -- on January 9th, 1985, you contacted

1 a Woody Wood?

2 A Woody Woods.

3 Q Woody Woods at the -- this address in
4 Midland?

5 A At Getty, which is in the Midland Nation-
6 al Bank Tower Two, fourth floor, I believe.

7 Q Okay, now Woody Woods, is he a Getty --
8 was he an old time Getty employee?

9 A Yes, sir, he was.

10 Q This letter was set out on March 11th,
11 1985. Was there ever a --

12 A No, sir, January 11th, 1985.

13 Q I'm sorry, January 11th, 1985. Was there
14 a return receipt sent with this?

15 A No, sir, it was just sent by mail across
16 the street.

17 Q So you don't know if Getty received it.

18 A Yes, sir, I do. I talked with Mr. Woods
19 on several occasions after that.

20 Q When? Did he tell you he received the
21 letter?

22 A Yes, sir.

23 Q When did he ever tell you that he re-
24 ceived the letter?

25 A He told me he received the letter approx-
imately a week to ten days later.

1 imately a week to ten days later.

2 Q Okay. Now on March 20th, 1985, I have
3 here from your testimony that Mr. Lewis of your office con-
4 tacted Mr. Tidwell and had a discussion?

5 A No, sir, that was on February 20th.

6 Q Thank you. I want to make sure and get
7 my dates right.

8 A Yes, sir.

9 Q Okay. Who is Mr. Tidwell?

10 A I, like I said, I've had several discus-
11 sions with Mr. Woods, just calling to see where it was at,
12 where they were at on our proposal, and he had told us some-
13 where between the 11th of January and roughly the 1st of
14 February that he had shifted it over to Texaco Production,
15 or whatever, I don't -- I'm not familiar with that, but any-
16 way, Mr. Tidwell is some type of a landman, a head guy.
17 He's not -- I don't know if he's District Landman or what
18 exactly his title is, but he is with Texaco and Mr. Lewis is
19 acquainted with him.

20 Q Okay, so as far as your understanding
21 goes, Mr. Tidwell, he was with Texaco all this time.

22 A Yes, sir, he has been for thirty years, I
23 guess, or twenty.

24 Q In Midland?

25 A Yes, sir.

1 Q Subsequent or after February 20th, 1985,
2 where does Mr. Woods fit into this?

3 A Mr. Woods, once Mr. Lewis contacted Mr.
4 Tidwell, Mr. Woods had told me that he had transferred it
5 over to the Texaco Production Office and Mr. Wood -- Mr.
6 Lewis knowing Mr. Tidwell over at Texaco, that's why he con-
7 tacted him, and Mr. Tidwell was handling it.

8 Q So we -- we are now contacting Mr. Tid-
9 well..

10 A Yes, sir.

11 Q Okay, so Mr. Woods is out of it?

12 A Yes, sir.

13 Q Okay. Did Mr. Tidwell, by chance, send
14 any correspondence concerning this conversation on February
15 20?

16 A No, sir, he did not. It was just a con-
17 versation over the phone that they were waiting on their
18 committee, or whatever they do to get approval.

19 Q Any correspondence from Lewis to Tidwell?

20 A No, sir.

21 Q Correct me if I'm wrong, on February --
22 I'm sorry -- March 11th, 1985, that's when HNG filed for
23 compulsory pooling?

24 A No, sir. March the 4th is when I called
25 Mr. Carr.

1 On March the 11th we received Notice of
2 Application for the pooling and that same day we sent a copy
3 straight to Texaco, attention Mr. Bennie Tidwell.

4 Q Was that sent out return receipt re-
5 quested?

6 A No, sir.

7 Q Now did you correspond with them or did
8 you know if they had received that particular application?
9 Or when they received it?

10 A No, sir, I don't know.

11 Q Obviously they received it or they
12 wouldn't be here today.

13 A Yes, sir.

14 Q Okay. Which portion of your lease was
15 expiring on March 30th, 1985? When I say "your", HNG.

16 A It wasn't expiring on '85. It was an ob-
17 ligation from a farmout from all of these 20-some odd
18 working interest owners that on the deep rights, that we
19 would spud a well by that time.

20 Q And in spudding the well on the time you
21 did, these obligations were met.

22 A Yes, sir.

23 Q Now your overhead charges, \$5250 while
24 drilling, \$525 while producing, is that correct?

25 A Yes, sir.

1 Q And these are adjusted annually?

2 A Yes, sir, April 1st, annually.

3 Q Okay. Are these higher than they were a

4 year ago?

5 A Yes, sir.

6 Q Are these higher than they were three

7 years ago?

8 A Naturally.

9 Q Is the drilling cost higher today than

10 what they were a year ago?

11 A You'd probably have to talk to my geolo-

12 gic witness. I don't know.

13 MR. STOGNER: I have no further

14 questions of Mr. Duke.

15 Are there any further questions

16 of this witness?

17 If not, he may be excused.

18 We are going to take a lunch

19 break at this time and resume at 1:15.

20

21 (Thereupon the noon recess was taken.)

22

23 MR. STOGNER: The hearing will

24 resume to order.

25 You may continue, Mr. Carr.

1 MR. CARR: At this time I call
2 Mr. Cherryholmes.

3
4 TERRY CHERRYHOLMES,
5 being called as a witness and being duly sworn upon his
6 oath, testified as follows, to-wit:

7
8 DIRECT EXAMINATION

9 BY MR. CARR:

10 Q Will you state your full name and place
11 of residence?

12 A Okay. Terry Cherryholmes, Midland, Texas.

13 Q Mr. Cherryholmes, by whom are you em-
14 ployed and in what capacity?

15 A I'm employed by Houston Natural Gas Oil
16 Company and I'm the Manager of Production Geology.

17 Q Have you previously testified before the
18 Division and had your credentials as a geologist accepted
19 and made a matter of record?

20 A Yes, sir.

21 Q Would you -- are you familiar with the
22 application filed in this case on behalf of HNG?

23 A Yes, sir.

24 Q Are you familiar with the subject area
25 and the proposed well?

1 A Yes, sir.

2 MR. CARR: Are the witness'
3 qualifications acceptable?

4 MR. STOGNER: If there are no
5 objections Mr. Cherryholmes is so qualified.

6 Q Mr. Cherryholmes, have you preped cer-
7 tain exhibits for introduction in this case?

8 A Yes, sir.

9 Q Would you refer to what has been marked
10 as HNG's Exhibit Number Five, identify this, and review the
11 information contained thereon?

12 A Okay. Exhibit Number Five is a line of
13 cross section plat, scale one inch equals 2000 feet.

14 This plat shows a portion of Eddy County,
15 New Mexico, about 20 miles southeast of Carlsbad and about
16 2 miles east of the little village of Malaga.

17 It shows Section 18 of Township 24 South,
18 Range 29 East, where the HNG Fort 18 Com No. 1 is located in
19 the west half of the northwest quarter of Section 18.

20 This location is a 12,400 foot Atoka-
21 Culebra Bluff sand test with a secondary objective being the
22 Atoka Queen Lake Lime zone that produces in several wells in
23 this area, including our Federal 19 No. 1.

24 Q That's the well due south of the --

25 A Due south on the line of cross section.

1 This plat also describes a 2-well
2 north/south cross section that goes from HNG's well on the
3 south, the Federal 19-1, generally due north to the Getty
4 Malaga Harroun Well about three miles to the north.

5 Also shown on this exhibit is the pro-
6 posed Texaco location in the southeast quarter of the south-
7 west quarter of Section 18.

8 Q Now, Mr. Cherryholmes, I'd like you to go
9 to Exhibit Six and it may be easier for you to work from the
10 copy of the exhibits on the wall.

11 A Okay.

12 Q Identify this and review for Mr. Stogner
13 what it shows.

14 A Okay. This is cross section A-A'. It's
15 a 2-well cross section from south to north from HNG's Queen
16 Lake 19 Federal No. 1 on the south to Getty's -- the Getty
17 well on the north.

18 I would like to point out several factors
19 that become obvious from this cross section here, and I'll
20 probably refer to this cross section later.

21 The Getty Harroun Well to the north is
22 250 feet structurally high on the top of the Strawn Lime to
23 HNG's well three miles south. You have -8626 subsea top and
24 -8876 subsea top.

25 By the way, the top of the Strawn Lime is

1 what the State of New Mexico also calls the top of the Ato-
2 ka.

3 This Isopach interval that's shown on
4 this cross section from the top of the Strawn to the top of
5 what we call the Lower Atoka Lime marker, is 462 feet thick
6 in the Getty well to the north and is 333 feet thick in the
7 Federal 19 No. 1 three miles to the south.

8 This Isopach interval includes the Culeb-
9 ra Bluff Atoka Sands that are developed within this interval
10 in this part of Eddy County, New Mexico.

11 This well, as I pointed out, is 70 feet
12 thicker in this total interval than the well on the south,
13 HNG's well.

14 The Isopached interval that I've men-
15 tioned here is used in making the forthcoming Exhibit Number
16 Seven, which is an Isopach map from the top of this to the
17 top of the Atoka Lime marker.

18 The cross section is pretty clear. It's
19 showing that as you move north from the HNG well, that you
20 have a greater interval in which to develop this Culebra
21 Bluff Sand, or the Atoka Sands here.

22 A third thing to notice is that the
23 structurally higher and thicker interval Getty well on the
24 north also has, one, Culebra Bluff-Atoka Sand developed in
25 it.

1 It also has another Atoka Sand developed
2 that's below the lime marker.

3 It also, in fact, has a good-looking,
4 from what we can tell from the log, a Queen -- Atoka Queen
5 Lake Lime pay that has not been tested in this well.

6 This Atoka Queen Lake Lime pay is what
7 produces in HNG's well in Section 19, and if you will
8 notice, the HNG well is structurally lower, structurally
9 with a thinner interval to develop this Culebra Bluff Sand
10 and, in fact, it has no sand developed in it. The only pay
11 which is shown on this log is the Atoka Lime.

12 Q So neither of the sand stringers were
13 present in the HNG well.

14 A That's correct.

15 Okay, Exhibit Number Seven is a structure
16 map on the top of what we call the Strawn Lime, that I just
17 pointed out on the cross section, and this structure map is
18 contoured on the interval of 50 feet and it's on a scale of
19 one inch equals 2000 feet.

20 This structure map is a 12-section area,
21 a small portion of a regional map of Eddy County, New Mex-
22 ico, within -- that includes Section 18 here that we're
23 talking about today.

24 The regional dip from this structure map
25 is to the east and to the southeast, so you get structurally

1 higher to the north, to the northwest, and to the west.

2 It shows that the Getty Harroun Well is
3 250 feet structurally higher than HNG's well in Section 19.

4 Although not clearly obvious on this map,
5 the other exhibits will show it later, there are three Atoka
6 Sand producers on this map, the Getty Harroun, the Eastland
7 Fortson Well in Section 12, and the Coquina Craft Well in
8 Section 13.

9 Besides HNG's Federal 19 No. 1, the Santa
10 Fe Burkham Well produces from the Atoka Lime.

11 This map also indicates that the proposed
12 Texaco location would be approximately 80 feet structurally
13 lower than the HNG's Fort 18 Com No. 1, and also about half-
14 way closer to HNG's Queen Lake 19 No. 1 that has no Atoka
15 Sand developed in it.

16 Q Now, Mr. Cherryholmes, if I understand
17 your testimony, you are saying that you have a better pros-
18 pect the higher you get structurally in this area?

19 A Structure is definitely related to the
20 producers in this area.

21 Q Mr. Cherryholmes, I'd like for you to
22 take a look at just Section 18 and look at each of the quar-
23 ter sections in that section and if you can, would you eval-
24 uate or rank those quarter sections as to which of those
25 quarter sections offers from a structural point of view the

1 best place to drill an Atoka well?

2 A Okay, by quarter sections?

3 Q Yes.

4 A Based on HNG's interpretation the north-
5 west quarter would be the best location.

6 The northeast quarter and the southwest
7 quarter would be about a toss up, based on structure.

8 And the southeast quarter would be the --
9 the worst, if you want to put it that way.

10 Q All right, would you now go to your
11 Exhibit Number Eight and review that, please?

12 A Exhibit Number Eight is an Isopach map
13 from the top of the Strawn Line to the top of the Lower
14 Atoka Line marker, as I pointed out on the cross section.
15 It covers the same 12-section area that the structure map
16 covered and it also is a portion of a larger regional map of
17 this area.

18 It's on a scale of one inch equals 2000
19 feet.

20 This gross Isopach map shows the Getty
21 Harroun Well to the north with the thickest interval, 406
22 feet, and the Queen Lake 19 Federal No. 1 with the thinnest
23 Isopach interval, 336 feet.

24 So, as you can see from this map, this
25 interval where the Atoka Sands, the Culebra Bluff sands are

1 developed, this interval gets thicker to the west, to the
2 northwest and to the north, as the line of section shows.

3 It gets thinner, conversely, to the
4 south.

5 The interpretation shows that HNG's Fort
6 18 Com No. 1 location is expected to be about 20 to 25 feet
7 thicker than the proposed Texaco location.

8 This Isopach indicates that the HNG Fort
9 location should have approximately the same thickness as the
10 Coquina Craft 13-1 that's on the map here, that's located
11 one mile to the west, and this well completed from a Culebra
12 Bluff Atoka sand 18 feet thick for a calculated absolute
13 open flow of 7.1-million per day.

14 This well has accumulated 832-million
15 cubic feet of gas to date.

16 This Isopach map shows that a location as
17 proposed by Texaco in the southeast of the southwest quarter
18 of Section 18 would be thinner in Atoka section than the
19 recently logged Tenneco Harrison No. 1 to the west in
20 Section 13. The Tenneco well was no Atoka sand developed in
21 it.

22 Q Mr. Cherryholmes, the purpose of this
23 exhibit is to show that the thickness of the sand or the
24 interval also is a factor to look at in determining where to
25 drill a well, is that correct?

1 A It sure is.

2 Q Now I'd ask you again to look at each of
3 the quarter sections in Section 18 and applying the informa-
4 tion and your interpretation, the structural interpretation
5 and also your Isopach, and again I'd ask you to rate in order
6 of priority the quarter sections as to which would be the
7 best location or the best quarter section on which to locate
8 an Atoka well.

9 A Okay. Based on the Isopach map the
10 northwest quarter I still say would be the best.

11 The northeast quarter becomes better than
12 the southwest quarter due to the thickness of the interval.

13 The southwest quarter would be third and
14 the southeast quarter, probably, fourth.

15 Q Based on this information and your inter-
16 pretation, do you have an opinion as to whether or not it
17 would be more prudent to develop with stand-up or lay-down
18 units?

19 A I think it would be better to develop
20 this with stand-up units.

21 Q And why is that?

22 A Because both legal locations, you would
23 have one in the northwest quarter and one in the northeast
24 quarter.

25 Q You were present at the hearing earlier

1 today when there were discussions with Mr. Duke about moving
2 the location of the well from the southwest quarter to the
3 northwest quarter, were you not?

4 A Yes, sir.

5 Q Have you -- can you render an opinion as
6 to what the effect from a geologic point of view was of this
7 move?

8 A The move was -- was actually a combina-
9 tion of, as we mentioned before, the river, the topography,
10 but also at the same time we had -- we were doing additional
11 geological work in this area and, as was mentioned this
12 morning, we have a Queen Lake Lime Well in Section 25, the
13 Craft 25-1, that initially looked like it was going to be a
14 good well out of the Atoka Lime, we have no sand, and sud-
15 denly the production deteriorated to today it's making less
16 than 200 MCF a day.

17 Q Now where is that well?

18 A It's off of this plat here. It's just to
19 the south of Section 24.

20 Q All right.

21 A It will show up on a later map.

22 Plus the fact that we did a little more
23 isopaching and refining our structure map, and we -- we came
24 to the conclusion that the northwest quarter would be the --
25 the west half in the northwest quarter would be the best lo-

1 cation.

2 Q You also said you had refined the Iso-
3 pach. How recently have you refined it?

4 A Saturday, which would have been the 20th,
5 I believe.

6 Q And why did you do it at that time?

7 A We received the log on this Tenneco well.

8 Q And that's the well in Section 13?

9 A Yes, sir.

10 Q Would you now go to HNG Exhibit Number
11 Nine and review that?

12 A Okay. Exhibit Number Nine is a current
13 zone of completion and productio status map as of 1-1-85.

14 This map is on a scale of one inch equals
15 4000 feet and it covers a larger are of Eddy County.

16 This map shows Atoka Sand producers in
17 red; Atoka Queen Lake Lime producers in blue; and Morrow
18 Sand producers in orange.

19 This map quickly shows that the Atoka
20 Sand completions in this area are predominantly located to
21 the west, northwest, and north from Section 18. This agrees
22 with the previous exhibits and the cross section that show
23 the least risky Atoka Sand locations are up dip and in
24 thicker gross Isopach intervals.

25 This is why HNG's Fort 18 Com No. 1 was

1 located in the west half of the northwest quarter of Section
2 18 finally.

3 Q Mr. Cherryholmes, this plat also shows
4 the location of the HNG Craft 25 Well in Section 25 down
5 there that you previously testified about.

6 A Yes, sir.

7 Q Would you now go to Exhibit Number Ten?

8 A Okay. Exhibit Number Ten is an Atoka
9 Sand distribution plat and it, too, is on a scale of one
10 inch equal 4000 feet and it covers the same area of Eddy
11 County as Exhibit Number Nine did.

12 This plat shows wells with Atoka Sand
13 completions with what I call red snowflakes, or the gas,
14 little red gas symbols.

15 It shows wells with Atoka Sand developed
16 in the well but not as yet completed with red circles.

17 And it also shows Atoka tests with no
18 Atoka sands developed with black circles.

19 Once again, as you can see, the further
20 northwest you can move in Section 18, at least this is what
21 it tells me, that the better chance we have of making an
22 Atoka Sand completion. That's combined with the location of
23 the completions and the development of the Atoka Sands, and
24 looking southward to the black dots where there's no Atoka
25 Sands developed.

1 Q Mr. Cherryholmes, are you prepared to
2 make a recommendation to the Examiner as to the risk penalty
3 that should be assessed against any nonconsenting or
4 non-joining interest owners in a west half unit?

5 A Yes, sir.

6 Q And what is that?

7 A It would be the maximum of 200 percent.

8 Q Upon what do you base this 200 percent
9 recommendation?

10 A Okay, we believe that it's possible to
11 drill a noncommercial well out here and, also, we will be
12 carrying a quarter of the interest of the well and I'm
13 really not aware of any other joint operating agreements in
14 common use in the industry that provide for such a small
15 risk factor as this.

16 Q Do you think that's necessary to
17 compensate HNG for the risk it would be carrying?

18 A Yes, sir.

19 Q In your opinion will granting this
20 application be in the best interest of conservation, the
21 prevention of waste, and the protection of correlative
22 rights?

23 A Yes.

24 Q Were Exhibits Five through Ten prepared
25 either by you or under your direction and supervision?

1 A Yes, sir.

2 Q Can you testify as to their accuracy?

3 A Yes, sir.

4 MR. CARR: At this time, Mr.
5 Stogner, we would offer into evidence HNG Exhibits Five
6 through Ten.

7 MR. STOGNER: If there are no
8 objections, Exhibits One through Ten, or Five through Ten
9 will be admitted into evidence.

10 Q Mr. Cherryholmes, does HNG request that
11 this order, the order that results from this hearing be ex-
12 pedited?

13 A Yes, sir.

14 Q And why is that?

15 A We have already commenced this well due to
16 the terms of our farmout agreement and we're anxious to com-
17 plete this well at the earliest possible time.

18 MR. CARR: That concludes my
19 direct examination of Mr. Cherryholmes.

20 MR. STOGNER: Mr. Bateman, your
21 witness.

22

23

CROSS EXAMINATION

24 BY MR. BATEMAN:

25 Q Mr. Cherryholmes, to make clear in my

1 mind a couple of points you made in your testimony, the HNG
2 proposed location, well, first of all, the primary objec-
3 tive, as I understood you, is the Atoka Culebra Bluff Sands,
4 is that right?

5 A That's correct.

6 Q And the secondary objective is the Atoka
7 Queen Lake Lime.

8 A That's correct.

9 Q Now, on your cross section initially, Ex-
10 hibit Number Six, you do not show that Atoka Culebra Bluff
11 Sand existing in the Queen Lake No. 19, is that right?

12 A That's correct.

13 Q None whatsoever?

14 A That -- no -- no commercial, no sand de-
15 velopment that had any gas in it. There would be a real
16 tight sand in there. We say there's no sand in the well.

17 Q But you show the Atoka Queen Lake Lime,
18 which is perforated in the Queen Lake 19 and not in the Mal-
19 aga Harroun No. 1.

20 A That's correct.

21 Q Is the scale correct? Is it essentially
22 about the same amount of structure in both wells?

23 A Structure of what?

24 Q Atoka Queen Lake Lime?

25 A I don't have a structure map as an exhi-

1 bit in here on it. It's -- the interval is thicker from the
2 structure map I made in the Harroun Well, the interval is
3 thicker than in the Queen Lake Federal 19, but as you can
4 see, this is hung on the subsea datum and the top of the
5 Atoka Queen Lake Lime in the HNG well is quite a bit lower
6 than -- than it is in the Getty Harroun Well.

7 Q Okay. Now, you also testified that you
8 just got the Tenneco log on the offset to the west?

9 A That's correct.

10 Q That doesn't show any Atoka Culebra Bluff
11 Sand, either, does it?

12 A The log showed no -- no sand development.

13 Q In Exhibit Number Ten you show none of
14 that sand in the -- well, the offsets to the west and the
15 south except for the Coquina Craft No. 1 at the north end of
16 Section 13.

17 A That's correct.

18 Q But you do show the Atoka Queen Lake Lime,
19 is that right?

20 A On the -- on which exhibit?

21 Q Well, wait a minute, it's not shown on
22 Exhibit Ten, is it?

23 Well, let's go down to Section 19 a
24 minute and talk about the Queen Lake 19.

25 I take it you're -- are you pretty famil-

1 liar with that well?

2 A Yes, sir.

3 Q And have you been responsible for the
4 geology on that well that was drilled?

5 A I was, yes, I participated in the geology
6 on that well.

7 Q So do you have in mind what the cumula-
8 tive production is on that well?

9 A Yes, sir, it's written on the cross sec-
10 tion, 9 -- it's actually 916-million cubic feet of gas. I
11 believe that showed a 901.

12 Q Nearly a billion.

13 A Yes, sir.

14 Q When was that completed?

15 A I don't actually have the date of the
16 completion, I don't believe.

17 Q Could you guess how long it's been in
18 production?

19 A Let's see. I would say a year but it may
20 be a month or two either side of that.

21 Pardon? Two years, okay.

22 Q Two years?

23 A Two years.

24 Q Do you have any information about what the
25 porosity is of the -- what you show as the Atoka Queen Lake

1 Lime as it exists in the Queen Lake 19?

2 A It's very poor.

3 Q How poor is it?

4 A It's -- it's so poor that it's hard to
5 pick up on the -- on the electric log.

6 On this particular log it shows, let's
7 see, with this it shows one -- one percent porosity and the
8 neutron shows three percent.

9 Q So two percent would be a good guess,
10 would it?

11 A It's not a guess. It's from the log.

12 Q In between.

13 A Yes. If you cross plot the porosity you
14 would have in between the two.

15 Q In other words, you find the Atoka Queen
16 Lake Lime essentially throughout this area, and it's what
17 you'd call laterally consistent, I take it, or you might
18 call it that.

19 A The -- the limestone development itself
20 is pretty well present over this part of Eddy County.

21 Q Okay. Now, let me ask you about the
22 south half of 19 before we come back to geology.

23 I understand HNG has an interest in
24 there.

25 A We have an interest. I'm not fur sure --

1 you'd have to ask Mr. Duke what our interest is.

2 I would like to correct, or at least add
3 something here.

4 This Queen Lake 19 No. 1 was drilled 1950
5 feet from the east line and 1980, I believe, from the north
6 line, and it is an east half proration unit, not a north
7 half proration unit.

8 Q Let me get those figures again. You got
9 1980?

10 A It's 1980 by 1950 and I believe the scale
11 here, it looks to me like it's 1980 from the north line and
12 1950 from the -- well, let me see.

13 Q From the east?

14 A It's 1950 from the north line and 1980
15 from the east line.

16 Q Is that an orthodox location in the east
17 half?

18 A It was adusted 30 feet for something. I
19 really can't remember what for.

20 Q Well, is that orthodox?

21 A It's -- apparently no one went against
22 our location at the time we drilled it. I can't remember
23 for sure.

24 Q I assume it's unorthodox, then.

25 A You assume it's what?

1 Q An unorthodox location.

2 A It's unorthodox probably by 30 feet.

3 Q Okay, I'm going to have to mark this as
4 an exhibit; I'll put a number on it later, if that's all
5 right with you and Mr. Carr.

6 MR. CARR: That's all right
7 with Mr. Carr.

8 Q I have here what appears to be a well lo-
9 cation and acreage dedication plat for the Queen Lake 19
10 Federal, signed by Bennie (not understood), Regulatory Ana-
11 lyst for HNG Oil Company, and ask if you can identify that
12 as being a document submitted by your company to the Oil
13 Conservation Division?

14 A Yes, it is.

15 Q Doesn't that show a lay-down proration
16 unit?

17 A It sure does. I may stand, you know, to
18 be corrected on this. I was thinking that at the time it
19 was an east half proration unit but this describes a north
20 half proration unit.

21 Q Okay, so as far as we know now it's a
22 lay-down proration unit.

23 A Yes.

24 Q Okay, getting back to the question of the
25 south half of 19, I believe my question was, or my statement

1 was I understood that HNG has an interest in the south half.

2 Is that correct?

3 A We do -- I'm not aware of how much. I
4 mean I can't give you the details on what we have.

5 Q Have you done any study of the geology
6 underlying the south half of 19?

7 A Yes, it's included on our maps.

8 Q Have you made any recommendations with
9 respect to the drilling of a well in the south half of 19?

10 A No.

11 Q Have you not been requested to do so --

12 A No.

13 Q -- by anybody in your company?

14 A I did it myself.

15 Q So that's not presently the considera-
16 tion?

17 A No.

18 Q Okay, I'll come back to that in a minute,
19 too, but looking then up in the north half, then, the Queen
20 Lake No. 19 and a million cumulative production over two
21 years and two percent porosity, how do you account for that
22 amount of production out of a limestone that is so low in
23 porosity?

24 A It's probably fractured but I don't know
25 that it is.

1 Q With that be your best professional
2 guess, then?

3 A Yes.

4 Q Have you done, or attempted to make any
5 study on what area is being drained by the Queen Lake Fed-
6 eral No. 19?

7 A No.

8 Q It's not been of concern here (not under-
9 stood)? It was not a consideration, then, I take it, in de-
10 termining the location of a proposed location in the east
11 half of Section 18 by HNG?

12 A We didn't turn in an east location. Is
13 that what you asked?

14 Q A west half, I'm sorry.

15 A No, not really, because what we knew from
16 the 19 and our Craft 25 and another well or two is that
17 there was no sand developed and we -- our primary objective
18 was the Atoka Sands, not the Atoka Lime.

19 Q The Culebra Bluff Sand, not the Harroun
20 Sands underneath --

21 A We would take any Atoka Sand we could
22 find.

23 Q Now I'm kind of confused about that be-
24 cause it seems to me that I don't know what the cumulative
25 production is of the sand to the north, the Getty Malago

1 Harroun, do you know what that is?

2 A Let's see, it's 200 -- about 201-million
3 since December of '84.

4 Q And I wonder how long that's been in pro-
5 duction?

6 A I don't know for sure.

7 Q Do you know whether this is an older well
8 than the Queen Lake No. 19?

9 A Yes, it is, I believe. I believe it is.

10 Q So that's over a period at least as long
11 as two years and probably longer, then.

12 A I believe that's correct. I -- I really
13 don't know, to be honest with you, myself.

14 Q From a geologic point of view, why is the
15 sand so interesting to you with that kind of production out
16 of the Queen Lake Lime?

17 A That's not the only well that produces
18 out here. If you'll look at all these red dots, we have
19 EURs anywhere from 3 to 6 BCF from some of the Atoka Sands;
20 some of those Atoka wells.

21 Q And as already pointed out, your Exhibit
22 Number Ten shows that this apparently hasn't been encoun-
23 tered in a number of the offsets to the south and west.

24 A Which sand?

25 Q The Atoka Sand.

1 A In the wells with black dots?

2 Q Right.

3 A They had no sands in them.

4 Q Well --

5 A The -- the Getty Malaga Well, Harroun
6 Well, was completed in February of 1984, so it's been on
7 about a year, a little over a year.

8 Q Which one is that now?

9 A That's the north well up here.

10 Q What was that date again?

11 A February of 1984.

12 Q So that would not be as old as the Queen
13 Lake.

14 A That's correct. I was wrong; I couldn't
15 remember exactly.

16 Q You have an Isopach of the Culebra Sands?
17 Is that one of your exhibits?

18 A No, it is not. The interval that in-
19 cludes the Culebra Bluff Sand is -- is what was -- the Iso-
20 pach map was made of.

21 Q Excuse me. Do you have any knowledge
22 then, if the map is mostly a limestone, what percentage is --
23 is sand?

24 A I don't know. That's just the interval
25 that the Atoka Culebra Bluff Sand develops in normally, and

1 what we've -- what I've seen from my work is that you stand
2 a better chance to get the Atoka Culebra Bluff Sand devel-
3 oped in the thicker intervals of this Isopach.

4 Q I assume you're saying that you would ex-
5 pect a greater percentage of sand exists in the thicker in-
6 terval, huh?

7 A That's correct.

8 Q What about this -- this, again, the off-
9 set to the south? You haven't considered drainage, is your
10 testimony. Wouldn't it be true that the proposed location
11 having been moved from the original location as presented to
12 Texaco farther to the north would have less of an effect in
13 protecting this acreage in the south from drainage by the
14 HNG Queen Lake Federal? Isn't that a fact?

15 A I'm not for sure I understood your ques-
16 tion. Are you saying -- are you asking if that's why we
17 moved our location?

18 Q No, I'm asking you wouldn't -- isn't it a
19 fact that moving the location farther to the north has a
20 concomitant result of less protection to the acres in the
21 south from the potential drainage by the HNG Queen Lake Fed-
22 eral?

23 A It depends on what we get in this loca-
24 tion.

25 Q Well, just --

1 A We don't have any --

2 Q Just by a matter of geography, wouldn't
3 you say that's a fact?

4 A Geography plays not too much part in some
5 of these subsurface formations that you complete in.

6 Q It must play some part because obviously
7 we have some rules regarding locations of wells that are
8 rather strictly adhered to.

9 Isn't that a fact?

10 A I don't know and I don't think you know
11 what this well is draining, what area this Federal 19 is
12 draining.

13 Q Well, I don't know but I know somebody
14 who does, I think.

15 A Yes.

16 Q So I guess your -- your point is that
17 your location moved to the north had to do with the geology
18 that you lately developed based on a variety of things, one
19 of which is as recently as Saturday, but obviously you'd
20 already picked that location at that point.

21 A What I said was, this Isopach was revised
22 Saturday.

23 Q Well, the point being, however, is you
24 think that -- your testimony is that this is your best guess
25 as to where you will encounter the sands that you're looking
for.

1 A In Section 18 this is the best legal lo-
2 cation we can drill, in my estimation.

3 Q Are there any other wells producing from
4 the Atoka Sand in the area that are anywhere nearly as pro-
5 ductive on a cumulative basis as the Queen Lake 19?

6 A Yes, sir.

7 Q Which ones are those?

8 A I don't have that at my hand, but the
9 HNG Williams Well in Section 35 to the northwest has pro-
10 duced over 3 BCF of gas.

11 Q Which one is that, now?

12 A The HNG Williams 35-1, way up to the
13 northwest on your map.

14 Q I'm sorry, I can't find it. Okay, okay,
15 I think that's it.

16 A That well has produced over 3 BCF of gas
17 from the Atoka Sand.

18 The 35 No. 2 has produced 1.6 BCF of gas.

19 Q 1.6?

20 A Yes. The Maddox Malaga No. 1 in Section
21 3 of 24, 28, has produced 6-1/2 BCF of gas from the Atoka
22 Sand.

23 The well in Section 26 of 23, 28, the
24 Maddox Pardue Farms 26, has produced 5-1/2 BCF.

25 And several of these closer wells to Sec-

1 tion 18 are newer developments that we don't have the pro-
2 duction history on.

3 Q And those up there in Section 2 of 24,
4 Phillips Malaga A-2, didn't encounter the sands, is that
5 right, on Exhibit 10? The one right under your finger?

6 A Yes, sir.

7 Q And then up in Section 25 it didn't --

8 A That's -- that's correct.

9 Q What do you think is the role of struc-
10 ture in all this, when it seems to be a somewhat --

11 A It's a combination of structure and
12 thickness which increases or decreases your risk of making a
13 beyond commercial well.

14 The better wells that I've just given you
15 the cumulative production are structurally higher than these
16 wells down here to the south, and in fact, in Section 18.
17 They are older wells but they are better wells than some of
18 these others down here.

19 Q What zone do you expect to -- the Tenneco
20 Harrison 13 to be completed in, do you have any idea? Can
21 you guess from looking at the log?

22 A We have no interest in that well.

23 Q You didn't think much after you looked at
24 the log?

25 A I have more important things to do than

1 try to figure out somebody else's problem.

2 Q Did you see the Atoka Queen Lake Lime in
3 that log?

4 A Yes.

5 Q Very significantly? Was it essentially
6 --

7 A It's comparable.

8 Q -- as shown on that one?

9 A It's comparable to the two logs on the
10 cross section.

11 Q Would a legal location in the north on a
12 lay-down, a lay-down proration unit in Section 18 be as de-
13 sirable? The 1980 from the west or 1980 from the east, I
14 guess you have those choices?

15 A Be as desirable as our Fort?

16 Q Yes.

17 A Not in my estimation, it wouldn't.

18 Q And why -- why is that?

19 A Well, you're, using the exhibits that
20 I've talked about, you're moving --

21 Q Because of the structure?

22 A Although I've -- we're talking about not
23 too much difference, but when we make locations for the cost
24 of these wells we try to -- try to get the best location we
25 can.

1 On the Strawn structure map a legal loca-
2 tion 1980 from the west line would be slightly lower struc-
3 turally than the Fort.

4 Q Just marginally lower, right? Marginally
5 lower?

6 A About 40 feet.

7 Q What does it show on the Isopach here?
8 This is Exhibit Eight. Does that show there?

9 A You could actually, depending upon where
10 you locate this well 1980 from the west, if you're 660 from
11 the north, the way I show it you could have a little bit
12 thicker interval there.

13 Q So that might be marginally better, then.

14 A Correct.

15 Q Okay, let's look at Exhibit Number Eight,
16 which is the gross Isopach.

17 A Okay.

18 Q Can you tell me how a gross Isopach to a
19 prevalently limestone sequence helps chase these sands when
20 this interval thickens?

21 A First off, to make an Isopach map you
22 want to be sure that you have a good top and a good bottom
23 point to Isopach.

24 The top of the Strawn and the top of this
25 Atoka Lime marker are both tops that can be readily corre-

1 lated in this area.

2 This interval includes the Atoka Culebra
3 Bluffs sand interval and, as the other exhibits show, the
4 thicker the interval the better chance you have to hit these
5 Atoka sands, as Exhibit Ten shows.

6 Q Just a second.

7 MR. BATEMAN: That's all I
8 have.

9 A Okay.

10 MR. STOGNER: Thank you, Mr.
11 Bateman.

12 Mr. Carr, any redirect?

13 MR. CARR: No redirect.

14 MR. STOGNER: I have no ques-
15 tions for this witness at this time.

16 Mr. Carr, does that conclude
17 your testimony?

18 MR. CARR: That concludes our
19 direct case.

20 MR. BATEMAN: Mr. Chairman, I'd
21 request a brief recess and I'll put my pictures on the wall.

22 MR. STOGNER: You may.

23 MR. CARR: Let's have a brief
24 recess and I'll take mine down.

25

1 (Thereupon a recess was taken.)

2
3 MR. STOGNER: Mr. Bateman, you
4 may proceed.

5 MR. BATEMAN: Okay.

6
7 RAYMOND KEITH WILLIAMS,
8 being called as a witness and being duly sworn upon his
9 oath, testified as follows, to-wit:

10
11 DIRECT EXAMINATION

12 BY MR. BATEMAN:

13 Q Would you state your full name and place
14 of employment for the record, please?

15 A Raymond Keith Williams; employed by Texa-
16 co, Inc., in Midland, Texas.

17 Q Mr. Williams, how are you employed and in
18 what capacity?

19 A I'm a development geologist working in
20 southeast New Mexico primarily.

21 Q Have you previously testified before the
22 Division?

23 A No, I haven't.

24 Q And would you state for the record what
25 your educational and work experience has been?

1 A I have a BS in geology from Texas Tech
2 University and I've been employed since May, 1980, approxi-
3 mately five years.

4 Q By Texaco?

5 A Yes, sir.

6 Q What's your experience with the area
7 which is the subject of Texaco Producing's application
8 today?

9 A Not -- it doesn't date that far back,
10 only probably two, two months, something like that, in this
11 specific area here.

12 Q What is your experience in -- with
13 respect to acreage owned by Texaco in New Mexico?

14 A It's pretty extensive. I've worked the
15 Hobbs District Area for about three and a half years. I
16 know pretty well what our leasehold position and properties
17 are in the area.

18 Q And in your position, then, have you
19 familiarized yourself with the geology of the area which is
20 the question of the application today?

21 A Yes, sir.

22 MR. BATEMAN: I offer Mr.
23 Williams as an expert.

24 MR. STOGNER: He is so
25 qualified if there are no objections.

1 Q Mr. Williams, what is Texaco Producing
2 requesting by its application today?

3 A We're requesting to drill a 12,400 foot
4 well to test the Atoka formation at a legal location 1980
5 from the west line, 660 from the south, Section 18, 24
6 South, 29 East.

7 Q Now, in connection with that application
8 did you prepare Exhibit One?

9 A Yes, sir.

10 Q Would you review Exhibit One for the Exa-
11 miner?

12 A Okay. Exhibit One is a structure map.
13 It's on top of the massive Atoka interval and it basically
14 shows regional dip off to the east/southeast at approxi-
15 mately 150 feet per mile.

16 The wells are coded as to Morrow produc-
17 tion and primarily broken out as to producing interval with-
18 in the Atoka series and the Strawn interval there.

19 And Texaco's acreage in question is shown
20 in yellow there in Section 18.

21 "A" is our location there with the arrow,
22 and it does show an unprotected offset there to the south in
23 Section 19, being the HNG Queen Lake Federal.

24 Q Now you've shown also locations proposed
25 and actually occupied by HNG, have you not?

1 A Yes, I've showed the original proposal to
2 us and the currently drilling well up there in the north,
3 and I've showed the other -- the other deep either complete
4 or drilling wells, being the Pogo Lightfoot Com and the Ten-
5 neco Harrison to the west in Section 13.

6 Q Would you proceed with what's been marked
7 Exhibit Two?

8 A Exhibit Two is the original proposal to
9 Texaco from HNG and primarily it just states the -- what's
10 shown on the map.

11 The original proposed location was the
12 1980 from south and 660 from the west line of Section 18.

13 Q Can you tell me why you recommended, I
14 presume you recommended, the Texaco location?

15 A After reviewing this -- this area and
16 considering -- all things considered, it appeared that -- I
17 think Gary will talk about it a little bit -- that the
18 potential for drainage was pretty high out of the -- out of
19 the interval that the HNG Queen Lake Federal is -- is com-
20 pleted out of, what we call the Ivanovia Bank Zone, with re-
21 ference to its type of algae it appears to be composed of,
22 and primarily thought, or still feel that a location as pro-
23 posed would better protect our lease from drainage in that
24 zone than would -- than would either the original proposal
25 or the currently drilling HNG Fort 18 Com.

1 Q What would be the primary objective,
2 then, of the well drilled at Texaco's proposed location?

3 A It would be this, what we would call the
4 Ivanovia Bank Zone, which HNG referred to as the Queen Lake
5 Federal Zone.

6 Q You mean those two are one and the same,
7 is that correct?

8 A Yes, sir.

9 Q Would you proceed, then, with what's been
10 marked Exhibit Three?

11 A Okay. Exhibit Three is -- the trace of
12 Exhibit Three is A-A' on Exhibit One, running roughly
13 east/west from the Superior Mayer Federal Com in Section 26
14 up the north, to the Maddox Energy Malaga Well in Section 3.

15 This is a stratigraphic section. It's
16 the big one. It shows -- it's hung on a shale break within
17 the Strawn-Atoka carbonate interval here, and shows the con-
18 sistency of the Atoka-Ivanovia-Queen Lake Limestone. It's
19 the uppermost one colored in yellow, being the same zone
20 colored in blue on HNG's cross section.

21 Q Just for the record, then, the wells in-
22 cluded in the cross section A-A' are shown on Exhibit One or
23 identified on Exhibit One, is that correct?

24 A Yes, sir. To point out some of these
25 wells, this is HNG's well completed in that zone there.

1 This is a Coquina well completed out of
2 the sand that sits immediately above that bank interval.
3 This well --

4 Q Which well do you point to?

5 A The Coquina, this first one here.

6 MR. STOGNER: What is the name
7 of the well?

8 A It's Coquina Craft No. 1.

9 MR. STOGNER: Okay, and that is
10 the third one from the right?

11 A Yes, sir. It's in Section 13 on that
12 map.

13 It is completed as an Atoka Clastic pro-
14 ducer. This well has subsequently been, according to the
15 monthly committee production books, been obtained by Santa
16 Fe Energy, which is the next well on the section, which is
17 the recent completion, has been obtained by them from I
18 think now probably defunct Coquina, and this well is com-
19 pleted in this Ivanovia Zone, as is this.

20 This well was drilled on an unorthodox
21 location forming a south half proration unit in between
22 these two wells, which --

23 MR. STOGNER: Whoa, whoa, what
24 are "these two wells"?

25 A I'm sorry, the map, this map number one,

1 you can follow with that.

2 Okay, I'm talking about these --

3 MR. STOGNER: Well, name those
4 wells because the transcripts aren't going to be able to --

5 A Okay.

6 MR. STOGNER: -- distinguish
7 between "these" wells and "that" well and "this" well.

8 A Okay. The Coquina Craft Well is the one
9 that is not perforated across the same interval.

10 Santa Fe Burkham Federal was a well that
11 was drilled recently and is completed out of that interval.

12 Eastland Coursen (sic) Federal in Section
13 12 also had the Bank interval but it completed out Atoka
14 zones above the Bank.

15 This well, the Santa Fe Burkham Fed,
16 which was completed in -- I don't believe it's had a poten-
17 tial test, potential filed here.

18 The last test it had a COP of 2.1 out of
19 this zone. This well attests to the productivity of the
20 wells either side, being the Eastland Coursen Fed, and the
21 Coquina Craft Well.

22 Log comparisons on all these wells show
23 that these wells that have been perforated in that interval
24 would indeed show this zone to be productive across this
25 acreage here.

1 And it continued on to the -- on to the
2 west pretty good, and there are some more producers, being
3 the Pogo Lightfoot Com did have some perforations across the
4 zone. It also had some Upper Strawn perforations.

5 The Coquina Marek Well is a completion
6 out of the Ivanovia Bank.

7 The Coquina Vest Well is -- is a clastic
8 well again, and again it came into an Atoka Clastic zone,
9 therefore did not test the Ivanovia Bank interval, as do ap-
10 parently a lot of -- a lot of wells as they come into any --
11 any sand intervals they would rather complete in those more
12 obvious pays than they would this -- this tight, consistent
13 limestone through here.

14 This A-A' primarily tries to show strati-
15 graphically the consistency of this -- of this Bank interval
16 and the tests and its projectivity in those wells where it
17 has been tested.

18 And it also points out that the producti-
19 vity in all the wells that it is completed out of, the poro-
20 sity is apparently as low as that of the Queen Lake Federal
21 19, all in a range of one to two percent on a -- on a poro-
22 sity log.

23 I think that's all I have.

24 Q Proceed, then, with what's been marked as
25 Exhibit Number Four, which is an Isopach map of the area.

1 A Exhibit Number Four is a gross Isopach of
2 this interval we're talking about, this Ivanovia Bank inter-
3 val, across these -- these townships here. In general it
4 thickens to the east, as you see on that cross section, and
5 on this map, and thins to the west and eventually pinches
6 out over there in Sections 15 and 22.

7 It shows it to be of uniform thickness
8 surrounding the lease and the proposed location, with the
9 Coquina Craft Well in Section 13 having 16 feet.

10 The Eastland Coursen Federal Well in Sec-
11 tion 12 having 14 feet; Santa Fe Burkham completion within
12 that zone having 14 feet; Tenneco Harrison Well, which is
13 not tested as of yet, having 14 feet; and HNG Queen Lake
14 Fed, which is productive out of that zone having 14 feet.

15 Up towards the north in the Getty Harroun
16 Well, which is not tested, either, it also has 16 feet.

17 This Isopach shows good continuity
18 through this zone over most of this area centering around
19 this lease here.

20 While we believe that the gross interval
21 and the Bank interval is -- is consistent around this lease,
22 we don't believe that the productivity of it will be as con-
23 sistent. The apparent low porosity and low permeability at-
24 tests to the the fact that the zone is fractured and while
25 this map shows possible production in all areas, it's prob-

1 ably misleading due to -- due to better fractured areas.

2 I think you can safely say, though, that
3 a stand-up proration unit, our acreage forming the east
4 half, would be a riskier location by the fact that you're
5 off a trend which shows consistently 14 feet and shows the
6 zone to be productive along that trend.

7 That, coupled with the fact that a stand-
8 up location in the east half by Texaco would have to neces-
9 sarily, to be orthodox, would be 1980 from the lease line
10 and not 660, as proposed, which would incur further drainage
11 problems by us on top of -- on top of having a riskier loca-
12 tion in the east half.

13 Q All right, will you proceed here with
14 what's on the wall here marked Exhibit Five?

15 A Okay. Exhibit Five is just the second
16 cross section that runs north/south from the Getty Well.
17 It's essentially, it's got the same two wells as the HNG
18 cross section, the Getty Well, HNG Queen Lake Well. It goes
19 to the HNG Craft Well and down to the Amoco well in Section
20 35 of 24, 28.

21 Again you can see the consistency of the
22 -- of the Ivanovia Bank in these wells and the perforated
23 intervals in both the HNG Craft Well and the HNG Queen Lake
24 Federal Well.

25 The proposed location shows there to be

1 just the -- to the right of the HNG well.

2 And again, it just kind of shows the con-
3 tinuity of the zone through -- through the acreage in ques-
4 tion, through the proposed location.

5 We really don't feel that there's much of
6 a chance that these sandstones out here can be sold as they
7 do -- they are good producers when you come into them but,
8 as you can tell by HNG's exhibits and our exhibits, that
9 they're awful chancey stratigraphic reservoirs, whereas with
10 this -- this limestone, you're at least dealing with a con-
11 sistent unit and only possibly the quality of the production
12 is in question, not -- not the fact that it's possibly not
13 there at all.

14 Q Is quality of production a function of
15 fracturing in your opinion?

16 A I think it has to be, yes, sir, from
17 examining all the logs, the type of invasion profiles rela-
18 tively, and things, the kind of porosity in what Gary has to
19 show later, I think that fracturing is the controlling fac-
20 tor.

21 Q What is your opinion, then, of the -- of
22 the attraction of Texaco's proposed location as compared to
23 HNG's proposed actual location?

24 A Our attraction is to -- to keep from suf-
25 fering drainage, further drainage, primarily from the well

1 -- from both their proposed locations.

2 This well that's currently drilling by
3 HNG is offsetting a well that they -- that they say and that
4 we say has no Atoka Sand in it, and it gets down to the fact
5 that the chances are that they'll probably have to look to
6 completing into something else if they do not come into any
7 sands, and this limestone is primarily the bail out zone
8 which, which would drain our acreage to a large degree, as
9 well as keep us from draining their Queen Lake Federal by
10 drilling a well at our proposed location.

11 Q Are you familiar with the efforts that
12 were made to form a unit by Texaco?

13 A Yes, sir.

14 Q Would you refer to what's been marked
15 Five-A and describe that to the Examiner?

16 A This was just Texaco's counter-proposal,
17 or proposal to drill our test, dated March 22nd. At this
18 time their well had already been spud. It still was within
19 the time that we were given on the initial letter, which was
20 a spud date around March 30th, 1985.

21 Q To your knowledge is Texaco prepared to
22 proceed and spud a well had it gotten approval?

23 A Yes, sir.

24 Q What can you tell us about the time frame
25 in making a decision on this proposal that HNG made?

1 A It was handled under the circumstances in
2 the most timely fashion that we handle out. It had a couple
3 weeks leeway where we had evidently been lost a little bit.
4 It had gone to a different office and then made its way to
5 our office through -- through our land people.

6 Q When did the responsibility for Getty ac-
7 reage get transferred to Texaco Producing?

8 A Primarily the date of the merger, which
9 was January 1st, '85.

10 This is an on-going project evaluating
11 the status of a lot of Getty leases. We have been -- have
12 been doing that. This is part of that project also.

13 Q Mr. Williams, do you have an opinion con-
14 cerning the risk potential involved in drilling a well at
15 the Texaco proposed location?

16 A Risk, I'm sorry, I don't understand.

17 Q The risk of obtaining production.

18 A Oh, I don't believe that the risk is that
19 high for our well completing in the same zone. It looks --
20 it looks real good in the -- it has produced real well in
21 the Queen Lake Well. It looks consistent across Section 13.
22 This well projects into that cross section and everywhere
23 you have any doubt the zone is not tested.

24 So I think that there -- the risk would
25 not be high at that -- at that location.

1 Q Not as high as it would be in the other
2 location, is that --

3 A Right.

4 Q -- your testimony?

5 A Yes, sir.

6 Q Do you have anything further to add?

7 A Just -- just one comment about this gross
8 Isopach. In looking at these sands --

9 Q Excuse me, let's identify it for the re-
10 cord.

11 A Exhibit Number Eight, HNG's exhibit,
12 which is the top of the Strawn, top of the Atoka Limestone,
13 which roughly -- which roughly on these two cross sections,
14 being our cross sections, Exhibit Number Three and Number
15 Five, is an interval that shows anywhere from 336 feet to
16 406 feet that's predominantly a carbonate interval that is
17 part of the Strawn Bank.

18 You can see on Section A-A', Exhibit Num-
19 ber Three, how this unit builds up between the Queen Lake
20 Federal Well and the Coquina Craft Well. This is a Bank in-
21 terval. The chances of mapping that gross interval with 300
22 feet and using that to try to explore or develop an 8-foot
23 Atoka sand stringer is -- is somewhat, I think, impossible.
24 There is no Isopach of the Atoka zones, the sand zones in
25 which -- which HNG Fort 18 Com is supposedly supposed to

1 come into. There are no Isopachs, nor is there any sand in
2 the well in Section 13 to -- to the west, being the Tenneco
3 Harrison.

4 I think that that makes that a higher
5 risk location as far as coming into a sand. If it comes
6 into only this Ivanovia or Queen Lake Lime, then again it's
7 the problem of drainage on our lease from the north and the
8 south.

9 Q Mr. Williams, were Exhibits One through
10 Five-A prepared by you or under your direction?

11 A Yes, sir.

12 MR. BATEMAN: I offer Exhibits
13 One through Five-A at this time.

14 MR. STOGNER: If there are no
15 objections --

16 MR. CARR: There are no
17 objections.

18 MR. STOGNER: -- Exhibits One
19 through Five will be admitted into evidence at this time.

20 MR. BATEMAN: No further
21 direct.

22 MR. STOGNER: Mr. Carr, your
23 witness.

24 MR. CARR: Thank you.

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CROSS EXAMINATION

BY MR. CARR:

Q Mr. Williams, let's look at your Exhibit Number One, the structure map.

Is this structured on top of the same interval as the map previously, the structure map presented by HNG?

A Let's see, do you have a copy of that structure map there?

MR. BATEMAN: Which exhibit are you referring to? I'm sorry.

MR. CARR: The structure map, which is Exhibit Seven.

A No, sir.

Q The HNG structure map is on what horizon?

A It is on top of the Strawn.

Q And you're on the top of the Atoka?

A The top of the Atoka, Massive Atoka interval, which sits right above or right below, excuse me, the pay in the Queen Lake Federal.

Q Do you know of anything in here which would tend to -- they seem to be fairly close, one to the other. In your experience do the two structure maps seem to -- do the structures seem to parallel one another pretty

1 much?

2 A No, sir, they don't. If you refer to Ex-
3 hibit Number Three, between the HNG well and Coquina Craft
4 Well --

5 MR. BATEMAN: Just for the re-
6 cord, you've got these identified by numbers at the top.

7 Which wells are you speaking
8 of?

9 A The No. 2 and the No. 3, right in the
10 area of interest.

11 You see, it gets back to this thing being
12 a bank and if you match structure on the top of that dark
13 line up there, you'll get a normal, a normal amount of dip
14 on that because of the fact that it's a facies change and
15 it's not a regional structure line and I think it's kind of
16 misleading, the fact that this map doesn't really pick out
17 points to the east where this stuff totally, pretty much
18 shales out at the top.

19 MR. BATEMAN: You're referring
20 to Exhibit Number Seven now.

21 A Yes.

22 Q If we look at your Exhibit Number Three,
23 the HNG structure map is on the top of the Strawn, which is
24 the top line across your cross section, is that not correct?

25 A Yes, sir.

1 Q And which is the interval which you have
2 mapped on that cross section? Where would be the top?

3 A It would be Atoka Limestone, the struc-
4 tural marker right here.

5 Q So you're looking at the -- at the lime-
6 stone area instead of the netire interval that was being ad-
7 dressed in the cross section, or in the structure map of
8 HNG.

9 A Yes, sir. I'm looking at the interval
10 that sits immediately below the pay in the Queen Lake
11 Federal and best mirrors structure on that zone without map-
12 ping itself, it itself.

13 Q And your testimony, you're focusing ac-
14 tually on the -- on the limestone interval.

15 A Yes, sir.

16 Q That is below the other sand stringers
17 that HNG testified to.

18 A Yes, sir.

19 Q Now I'd like to, before we go through
20 some of the other exhibits, talk to you for a minute about
21 sequence of events which led up to these proposals.

22 You testified, I believe, that you were
23 aware of the efforts made by HNG and Texaco to reach a vol-
24 untary agreement.

25 Are you aware of any letter other than

1 your letter that's marked as your Exhibit Five-A to HNG con-
2 cerning the drilling of a well in the south half of this
3 section?

4 A No, sir, I am not.

5 Q Are you aware of any communications prior
6 to that time concerning the drilling of a well?

7 A I'm aware of a phone conversation from
8 Bennie Tidwell to I'm not sure, the HNG landman that spoke
9 to the same things as that later did.

10 Q Did that precede the March 22nd letter?

11 A Yes, sir.

12 Q By how much time?

13 A The date on that fell somewhere in be-
14 tween -- I don't have an exact date. It's somewhere in be-
15 tween the 13th and the 22nd.

16 Q Were you aware of what was going on in
17 this section, say, on March 22nd, 1985?

18 A In this section? You mean in --

19 Q In Section 18?

20 A Yes, sir.

21 Q Were you aware at that time that HNG had
22 already drilled a location of their well?

23 A I believe so. We keep with the current
24 -- I do believe it came out in the Midland Reporter Tele-
25 gram. I think that that was prior to the spud date there.

1 Q So you were aware that they had already
2 constructed a location at the time you made this formal pro-
3 posal to them.

4 A I'd have to say yes, sir.

5 Q Now this proposal only gives HNG the op-
6 portunity to simply pay their share and participate in the
7 well, is that correct?

8 A Yes, sir.

9 Q Were there any other offers made or any
10 other alternatives proposed to HNG?

11 A Not that I know.

12 Q Are you aware of any other correspondence
13 at all concerning the drilling of Texaco's well to HNG?

14 A No.

15 Q Are you aware of any telephone conversa-
16 tions other than those you've just recited?

17 A No, sir.

18 Q Are you aware of any meetings that were
19 held?

20 A No, sir.

21 Q This is the only -- one telephone call
22 and this letter constitute all of Texaco's efforts to obtain
23 voluntary joinder in the well?

24 A As far as I know.

25 Q When did you first learn of HNG's pro-

1 posal?

2 A On or about February 6th.

3 Q Do you have any idea when it was that a
4 decision was actually made by Texaco to not participate in
5 the well that HNG was proposing?

6 A I think it was just prior to March 6th.
7 I'm not sure how much.

8 Q To March 6th?

9 A March 6th.

10 Q Okay. When did you first personally be-
11 come involved in studying this area?

12 A Right around that date, February 6th
13 date.

14 Q And to your knowledge was anyone else
15 working on this prospect prior to that time?

16 A Yes, sir, we had two, two Getty geolo-
17 gists that had kept current with the area and were -- were
18 at least following activity.

19 Q Do you know who they were?

20 A One was Dennis Kuhful and I think it's
21 Dick Rickli, it was, at least, their area of responsibility
22 prior to my first exposure to it.

23 Q How long have you been with Texaco?

24 A It will be five years next month.

25 Q During that period of time has your area

1 of responsibility for the company included this portion of
2 southeast New Mexico?

3 A Oh, yes, sir.

4 Q How many wells during that period of time
5 has Texaco drilled in the Atoka in this general area, say
6 within even ten miles of the area?

7 A Well, I'd say none, probably.

8 Q You're not aware of any?

9 A No, sir.

10 Q Now if I understand, looking at these
11 plats, your real concern in proposing this well location is
12 to protect this acreage from drainage.

13 A Yes.

14 Q Your proposed location would be 660 feet
15 off the common lease line.

16 A Yes, sir.

17 Q And HNG's location would be either 1950
18 or 1980 off that common lease line.

19 A Their original proposed location?

20 Q No, the location of the Queen Lake Fed-
21 eral.

22 A Oh, yes, sir. Yes, sir.

23 Q And so you would be virtually 2/3rds
24 closer to that common lease line than HNG.

25 A Yes, sir.

1 Q This would give you an advantage, would
2 it not?

3 A Yes, sir.

4 Q Now, could you tell me again why it is
5 you propose to locate the well where you did and not to the
6 west? I'm sorry, not to the east --

7 A Not to the east?

8 Q -- from that location? Yes.

9 A Like the cross section, Exhibit Three,
10 has shown here, we're shown the continuity through the --
11 through where the wells are located. Just the fact that the
12 wells are located to the east -- or to the west and not the
13 east, and you can see similar characteristics on the logs
14 through those intervals where it is not tested, leads us to
15 believe that that is a much safer location where it's pro-
16 posed and not in the east half.

17 Q Again, an east half would be 1980 from
18 the south line, which is as far, practically as far north as
19 HNG's currently drilling location.

20 Q You have standard locations for a south
21 half unit in the southwest quarter of 18, do you not?

22 A Pardon?

23 Q There are standard locations in the
24 southeast quarter of 18 if you have a lay-down unit, do you
25 not?

1 A We have a -- the well where it is pro-
2 posed or you mean one to the --

3 Q You could move to the east of that loca-
4 tion --

5 A Oh.

6 Q -- in the south half of 18.

7 A Yes, sir.

8 Q And still be at a standard location.

9 A Right.

10 Q That would put you in closer proximity to
11 the HNG well, would it not?

12 A Yes, sir, by a small margin.

13 Q And yet you're preferring to be structur-
14 ally -- are you closer to the wells off to the west than you
15 are getting close to the well in which you believe you have
16 such good sand -- or limestone development.

17 A We're trying to get closer on a line
18 drawn between the Queen Lake Federal and the next produc-
19 tion, or the Santa Fe Burkham in Section 12, which is the
20 next production out of that zone and the similar character-
21 istics in the same zone in Section 13 that is not tested,
22 and that puts it in that location right there.

23 Q And that's the Santa Fe Burham in Section
24 12.

25 A Yes, sir.

1 Q And so you are attempting to be on a line
2 between those two wells.

3 A Yes, sir.

4 Q Do you believe that there is -- would be
5 any trending of the fracturing or should I --

6 A Yes, sir.

7 Q -- reserve that?

8 A Just based on where -- where it occurs, I
9 would say that, you know, that there is -- that is where you
10 see it. That is the only reason why you'd want to be in
11 that spot.

12 Q And so trying to line up between those
13 two wells is the reason that you are --

14 A At that location.

15 Q -- at that location and not to the east
16 --

17 A Yes.

18 Q -- in the south half.

19 If you proposed a stand-up west half unit
20 you could more in line between those two wells, could you
21 not?

22 A Yes, sir, but not on our acreage.

23 Q But it would be within the pooled
24 acreage, would it not?

25 A Right.

1 Q And you would have the right to drill on
2 there if you were able to obtain a pooling order, or do you
3 know?

4 A I couldn't say.

5 Q Now your cross section is used to demon-
6 strate the presence of the limestone. Does it show anything
7 beyond that?

8 A Yes, sir, it shows the -- the current
9 lack of porosity in the Queen Lake Federal Well consistently
10 in that zone all the way across that section, and it gets
11 back to the wells that -- that don't produce out of it, ap-
12 parently because they come into additional pays and they
13 don't -- it's not a very obvious pay. It's back to the
14 fracturing and how -- how you evaluate your logs and things
15 like that. There's nothing looking at a log percent poro-
16 sity that you could say that you could make a BCF out of or
17 more than that.

18 Q So what this shows is the presence of a
19 sand and the lousy porosity throughout, whether you have a
20 well there or not.

21 A Of the sand?

22 Q Of the limestone.

23 A Yes, sir. It shows -- it shows the con-
24 sistency of the unit and it shows that those wells that are
25 not tested in that unit have as good a log character as

1 those that are producers within that unit.

2 Q So if we look at the HNG Queen Lake Fed-
3 eral Well, we see the presence of the sand body and from log
4 character --

5 A Of the limestone?

6 Q Of the limestone --

7 A Yes, sir.

8 Q -- and the -- you see the presence of the
9 limestone and you also, from the log on the HNG Queen Lake
10 Federal Well, can see that from a porosity point of view
11 it's fairly poor, from the log.

12 A Yes, sir.

13 Q And then if we go to, say, the Santa Fe
14 Energy Burkhams No. 1, we see virtually the same thing --

15 A Yes.

16 Q -- the presence and poor porosity in that
17 limestone.

18 Also, if we go to the HNG Craft we can
19 see presence of the limestone, would we not?

20 A Yes, sir.

21 Q And we'd also see that it's from log
22 characteristics fairly poor.

23 A Yes, sir.

24 Q So really all that we can gather from
25 these cross sections is that you've got the limestone and

1 that when you look at it just from the log that it's fairly
2 comparable.

3 A Yes, sir. The other witness does have an
4 exhibit that breaks that out a little bit better.

5 Q Yes.

6 A Having to do with additional logs run on
7 these wells.

8 Q Okay, he's going to build on what you've
9 got.

10 A Yes.

11 Q But what we've got here is just that.

12 A Right.

13 Q Now if we go to your Isopach map, Exhibit
14 Four, you have built this map, this is a map of the lime-
15 stone again.

16 A Yes, sir.

17 Q It doesn't -- it isn't a map of the same
18 sort of interval that HNG was mapping when they were looking
19 at everything up through the top of the Strawn.

20 A No, sir, it's just the pay in the offset
21 well to the south.

22 Q Okay. And what you're really doing is
23 you're, if I understand your testimony, is you're stating
24 that Texaco's interest is the limestone and not the possible
25 sand bodies that might be encountered.

1 A I think after evaluation, initially we
2 like to stay optimistic and say that you would come in
3 through, I think, the new control in Section 13, and knowing
4 how these sands come and go, I would say that that would
5 have to be correct.

6 Q And so you're focusing just on the one
7 interval.

8 A Yes.

9 Q It is possible that if you were able to
10 complete in these sand stringers that that would increase
11 the chance of having a successful well, is that not true?

12 A Yes, sir, but if I understand correctly,
13 where we drill offsets, we primarily stay in the zones that
14 remain competitive and would have to, by that fact, complete
15 in this limestone that is completed in Section 19 down
16 there.

17 Q Okay, so you're looking at the limestone
18 just to offset any possible drainage that might be occur-
19 ring.

20 A Yes.

21 Q You didn't consider the chance of -- the
22 secondary consideration was the chance of any sand develop-
23 ment.

24 A Yes, sir.

25 Q And you characterized that as sort of

1 chancey, did you not?

2 A Yes.

3 Q A number of people have been quite suc-
4 cessful to the west of this location taking that chance,
5 have they not?

6 A Yes, sir, in the area.

7 Q To the north and west; immediately to the
8 north and west of Section 18, is that correct?

9 A Yes.

10 Q But you have not been focusing on this
11 looking on the additional opportunity you would have if in
12 fact you were able to get into those sand stringers.

13 A No, sir, but like I stated, the opportun-
14 ity is very low with the two wells on either side that --
15 that do not have much of any sand in them.

16 Q And the opportunity to intercept those
17 sand stringers would be increased, however, if you moved to
18 the north and west towards them, would it not?

19 A Towards?

20 Q Towards the wells that are completed in
21 the sand.

22 A The -- yes, sir, but it would be -- it
23 would be off the area we're talking about.

24 Q Thank you.

25 MR. CARR: I have no further

1 questions.

2 MR. STOGNER: Mr. Bateman, any
3 redirect?

4

5

REDIRECT EXAMINATION

6 BY MR. BATEMAN:

7 Q Just one question, Mr. Williams.

8 If you had gone to a stand-up proration
9 unit on the east half of Section 18, you still have, do you
10 not, the consideration of drainage of the acreage you ob-
11 tained -- excuse me, I'm getting my directions mixed up.

12 On the west half, if you're involved in a
13 west half stand-up, you still have considerations of drain-
14 age on the east half, do you not?

15 A Yes, sir.

16 Q And if you then were able to drill a well
17 on the east half, where would it have to be located?

18 A It would have to be located on an ortho-
19 dox -- on a stand-up would have to be 1980 from the lease
20 line, from the south lease line.

21 Q It may be somewhat repetitive, but that
22 is somewhat more distant from the offset than the proposed
23 location, is that correct?

24 A Yes.

25 Q And by drilling at the proposed location

1 you would be able to protect the entire acreage from drain-
2 age if it's productive, I assume.

3 A Yes, sir.

4 MR. BATEMAN: No further ques-
5 tions.

6 MR. CARR: I'm going to be re-
7 petitive, too.

8 MR. STOGNER: Mr. Carr, you may
9 be repetitive.

10

11 RE CROSS EXAMINATION

12 BY MR. CARR:

13 Q Mr. Williams, I think in answer to Mr.
14 Bateman's question you just stated that you would be more
15 distant from the offsetting HNG Well if you had to develop
16 an east half unit.

17 A Yes, sir.

18 Q You would in that situation be about the
19 same distance from the common lease line as the HNG Well, is
20 that not true?

21 A That would be the -- that would be the
22 exact distance, approximate -- it would be the exact dis-
23 tance from the lease line as the original proposal would but
24 not as the drilling proposal that's currently drilling.

25 Q How far from that common lease line is

1 the HNG Well to the south?

2 A The -- the --

3 Q I'm talking about the well down -- I'm
4 sorry, the section directly south of 18.

5 A You're not -- okay. That one is 1950, I
6 believe.

7 Q And you would have to be 1980.

8 A Yes, sir.

9 Q Okay. Thank you.

10 MR. STOGNER: Mr. Bateman, re-
11 direct?

12 MR. BATEMAN: No, not at the
13 moment.

14

15

CROSS EXAMINATION

16 BY MR. STOGNER:

17 Q On redirect by Mr. Carr you were referred
18 to Exhibit Number Five-A and in your testimony I understood
19 that there were two Getty geologists. I call them Getty
20 geologists because they were with Getty before the Texaco
21 takeover. Dennis what was his last name, Dennis --

22 A Kuhful. I believe it's K-U-H-F-U-L.

23 Q Kuhful, and a Mr. Dick Rigli?

24 A Rickli. I believe that's R-I-C-K-L-I.

25 Q Were they taken off the project?

1 A Yes, sir, they -- Dennis is still in --
2 he helped prepare these exhibits and work with me on this.

3 Dick was moved to another area of respon-
4 sibility.

5 Q Let's go to your Exhibit Number Two,
6 which is the HNG letter, and scribbled up in the upper
7 righthand corner, is that the order in which people see them
8 or what exactly is this scribbling?

9 A Yes, sir, that's -- that's kind of the
10 routing procedure.

11 Q Okay, who's the number one?

12 A It's the same as number three, which
13 would be H. L. Woods, which would be Woody Woods, the Getty
14 land person we talked about earlier.

15 Q Okay, he was the first one to see it, I
16 assume, because it was sent to him.

17 Okay, how about the number two?

18 A The one that's marked out or the one that
19 -- I guess -- I really couldn't tell you the number two or
20 the number four.

21 Mr. Woods, which is the one that it ended
22 up with is the only one that I would recognize.

23 Q When did you first see this letter?

24 A Let's see, I think it was right around
25 that February 6th date.

1 Q What's that little number 71 up there
2 circled?

3 A When they receive a sublease and farmout
4 request from other companies they're -- in this routing se-
5 quence they get a number. This would be number 71.

6 Starting out for the year, starting Jan-
7 uary 1st, there were 70 others through the 11th then.

8 Q So this is a unique number given by Get-
9 ty?

10 A Texaco.

11 Q Was Mr. Woods in a -- let me back up a
12 little bit.

13 Where is your office?

14 A We are in the Heritage Center on
15 Lorraine, which is about three or four blocks from Getty's
16 offices in the First City Bank Tower No. 2.

17 Q Okay. Does Texaco still occupy that
18 building where Getty used to be?

19 A There are just a few Getty personnel left
20 over there, very few, but as far as I understand it, the
21 money for the moving of some of those people has kind of
22 been deferred, or whatever, and there's only a few left.

23 Q Well when did Mr. Woods' group and the
24 group that was working on this with Getty, when did they get
25 moved over to your -- to the Texaco office?

1 A I can't say when that time was but evi-
2 dently -- I really don't know.

3 I know that he's over there now and has
4 been for awhile but I don't know when that move was.
5 They've been coming for some time now, all departments.

6 Q Sounds like a big mess.

7 MR. STOGNER: Okay, that's all
8 I have for Mr. Williams.

9 Are there any other questions
10 of this witness?

11 If not, he may be excused.

12 Mr. Bateman?

13

14

 GARY ROBERT KERN,
15 being called as a witness and being duly sworn upon his
16 oath, testified as follows, to-wit:

17

18

DIRECT EXAMINATION

19 BY MR. BATEMAN:

20 Q Would you state your full name and place
21 of employment for the record, please?

22 A My name is Gary Robert Kern. I'm em-
23 ployed with Texaco as the Division Operations and Proration
24 Engineer in the Midland Division Office.

25 Q Mr. Kern, have you previously testified

1 before the Division and made your credentials a matter of
2 record?

3 A Yes, I have.

4 Q Are you familiar -- do you work with the
5 area in question in this application?

6 A Yes, sir.

7 MR. BATEMAN: I offer Mr. Kern
8 as an expert.

9 MR. STOGNER: If there are no
10 objections, Mr. Kern is so qualified.

11 Q Mr. Kern, would you refer to what's been
12 marked Exhibit Number Six, I believe?

13 A Exhibit Number Six is a map which shows
14 several things, and I'll kind of talk about them piecemeal.

15 First of all, the Texaco acreage in the
16 immediate area is outlined in yellow. The Texaco proposed
17 location is so highlighted as the proposed location.

18 The HNG location, which as I believe has
19 been testified today, has been drilled to some 10,000 feet,
20 is shown as a location.

21 We've got what basically -- basically the
22 dots surrounding the wells, they're colored, are wells that
23 based on the latest information I have, are completed in one
24 of three Atoka Pools, one being the Malaga, or however you
25 want to say it, Malago Atoka Pool, those being the green

1 colored dots.

2 The orange or gold colored dots completed
3 in the Undesignated Atoka, Eddy County Undesignated Atoka
4 Gas Pool.

5 And the pink being in the Willow Lake
6 Atoka Gas Pool.

7 Also shown is the proration unit asso-
8 ciated with the wells immediately surrounding the section in
9 question, that being Section 18.

10 I might note that perhaps the most signi-
11 ficant of the -- of the -- of the producing proration units
12 surrounding Section 18 would be the HNG Queen Lake Federal
13 19 Well No. 1. That -- that, of course, as we talked about
14 earlier, is a lay-down there in that section, as is -- as is
15 the location in Section 25 for HNG, the HNG Craft.

16 The Coquina, Coquina Oil Craft there in
17 Section 13, which has a green dot surrounding it, that, and
18 I'm going to be referencing that later on, and as I think
19 Keith has mentioned, that well has somehow been transferred
20 to Santa Fe Energy, and some curves and other information
21 that I will show in the future will -- will reflect that.

22 But, as you can see, the only producing
23 proration unit immediately adjoining, even at a point, are
24 the two lay-downs in Section 12, as well as the lay-down be-
25 low us in Section 19.

1 And the next thing that I've indicated on
2 the map is indicating areas ultimately drained. What these
3 are is areas which we say with no additional development
4 will in all probability, or I say will in all probability,
5 be drained by the existing wells, and here once again, this
6 -- this was more or less done on a basis of just -- just the
7 wells immediately surrounding the section in question, and
8 that being, of course, Section 18.

9 In support of these -- of these drainage
10 circles, or drainage areas, the ultimate drainage areas, I
11 have some additional information.

12 First of all, I'd like to present Exhibit
13 Number Seven, which is a curve, producing curve of the -- of
14 the Craft Well which is in Section 13, producing from what's
15 in the Malaga Atoka Gas Pool.

16 The well, as shown, went on production
17 sometime in mid-1983. Let's see, the well to date has pro-
18 duced some -- the latest information would include December
19 of 1984, has produced some 772,378,000 cubic feet of gas.

20 Of course the curve there shows a decline
21 rate, or a slight decline, I didn't really draw the line
22 through it on the exhibit, but I used -- utilized a 19 per-
23 cent exponential decline rate.

24 I might add that the gas produced through
25 9-84 (not understood) a figure of 772. That was through De-

1 cember. This curve is only through September. It showed
2 that the cumulative at that point, September, is the 715-
3 million cubic feet of gas.

4 This curve, taken to an economic limit of
5 100 MCF a day would yield a gas remaining of 3,219,000,000
6 cubic feet of gas, yielding an ultimate 3,935,000,000 cubic
7 feet of gas.

8 The next exhibit I'd like to present is
9 Exhibit Number Eight. It's drainage calculations for the
10 Santa Fe Energy Company's Craft Well No. 1, or the Coquina
11 Energy Well No. 1 in Section 13.

12 The well had initial from Dwight's
13 information, had initial shutin pressure of 4937 psi. That
14 yield's an extrapolated bottom hole pressure of 6214 psi,
15 gas gravity of .57, and an abandonment pressure of 1000 psi,
16 indicates an initial gas formation volume factor of 314
17 standard cubic foot per cubic feet and a gas formation
18 volume factor at abandonment of 59.6 standard cubic feet per
19 cubic feet.

20 The recovery factor yielded from that is
21 81 percent.

22 I then went into a recoverable gas in
23 place calculation volumetrically for the -- for a standard
24 320-acre proration unit, and that showed some 2,047,867,000
25 standard cubic feet.

1 -- just the steadiness of the curve. The well has held up,
2 certainly, excellently, and I'll talk a little bit more
3 about why I might believe that it going on here in a little
4 bit.

5 The next exhibit I'd like to present is
6 some supportive data in regard to P/z plot, which is -- the
7 supportive data is Exhibit Ten. The P/z -- the actual P/z
8 plot is Exhibit Eleven.

9 This was obtained from -- actually from
10 HNG in conversation between Russell Poole with our office
11 and, I believe, Mr. Duke of HNG.

12 The original shut-in wellhead pressure
13 there was shown to be 7 -- was shown to be 5850 psi. From
14 that an estimated bottom hole pressure was obtained of 7404
15 psi. The associated P/z point was calculated and another
16 pressure was obtained on 3-1-85, a shutin wellhead pressure
17 of 4300 psi, yielding an estimated bottom hole pressure of
18 5442 psi and a P/z of 5209.

19 The cumulative to 3-1-84 had to be
20 estimated. It was estimated based on the previous rates at
21 1.9-million cubic feet a day, which yielded for January and
22 February of 1985, 112-million cubic feet of gas produced
23 over that increment.

24 That was to have been added to the 936-
25 million cubic feet of gas, which had been produced prior to

1 January 1, 1985.

2 That yielded an estimated cumulative to
3 3-1-85 of 1,049,000,000 cubic feet of gas.

4 This data was then plotted on a P/z plot
5 with the two points and extrapolated down to a P/z at aban-
6 donment of some 1,066.9.

7 That yielded an estimated ultimate re-
8 covery for this well of 5.210 BCF.

9 I might add, I know that the 5.21-billion
10 cubic feet sounds -- sounds large. The well has produced a
11 billion cubic feet. As of September it was still producing
12 2-million cubic feet a day.

13 A decline curve analysis of that, al-
14 though I don't show it, down through an economic limit of
15 200 MCF a day, yields some 6.9-billion BCF.

16 In my calculations which are to follow I
17 chose the most conservative of those two, and that being the
18 5.2-billion cubic feet of gas per day estimated this well
19 will recover.

20 Once again I more or less did the same
21 drainage calculations or I performed the same calculations
22 which I performed on the Coquina, or Santa Fe Craft Well in
23 Section 13, getting a recovery factor, determining the re-
24 coverable gas in place under a 320-acre proration unit, and
25 once again determining the area ultimately drained.

1 This figure came up to be an area ulti-
2 mately drained, 2572 acres, and an ultimate drainage radius
3 of 5,972 feet.

4 That's what's reflected in the -- in the
5 large red circle which encompasses all of the south half of
6 Section 18 and portions of the north half of Section 18.

7 I guess a question that I -- a very
8 obvious question that came to my mind is how can a -- how
9 can a reservoir that has two percent porosity produce that
10 much gas and also, not only produce that much gas, but
11 produce at a rate of 2,000,000 cubic feet a day for nearly
12 two years now, and I think the witness for HNG, the
13 geologist, indicated that there is fracturing that -- that
14 he believed that there could be fracturing in it.

15 I -- I took a look at HNG's logs on the
16 Queen Lake 19 Federal No. 1 and maybe we didn't distribute
17 these.

18 Section 6 to the north.

19 MR. BATEMAN: Can we go off the
20 record just a minute?

21 MR. STOGNER: All right, Sally,
22 let's go off the record.

23
24 (Thereupon a discussion was had off the record.)
25

1 A Okay, Exhibit Number Thirteen is a neut-
2 ron density log on the Queen Lake 19 Federal No. 1 HNG Well.

3 Exhibit Fourteen is the resistivity log
4 and that being a -- through that interval it's a dual induc-
5 tion log.

6 Once again, I think it's been fairly
7 clearly established today that porosity in that Ivanovia
8 Bank Zone, or the Queen Lake Zone, as HNG has called it, is
9 very low. There you're seeing on the neutron density a por-
10 osity somewhere in the range of two percent.

11 The thing -- one -- one good method of --
12 when you're looking at logs, as far as log analysis, is to
13 really look for an anomaly or an anomalous situation. I
14 asked myself the question, how could a -- let me point out
15 that the anomalous situation I'm referring to is the separa-
16 tion that is shown on the two curves, the medium and the
17 deep induction log curves.

18 This separation is not characteristic for
19 a tight, a very tight formation, what you typically see as a
20 two percent zone. To back that up you might go up on the
21 log into the section around 11,890. You notice the two
22 resistivity curves in Section -- I mean in Exhibit Number
23 Fourteen. They're almost stacking on top of each other.

24 That's typically what you see when you
25 are drilling a well with a high resistivity fluid, which

1 this is. It was drilled with an oil-based mud, as indicated
2 in the title block for that run.

3 In other words, you're invading the for-
4 mation with a higher resistivity filtrate or higher resist-
5 ivity fluid. You see no -- you see no separation. In es-
6 sence, the fluid is, or the resistivity log is reading the
7 same resistivity with the medium as well as the deep -- but
8 that's in contrast to what you see in the zone of interest
9 marked in yellow for the interval of -- that the -- that the
10 HNG Well is completed in.

11 You see a great deal of separation there.
12 You see separation from probably an average of 50 ohms up to
13 somewhere in the range of 80 ohms; your deep curve reading
14 the low resistivity fluid, your medium curve reading the
15 high resistivity fluid because you've invaded the zone with
16 a high resistivity fluid.

17 I suppose there could be quite a few ex-
18 planations for that type of characteristic behavior, but in
19 conjunction with the cumulative of the well, with the con-
20 junction of the rate of the well, it indicates to me that if
21 that's the anomaly you see, that explains at least in some
22 part why a two percent rock would produce that kind of near-
23 ly one billion cubic feet of gas and still be producing at a
24 very high rate.

25 I might contrast that, after having gone

1 through that rather length explanation, with the well marked
2 as Exhibits Numbers Fifteen and Sixteen, those being the
3 Getty Well in Section 6. This zone has not been tested in
4 this well but once again you see a porosity very similar to
5 the porosity you see down in the Queen Lake Federal -- 19
6 Federal Well, but yet you don't see the separation on the
7 log.

8 That would tend to indicate to me that
9 possibly fracturing or that the fracturing is not apparent
10 there.

11 Q Mr. Kern, do you have any further testi-
12 mony concerning these exhibits?

13 A I guess the only thing that I -- further
14 I'd like to add is I have examined other logs in the area.
15 In fact, I've examined the Tenneco log there in Section 13.
16 It's showing the same resistivity separation.

17 I've examined the Santa Fe Burkham Well.
18 Once again it shows the same resistivity separation.

19 There tends to be -- there tends to be
20 fracturing shown in this portion of the reservoir and this
21 portion of -- certainly in this section, well, in this area,
22 let's say.

23 Q Fracturing is consistently shown, is that
24 it?

25 A Right, in that immediate area. Now there

1 are other wells, like the one I pointed out way to the north
2 of the Getty Well, that do not show that.

3 Q Were the drainage radius calculations
4 made by standard calculations which are standard in the in-
5 dustry?

6 A That's correct. That's correct.

7 Q Now, on another point, has an AFE been
8 prepared on the proposed well?

9 A Yes, it has.

10 Q And what would it cost to drill and com-
11 plete the well?

12 A I believe the figure is given in the let-
13 ter (not understood), although the AFE was not attached.

14 There is a dry hole cost of approximately
15 \$947,000 and a completed well cost of approximately
16 \$1,558,000.

17 Q Those are roughly the same figures that
18 HNG had.

19 A I believe they're very close.

20 Q Do you request that Texaco produce and be
21 designated the operator of the unit?

22 A Yes, sir, I do, with a 70 -- and what
23 would be a 75 percent working interes, I would propose that
24 they be the operator.

25 Q And what do you expect the cost, the

1 **supervisory cost** to be?

2 A I really didn't prepare an exhibit or
3 anything for that, but I certainly can prepare one or we
4 would be willing to use exactly what HNG has proposed.

5 Q Those costs you think are reasonable in
6 the industry?

7 A Yes.

8 Q What risk penalty do you request?

9 A I would think the standard 200 percent
10 risk penalty would be appropriate here. The -- the well --
11 the well to the north in Section 6 did not encounter this
12 Bank Zone.

13 It's fairly continuous but, you know,
14 there are no absolutes.

15 Q Do you believe that the approval of this
16 application would be in the best interest of conservation,
17 protection of correlative rights?

18 A I think it would be in the best interest
19 of protecting correlative rights from a well that's drained
20 -- that has produced some billion cubic feet of gas 1980
21 feet to the south, and which, unless something dramatically
22 happens, it's going to produce a significant amount of gas.

23 I certainly do think that a well in the
24 south half proration unit suggested by Texaco, that being
25 the south half, which would more protect this section from

1 any drainage.

2 Q Do you think it's in the best interest of
3 conservation?

4 A Yes, sir.

5 Q And would it prevent waste in your opin-
6 ion?

7 A Yes, sir.

8 Q Were Exhibits Six through Fourteen, if
9 I'm not mistaken --

10 A Sixteen.

11 Q -- Sixteen, excuse me, prepared by you or
12 under your direction?

13 A Yes, they were.

14 MR. BATEMAN: At this time I'd
15 offer Exhibits Six through Sixteen.

16 MR. CARR: No objection.

17 MR. BATEMAN: I'd request that
18 the Form C-102 that I referred to earlier be marked Exhibit
19 Seventeen.

20 MR. CARR: We have no objection
21 to that and we'll stipulate it's a north half unit.

22 MR. STOGNER: Okay, Exhibits
23 Six through Sixteen will be admitted into evidence at this
24 time.

25 And you have just marked this

1 Exhibit Seventeen?

2 MR. CARR: We have no objection
3 to that.

4 MR. STOGNER: There being no
5 objection, we'll offer into evidence Exhibit Number Seven-
6 teen and accept it.

7 Mr. Carr, your witness.

8

9 CROSS EXAMINATION

10 BY MR. CARR:

11 Q Okay, Mr. Kern, let's see if I can under-
12 stand some of this.

13 A Okay.

14 Q I think you testified a minute ago, and
15 correct me if this is wrong, that this lime zone, Atoka Lime
16 zone that is the primary zone Texaco is interested in, does
17 not appear in the Getty Well in Section 6, is that right?

18 A The zone does appear. In fact, it's
19 shown on the log.

20 Q All right.

21 A What I testified to was -- was that I
22 would question its productivity and I might emphasize that
23 there's no -- there's no production test.

24 In other words, that interval has not
25 been perforated.

1 Q Does it show poorer porosity than the
2 other zones?

3 A Everything shows poor porosity. I don't
4 know -- let me see, glance at that.

5 It may show slightly poorer porosity but
6 it's not really significant.

7 Q But you're ruling it out.

8 A Well, I, being as Texaco is now the owner
9 of that well, I think I'd certainly perforate it and test
10 it.

11 Q Now, when you talk about the resistivity
12 log, if I can say that --

13 A Okay.

14 Q You talk about stacking curves.

15 A Right.

16 Q If I understand that, that means when
17 your curve, the lines come together; there isn't a separa-
18 tion between the two.

19 A Right.

20 Q You've looked at logs in a number of
21 wells in this area, have you not?

22 A Right. Yes, sir, I have.

23 Q And there are various things that are
24 shown by stacking curves, isn't that true?

25 A Yes, I --

1 Q Isn't one of those things a tight forma-
2 tion?

3 A A tight formation can, but you have to,
4 in order to have any invasion in a tight formation you have
5 to have some permeability and it --

6 Q When they're stacked does that show per-
7 meability?

8 A The stacking shows, the stacking shows
9 zero permeability. In fact, I'd reference you to a lime or
10 to a shale, let's say take Exhibit Number Fourteen, and you
11 might reference the shale that lies immediately above the
12 Bank Zone, which is highlighted in yellow, and that's a
13 shale.

14 Notice the resistivity curves are laying
15 virtually on top of each other. They're reading the same
16 resistivity and that's typically because there's no inva-
17 sion.

18 Q Shows no porosity.

19 A Shows no porosity. Well, shows no perme-
20 ability.

21 Q Now wouldn't that be a tight formation?

22 A Shales, due to their nature, as I under-
23 stand it, they'll read very high porosity zones and -- on
24 the -- on the neutron density log.

25 In fact, if you'll look at the neutron

1 log on the -- well, let's take the Exhibit -- Exhibit Thir-
2 teen, the neutron log in the zones I've just referenced --

3 Q Uh-huh.

4 A -- right above there, is reading off
5 scale.

6 Q Uh-huh.

7 A Now, the porosity in the reading on the
8 density, is reading somewhere around six percent.

9 In other words, while the logs read poro-
10 sity, the -- and may indeed have porosity, but the effective
11 permeability in a shale is in essence very, very low.

12 Q But it is fair to say that one of the
13 things that is shown when you have this kind of stacking is
14 that you have a tighter reservoir.

15 A Yes, definitely.

16 Q Now, if I look at Exhibit Number Six, the
17 big exhibit --

18 A Okay.

19 Q -- what you're doing with these red cir-
20 cles is showing the area that could be drained by the well
21 in the center of each of those.

22 A Right. Right.

23 Q Did you work any data on the HNG Craft
24 Well down in Section 25?

25 A No, I sure did not.

1 Q Do you think that that might not be a
2 well that's draining from the west?

3 A You said there were none.

4 Q Draining the section, Section 18?

5 Q Or this general area.

6 A The section in question?

7 Q Uh-huh, Section 19, also. What you're
8 saying --

9 A Well, there is, of course, there is pro-
10 tection in Section 19. There's a well completed in that in-
11 terval in Section 19.

12 Q But wouldn't there be some drainage from
13 the -- you indicated that because there was a gap between
14 circles, or at least I thought that you showed there was --
15 used this to show there was no drainage from the -- from the
16 west, is what you testified.

17 A If I understand your question, you're
18 saying that I should have taken the Section 25 well into
19 consideration?

20 I might add there that if it did affect,
21 if it did affect Section 19, it would actually void some gas
22 that I had basically been crediting to being in Section 19,
23 and was drained by that well.

24 So, in essence, I guess, that would even
25 further support a larger drainage area.

1 Q But you don't think that that well is --
2 I'm trying to find out if in 25 you believe that that well
3 is also draining out of this common limestone zone.

4 A That well, as I understand it, is com-
5 pleted, is completed in the same Ivanovia Bank Zone, yes,
6 sir.

7 Q And so it would be draining.

8 A It would be draining, certainly, but
9 whether it would be affecting Section 18, I -- I sincerely
10 doubt that.

11 I've got the cums, probably, on that
12 well, I can see.

13 Q Well, if you want to, but my question is
14 really would it be having the same sort of effect as what
15 you're projecting for the HNG Queen Lake Federal Well in 19?

16 A You mean would it have the same type
17 drainage radius?

18 Q Yes.

19 A I would have to -- in order to make a
20 reasonably, or an intelligent statement about that, I'd have
21 to do some additional work.

22 Q Is it a comparable well, in terms of its
23 producing ability, with the -- with the HNG well?

24 A I believe, as I understood, you all tes-
25 tified earlier this morning, or earlier that it was not.

1 Q And assume that it is not, would it drain
2 that same kind of area, or is your producing rate a factor
3 which you use in determining how wide an area it drains?

4 A Let me answer one question at a time.

5 Q Okay.

6 A I do not have cums or production curves
7 on that well.

8 Q Okay. Well, if we go just to your well,
9 or the well in Section 19, the HNG well, did you use the
10 producing rate as a factor in determining that it was drain-
11 ing the number of acres, hopefully would drain the acres
12 shaded in red?

13 A No, what I -- I used the producing rate
14 to come up with a -- with an estimate of ultimate recovery
15 as far as -- in comparison with the P/z data.

16 Q Uh-huh.

17 A As I testified to, the -- that came out
18 to some number in the range of 6.8 billion cubic feet.

19 The number that was actually used in the
20 calculation was 5.2 billion cubic feet, which is a lower
21 volume of gas, or smaller volume of gas, which, of course,
22 yields a smaller drainage radius.

23 Q Okay, so the smaller the volume that's
24 produced, the smaller the drainage radius.

25 A Right, that's correct, assuming, you

1 know, your other thing is constant here.

2 Q Down in Section 25, if it has a smaller
3 producing rate, would you anticipate a smaller radius of
4 drainage?

5 A Probably so.

6 Q And that would also show that there are
7 probably some other -- there are possibly some other reser-
8 voir properties which are different, as well.

9 A In Section 25?

10 Q Uh-huh.

11 A Like -- see, I don't have any -- I don't
12 know the -- I don't know the character -- I don't know what
13 the rate is. I don't know what the cumulatives are.

14 Q Do you know that the area shaded in red
15 is a homogeneous deposit that would be drained in a radial
16 fashion?

17 A Certainly I don't.

18 Q And so this isn't necessarily a depiction
19 of the drainage pattern for that well.

20 A No, it's the best -- it's the best one
21 can do with the information given.

22 Q Okay, and it's based just on information
23 from that one well.

24 A Yes, sir, that particular circle is, as
25 well as, I might add there that you did mention continuity

1 as far as the reservoir.

2 I think the curves, the cross sections
3 that Keith has presented, as well as your geologist has pre-
4 sented, clearly show that in this area that the Ivanovia
5 Bank zone, or Queen Lake Federal zone, is -- seems to be,
6 seems to appear very, and porosity appears to be the same,
7 and we looked three miles to the north and saw the Getty
8 Well with a porosity very similar once again.

9 This is probably more homogeneous than
10 you normally find.

11 Q If that's the case, would you expect
12 wells completed in this lime interval to produce and drain
13 in a similar fashion?

14 A Yes, but you have to keep in mind that --
15 that the -- that the area certainly -- that the Queen Lake
16 19 Federal Well has possibly drained area that maybe an ad-
17 ditional completion may be draining. So --

18 Q Would you expect -- would you expect the
19 Craft Well in Section 25 to be in that case where it would
20 have been draining?

21 A Would have been drained by now, at this
22 time?

23 Q Within two years?

24 A Two years from now?

25 Q No, two years from the time the Queen

1 Lake Federal was drilled?

2 A I would, I guess based on my drainage, my
3 ultimate drainage radius curve, I'd have to say no, that I
4 would not have expected it to have been pressure affected at
5 that point.

6 Q Do you have any explanation for why that
7 well is so poor in comparison to this one, then?

8 A No, I really -- you know, as I testified
9 earlier, I did not --

10 Q So your study would have been limited
11 just to this well.

12 A Yes.

13 Q And from that you're analogizing for the
14 entire line section throughout the entire area?

15 A Of course, one thing, you know, you need
16 to keep in mind is that when you assume, when you assume an
17 80 percent recovery factor, 81 or 83, depending on which one
18 of the wells you're looking at, you assume that -- this --
19 this assumes that this entire -- all this area has been
20 drained down to within an 83 percent recovery factor.

21 That in reality doesn't happen. You --
22 you would see, you would probably see an area further, even
23 further, even larger, that would be pressure affected.

24 What I'm saying is this is what it would
25 drain with an 83 percent recovery factor given (not under

1 stood.)

2 Q Mr. Kern, if I understand what you were
3 saying, you were saying that these red circles on Exhibit
4 Number Six, showing a drainage radius, in drawing these cir-
5 cles and computing and determining how much area should be
6 included within them, you used an 83 percent recovery fac-
7 tor.

8 A Right.

9 Q Isn't that an unusually high recovery
10 factor?

11 A No, not for a depletion type gas reser-
12 voir. In fact depletion type gas reservoirs generally range
13 in the range -- or have a range of 80 or 90 percent.

14 Q And that's what you would expect to re-
15 cover out of that well?

16 A That's correct, right.

17 Q If you had a lower recovery factor, the
18 radius gets smaller, is that right?

19 A That's correct.

20 Q Okay. Now what you've done is you've
21 shown pure radial drainage, and with the tools you've got
22 that's what you can show.

23 A That's about it.

24 Q In a fractured reservoir isn't radial
25 drainage less likely than in a reservoir that's, say, is a

1 homogeneous sand body?

2 A I'd say the answer to that is probably
3 yes, but on -- coming back -- if so, the fractures in this
4 area appear by the logs from the Santa Fe or Coquina Craft,
5 the Santa Fe, you know, once again using the separation as a
6 tool for determining where fractures may or may not exist,
7 the Santa Fe Burkham, they seem to be very widespread and if
8 it was just one trend of fractures, then, you know, that --
9 that would be, you know, a definite yes.

10 With fractures as extensive as they are,
11 then I'd say that you have to say that -- I guess I answered
12 that yes and I should have said no.

13 I don't think you can quantitatively say
14 that the fractures go in one direction and therefore the
15 drainage area should be all skewed up to the northeast or
16 northwest.

17 Q Your testimony is that you believe that
18 this lime, the Atoka Lime is fairly evenly fractured
19 throughout.

20 A In this immediate area, yes, I'd have to
21 say so, because I've seen -- looked at the logs on the Ten-
22 neco Harrison, the logs on the Coquina or Santa Fe Craft, I
23 can't really say that I've looked at the logs further to the
24 west or further, you know, of course I've looked at the Get-
25 ty logs that are three miles to the north --

1 Q Have you looked at the Craft log in 25?

2 A I may have looked at it but I don't rem-
3 ember what it looked like, to be honest with you.

4 Q And what you're producing out of when
5 you're producing in one of these wells is the void, the
6 fracture state.

7 A Void and, of course, any (not under-
8 stood), you know, but I'd say with fractures that that poro-
9 sity is probably all fractures like that.

10 Q Now the Queen Lake Federal Well, that's
11 the well that is giving Texaco concern.

12 A Yeah.

13 Q And you're concerned about drainage from
14 that well.

15 A Sure.

16 Q And yet you didn't become concerned about
17 it until HNG had built a location and was ready to drill a
18 well.

19 A Well, if you're saying that we, you know,
20 purposely allowed HNG to go out there and build their loca-
21 tion so we could say, oh, you know, let's shut you all down
22 at this point, no, it wasn't anything like that. That was
23 the evaluation process.

24 I -- I got involved in it primarily from
25 the -- once -- once it was known that it was going to go to

1 hearing, or conceived it would go to hearing.

2 Mr. Williams, as well as Mr. Poole, the
3 engineer there, were involved in it more from the inception
4 point.

5 Q Your evaluation of the area was trig-
6 gered, then, by the application of HNG.

7 A My particular evaluation or -- or --

8 Q You stated that the evaluation just oc-
9 curred when you became aware of this application.

10 A My evaluation did. Of course, Keith has
11 testified that -- that Texaco has, or Getty at that point,
12 has had -- has had geologists looking at this area for quite
13 awhile now.

14 You know, we are, at Texaco we are going
15 and reviewing a lot of Getty acreage at this point and
16 seeing if Texaco standars won't -- we can't drill on some-
17 thing.

18 So, this, you know, quite possibly could
19 have been one that we'd have found without it, you know, be-
20 cause, you know, it's rather fairly obvious that a well, you
21 know, 1980 feet of the lease line that's recovered nearly a
22 billion cubic feet, you know, take more than casual interest
23 in it, and certainly you can, I think you can appreciate a
24 merger the size of Texaco and Getty, and allowing us a lit-
25 tle time.

1 I'm not trying to use that as an excuse,
2 but certainly it is a consideration.

3 Q But apparently the people with Getty who
4 were watching the area did not consider this as an area
5 where an offset needed to be drilled.

6 A I didn't talk to them about it but they
7 didn't drill one.

8 Q But the situation we're in today was
9 triggered by HNG's proposal, not necessarily the drilling of
10 the Queen Lake Federal Well.

11 A I'd say that has a certain -- a lot to do
12 with it.

13 Q Is Getty -- I'm sorry, is Texaco prepared
14 to drill the well in the south half of 18?

15 A Yes, sir.

16 Q When would you spud that well? Do you
17 have any idea?

18 A Probably within a month after the order
19 came out approving our proration unit.

20 MR. CARR: That's all I have.

21 MR. STOGNER: Mr. Bateman, any
22 direct?

23 MR. BATEMAN: No, no redirect.
24
25

CROSS EXAMINATION

1
2 BY MR. STOGNER:

3 Q Mr. Kern, you were asked about overhead
4 charges but you were not prepared at this time to present
5 any?

6 A That's correct. I --

7 Q How long you been working on this?

8 A Well, I've been -- I've been working on
9 it for about two or three weeks. I, you know, I certainly
10 apologize for not having that prepared.

11 I have never -- Texaco just has not done
12 very much compulsory pooling and I guess you might say it
13 slipped through, but we'll -- we'll be happy to do whatever
14 is required to meet that obligation.

15 MR. STOGNER: I have no further
16 questions of this witness at this time.

17 Are there any other questions
18 of Mr. Kern?

19 If not, he may be excused.

20 Mr. Carr, Mr. Bateman, do you
21 plan to bring back any of your witnesses at this time?

22 MR. CARR: I do not.

23 MR. BATEMAN: No, thank you.

24 MR. STOGNER: Mr. Carr, I'm
25 going to ask HNG a question and I will have either one of

1 another question.

2 That particular 80 acres that
3 you alluded to, I believe, is the east half of the northeast
4 quarter?

5 MR. DUKE: Yes, sir, it is.

6 MR. STOGNER: When -- when does
7 the U. S. BLM plan to put that up?

8 MR. DUKE: Well, as we under-
9 stand it, it was on the May list and all of a sudden for
10 some reason the Roswell Branch of the BLM jerked it off, and
11 you know how -- that they've got certain criteria set up to
12 set out KGS tracts, but that old Malaga Unit has been pro-
13 ducing since the fifties and the tract has not been KGS
14 classified yet, and according to the criteria it should be.

15 Then it comes up on the simul-
16 taneous filing for May and for some unknown reason is jerked
17 off, which we have no idea why.

18 MR. STOGNER: And you at this
19 time don't know when it will put back on, I guess.

20 MR. DUKE: It could be next
21 month. It could be next ten years, for that matter.

22 MR. CARR: Mr. Stogner, we
23 checked with the BLM and they advised that it would probably
24 be up in August.

25 MR. STOGNER: Up in August.

1 Okay.

2 That's all the questions I
3 have.

4 Are there any other questions
5 of the witnesses before we have closing statements?

6 There being none, Mr. Bateman,
7 you may go first.

8 Mr. Carr, you may go last.

9 Mr. Bateman.

10 MR. BATEMAN: Mr. Chairman,
11 very briefly, the question of drainage, I think, ultimately
12 has to -- should determine the outcome of this application.

13 Your final questions had to do
14 with what could happen if we had stand-up proration units in
15 Section 18.

16 The east half of Section 18 has
17 the problem with the 80 acres in the north -- northeast
18 quarter.

19 We also have, of course, the
20 difficulty of protecting the 160 acres in the southeast
21 quarter of Section 18 from the drainage which I think has
22 been unquestionably demonstrated by the testimony from Sec-
23 tion 19, the offset to the south.

24 There's been some implication
25 of some wrongdoing in decision making. I think that that's

1 been responded to. Obviously there's been no intent to mis-
2 handle the thing to the detriment of HNG.

3 I think that the considerations
4 are amply demonstrated by the evidence, consideratons for
5 drilling the lay-down proration unit, which, of course, has
6 to do with the fact that the offset is lay-down as well. I
7 think that is a major consideration to be taken into account
8 by the Division.

9 That simply is consistent with
10 what's happened to the south.

11 So for all those reasons, we
12 believe that Texaco's application should be approved.

13 The final consideration, of
14 course, is that first in time doesn't necessarily mean first
15 in right, I don't believe, in this case or any other. The
16 spudding a well doesn't, in my view, necessitate going to
17 10,000 feet in order to protect your rights, but that, of
18 course, is a decision made by HNG and we haven't tried to
19 second guess that, but I don't think that that should be a
20 consideration in deciding this case.

21 Thank you.

22 MR. STOGNER: Thank you, Mr.
23 Bateman.

24 Mr. Carr.

25 MR. CARR: Mr. Stogner, you

1 have two applications before you seeking the pooling of cer-
2 tain acreage in Section 18, Township 24 South, Range 29
3 East.

4 There are a lot of things that
5 aren't in dispute.

6 HNG on one hand is seeking a
7 west half stand-up unit; Texaco, a lay-down south half unit;
8 both have 75 percent; both propose to drill on their own ac-
9 reage and both would drill at a standard location.

10 There doesn't seem to be any
11 question about the imposition of the 200 percent risk pen-
12 alty. No one has disputed it, no argument on that.

13 There doesn't seem to be an is-
14 sue as to the cost. The AFEs are not being challenged by
15 either one. They remain estimates and whoever prevails, if
16 the other joins, they'll pay their proportionate share ulti-
17 mately of what the actual costs happen to be.

18 So the costs are not in issue.

19 There's no question as to over-
20 head and administrative costs. We proposed figures.

21 There's been no quarrel with
22 them and whoever prevails, those figures can be incorporated
23 into the order.

24 There are, however, we submit,
25 several differences.

1 We think that one thing that
2 Texaco has been emphasizing, which is of little and probably
3 no merit whatsoever, is the fact that the north half of 19
4 is developed as a lay-down unit. That might be of some con-
5 sequence if we were 660 off the north line of that section
6 but we're 1950. We're only 30 feet closer than we would be
7 if it were on a stand-up, been developed as stand-up units.

8 They're naturally concerned
9 about what they might do to protect their interest in the
10 south half of 18 and they feel the way to do that is with a
11 lay-down unit.

12 We submit the reason they want
13 a lay-down unit is not because they would like to have an
14 equal chance at a limestone interval which they say is some-
15 how uniformly fractured and could be drained as if it were
16 virtually a homogeneous situation. They don't want to be
17 able to have an equal chance; they want to be two-thirds
18 closer to that common lease line than HNG is with its well
19 down in Section 19.

20 If they really wanted an equal
21 chance, and if we believe their interpretation of this lime-
22 stone zone, one that can be drained great distances by wells
23 completed therein because of the network of fracturing, then
24 they certainly could develop an east half unit and drill
25 1980 from the lease line and virtually protect their rights.

1 They don't want to do that and
2 they don't want to do that because what they're here doing,
3 we submit, is trying to gain an advantage for one stringer
4 and one stringer alone.

5 They'd like to put us in a sit-
6 uation where we'd have to go with a north half unit, being
7 the north half of 18.

8 That, frankly, results in an
9 imprudent development pattern for Section 18, not perhaps,
10 if you want to put your blinders on, if you want to look
11 just at the limestone zone that they're interested in, but
12 if you look at what can be completed in an Atoka well look-
13 ing at the sandstones as well as the limestone, clearly the
14 evidence presented by HNG shows that the prudent development
15 pattern requires the development of the stand-up units and
16 wells in the northeast quarter and the northwest quarter.

17 That's the way, without waste,
18 to protect the correlative rights of the interest owners in
19 Section 18, and we submit that must be controlling in your
20 decision.

21 It simply is a question of who
22 can, with the proposed locations, prudently develop this
23 tract.

24 Only HNG stands before you with
25 a technically competent presentation which shows how Section

1 18 must be developed.

2 This is what they originally
3 proposed to Getty. This is what they propose here today.
4 They didn't do it for purposes of the hearing. They did it
5 because it is the right way to develop Section 18.

6 HNG doesn't believe that first
7 in time is first in right, but we have been working through
8 a complicated title situation. We spent eighteen months un-
9 raveling this problem. We've had to drill a well to prevent
10 loss of a farmout that we could not get extended. We think
11 what we have done is what any prudent operator would do in
12 trying to put together a spacing unit in Section 18.

13 It's not our fault that Getty
14 and Texaco don't communicate very well in the midst of the
15 transition, which I submit is not their fault either, but we
16 do believe we have been out there and have shown that we've
17 been working for eighteen months, put this together, built
18 our location, and then in March along came the man who wears
19 the star, and he'd like to take away.

20 We submit that that is inappro-
21 priate. It is not supported by the evidence before you here
22 today; that to authorize them to go forward at this proposed
23 location is inconsistent with your directives to prevent
24 waste and protect correlative rights, and that you on this
25 record must enter an order granting the application of HNG

1 and denying that of Texaco.

2 MR. STOGNER: Thank you, Mr.
3 Carr.

4 Mr. Carr, Mr. Bateman, I'd like
5 for both of you to submit to me a rough order within --
6 what's today, the 24th? What would be a sufficient amount
7 of time for each one of you to have rough orders in?

8 MR. BATEMAN: Two weeks?

9 MR. CARR: Yeah, that would be
10 fine.

11 MR. STOGNER: Within two weeks.

12 Is there anything further in
13 either Case Number 8558 or 8589 at this time?

14 There being none, the record
15 will remain open pending the additional information, being
16 the roughs, within two weeks.

17 That concludes this hearing for
18 Docket Number 13-85.

19

20 (Hearing concluded.)

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY CERTIFY that the foregoing Transcript of Hearing before the Oil Conservation Division was reported by me; that the said transcript is a full, true, and correct record of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. _____, heard by me on _____ 19____, _____, Examiner Oil Conservation Division

1 STATE OF NEW MEXICO
2 ENERGY AND MINERALS DEPARTMENT
3 OIL CONSERVATION DIVISION
4 STATE LAND OFFICE BUILDING
5 SANTA FE, NEW MEXICO

6
7 10 April 1985

8 COMMISSION HEARING

9
10
11 IN THE MATTER OF:

12 Application of HNG Oil Company for com- CASE
13 pulsory pooling, Eddy County, New Mexico. 8558

14
15
16 BEFORE: Gilbert P. Quintana, Examiner

17
18 TRANSCRIPT OF HEARING

19
20 A P P E A R A N C E S

21
22 For the Oil Conservation
23 Division:

24 Jeff Taylor
25 Attorney at Law
Legal Counsel to the Division
State Land Office Bldg.
Santa Fe, New Mexico 87501

26
27 For the Applicant:

1
2 MR. QUINTANA: We'll call Case
3 8558.

4 MR. TAYLOR: The application of
5 HNG Oil Company for compulsory pooling, Eddy County, New
6 Mexico.

7 The applicant has requested
8 that this case be continued.

9 MR. QUINTANA: Case 8558 will
10 be continued until April 24, 1985.

11 (Hearing concluded.)
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY CERTIFY
that the foregoing Transcript of Hearing before the Oil Con-
servation Division was reported by me; that the said tran-
script is a full, true, and correct record of the hearing,
prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 8558
heard by me on APRIL 10 1985.

Silbert P. Quintana Examiner
Oil Conservation Division