

STATE OF NEW MEXICO
ENERGY AND MINERALS DEPARTMENT
OIL CONSERVATION DIVISION
STATE LAND OFFICE BUILDING
SANTA FE, NEW MEXICO

5 June 1985

EXAMINER HEARING

IN THE MATTER OF:

Application of Sage Energy Company	CASE
for salt water disposal, Roosevelt	8603
County, New Mexico.	

BEFORE: Gilbert P. Quintana, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Oil Conservation	Maryann Lunderman
Division:	Attorney at Law
	Energy and Minerals Dept.
	Santa Fe, New Mexico 87501

For the Applicant:

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. QUINTANA: We'll call next
Case 8603.

MS. LUNDERMAN: Application of
Sage Energy Company for salt water disposal, Roosevelt
County, New Mexico.

MR. QUINTANA: This case was
prior heard by Mike Stogner.

Are there further appearances
or testimony in this case?

If not, this Case 8603 will be
taken under advisement.

(Hearing concluded.)

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY CERTIFY
that the foregoing Transcript of Hearing before the Oil Con-
servation Division was reported by me; that the said tran-
script is a full, true, and correct record of the hearing,
prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is
a complete and correct transcript of the proceedings in
the Ex parte hearing of Case No. 8603
heard by me on June 5, 1985.

Gilbert P. Quintana Examiner
Oil Conservation Division

STATE OF NEW MEXICO
ENERGY AND MINERALS DEPARTMENT
OIL CONSERVATION DIVISION
State Land Office Building
Santa Fe, New Mexico

22 May 1985

EXAMINER HEARING

IN THE MATTER OF:

Application of Sage Energy Company CASE
for salt water disposal, Roosevelt 8603
County, New Mexico.

BEFORE: Michael E. Stogner, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Oil Conservation Jeff Taylor
Division: Attorney at Law
Legal Counsel for the Division
Oil Conservation Division
Santa Fe, New Mexico 87501

For the Applicant: W. Thomas Kellahin
Attorney at Law
KELLAHIN & KELLAHIN
P. O. Box 2265
Santa Fe, New Mexico 87501

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

JAY HARDY

Direct Examination by Mr. Kellahin	3
Cross Examination by Mr. Stogner	15
Cross Examination by Mr. Taylor	16

E X H I B I T S

Sage Exhibit One, Composite	14
-----------------------------	----

1

2

MR. STOGNER: Call next Case

3

Number 8603.

4

5

MR. TAYLOR: The application of
Sage Energy Company for salt water disposal, Roosevelt Coun-
ty, New Mexico.

6

7

8

MR. KELLAHIN: If the Examiner
please, I'm Tom Kellahin of Santa Fe, New Mexico, appearing
on behalf of the applicant, and I have one witness to be
sworn.

10

11

MR. STOGNER: Is there any
other appearance in this matter?

12

13

Will the witness please stand
and be sworn?

14

15

16

(Witness sworn.)

17

18

JAY HARDY,

19

being called as a witness and being duly sworn upon his
oath, testified as follows, to-wit:

20

21

22

DIRECT EXAMINATION

23

BY MR. KELLAHIN:

24

Q Mr. Hardy, for the record would you
please state your name and occupation?

25

1 A My name is Jay Hardy and I'm a petroleum
2 engineer for Sage Energy Company.

3 Q Mr. Hardy, have you prpeviously testified
4 before the Oil Conservation Division and had your qualifica-
5 tions as a petroleum engineer accepted and made a matter of
6 record?

7 A Yes, I have.

8 Q And pursuant to your employment by Sage
9 Energy Company, have you made a study of the facts surround-
10 ing this application for the use of this well for salt water
11 disposal?

12 A Yes, I have.

13 MR. KELLAHIN: We tender Mr.
14 Hardy as an expert petroleum engineer.

15 MR. STOGNER: Mr. Hardy is so
16 qualified.

17 Q Mr. Hardy, I've placed before the Exam-
18 iner the C-108 and all the attachments to that application.

19 Would you briefly describe for the Exami-
20 ner what Sage seeks to accomplish with this application and
21 then we'll get into the substance of the application itself?

22 A Sage seeks to convert a current producing
23 well to salt water disposal and use that well to dispose of
24 the produced water from two other wells that it operates in
25 this area, and this is strictly a salvage operation and if

1 we aren't granted permission to do this, we will plug all
2 three wells.

3 Q When you talk about the wells involved,
4 what formation do the producing wells produce from?

5 A They produce from the Bough C in the Penn
6 section.

7 Q The third well that's to be used for dis-
8 posal purposes also has produced from the Bough C?

9 A That's correct.

10 Q And all three of these wells are located
11 on the same lease, are they?

12 A That's correct.

13 Q Would you estimate for the Examiner the
14 approximate maximum daily rates in barrels of water that you
15 need for the disposal well?

16 A We estimate 100 barrels a day.

17 Q The application has requested a maximum
18 of 500 barrels a day. Would that maximum rate take into
19 consideration your anticipated future increased water pro-
20 duction from this lease?

21 A Yes, it would.

22 Q Now is the method of disposal one that
23 will allow the water to be disposed of in the disposal well
24 under vacuum, or will it require pressure?

25 A We plan to do this under vacuum.

1 Q All right, sir, let's turn now, if you
2 will, please, to the plat that's attached to the application
3 and let's use that plat to identify the wells of interest.

4 First of all, if you'll identify for the
5 Examiner the proposed disposal well.

6 A The proposed disposal well is the Cabot
7 State No. 4 in the southwest of the northeast quarter.

8 Q All right, sir, and what are the two pro-
9 ducing wells from the Bough C that will produce water for
10 this well?

11 A The two producing wells are the Cabot
12 State No. 3, which is in the northeast of the northeast, and
13 the Midwest State No. 1, which is in the northeast of the
14 northwest.

15 Q Also on the plat are two other wells to
16 the south of the disposal well. What's the status of those
17 wells?

18 A Those wells were plugged in about 1974.

19 Q And they appear on other documentation in
20 the application?

21 A That's correct.

22 Q All right, sir, let's turn now to the
23 half mile radius circle and within that area of review, Mr.
24 Hardy, would you identify for us the wells and the status of
25 those wells within that area?

1 A The No. 4 is the disposal well, which is
2 the center of the circle, and on your plat there it probably
3 shows it plugged, but that's not correct. That well is cur-
4 rently producing.

5 The No. 3 is in the northeast of the
6 northwest and we operate that. That's about a 3-barrel
7 well. It makes about 30 barrels of water.

8 The Midwest State No. 1, which is in the
9 northeast of the northwest, we operate that. It's a produc-
10 ing well; pumps about 16 barrels of oil and 60 barrels of
11 water.

12 And then in the northeast of the south-
13 east is the Cabot State No. 2, which was P&A'd and in the
14 northeast of the southwest is the Cabot State No. 1, which
15 was also P&A'd.

16 Q Of the two producing wells, you produce
17 approximately 100 barrels of water a day. What is being
18 done with that water?

19 A That water is being trucked.

20 Q And at what expense to Sage, Mr. Hardy?

21 A It costs about \$1.20 a barrel to truck
22 it.

23 Q All right, sir, let's turn now to the
24 wellbore schematic for the proposed injection well and have
25 you describe for the Examiner how you propose to complete

1 this well for disposal.

2 A The schematic shows the way that we plan
3 to do this. We plan to use the current 2-inch tubing which
4 is in the well, internally plastic-coated, and set it on a
5 Baker Model R packer at 9700, plus or minus, above the per-
6 forations, which are at 9777 to 9795, and that is the cur-
7 rent disposal setup, the way we plan to do it.

8 Q Will you fill the space between the tub-
9 ing and casing with an inert fluid?

10 A Yes, we will use the packer fluid.

11 Q And you'll have a pressure gauge or some
12 other monitoring device at the surface?

13 A Yes, we will.

14 Q To detect for leaks?

15 A Yes.

16 Q All right. All right, sir, let's turn
17 now to the additional information and have you describe for
18 us the next schematic.

19 A The next schematic is the Cabot State No.
20 3, the way it is currently completed with the perforations
21 at 9709 to 9734; 5-1/2 inch casing.

22 The surface 13-3/8ths was circulated to
23 the surface with 425 sacks; the 8-5/8ths at 4050, and a cal-
24 culated top of the cement at 3300 feet, and then the calcu-
25 lated top of the cement on the long string is 7500 feet.

1 And that well is currently pumping.

2 Q Okay. Have you had any mechanical diffi-
3 culty with this well?

4 A Not to my knowledge.

5 Q In your opinion is it properly completed
6 in such a way that the produced water reinjected into the
7 Bough C will remain confined to the Bough C and that this
8 wellbore would not be used as a conduit to allow that water
9 to migrate up into fresh water sands?

10 A That's the way I see it.

11 Q All right, sir. Let's turn now to the
12 schematic on the other producing well, the No. 1 Well.

13 A The Midwest State No. 1 was completed
14 with 5-1/2 set at 10,030; was perforated from 9802 to 9828.
15 It was cemented with 400 sacks. Calculated top of the ce-
16 ment is 7569.

17 The 8-5/8ths was set at 4065, cemented
18 with 300 sacks. Calculated top of the cement inside an 11-
19 inch hole is 3300 feet and the 13-3/8ths surface was set at
20 416 and there's a note in the record that cement circulated.

21 And it's perforated from 9802 to 9828,
22 and that's the well that pumps 16 barrels of oil and 60 bar-
23 rels of water.

24 Q All right, sir, let's turn to the schema-
25 tics on the first of the plugged and abandoned wells, which

1 will be the Cabot State No. 1 Well? Is that what you have?

2 A That's correct.

3 Q All right, sir, describe for us whether
4 you have an opinion as to this well being adequately plugged
5 and abandoned.

6 A This well was plugged by Roger Hanks and
7 we retrieved the record from the State and these are the
8 plugs that are in place, starting at the bottom we have a
9 25-sack plug above the perforations and we have a 20-sack,
10 25-sack plug at 5800 feet, where the 5-1/2 was pulled.

11 Then we have a 25-sack plug inside and
12 outside the 8-5/8ths at 4055.

13 We have a 25-sack plug at 1375 inside and
14 outside the 8-5/8ths, wich was pulled.

15 Then we have a 25-sack plug at the base
16 of the 13-3/8ths inside and outside.

17 Then we have a 10-sack plug set at the
18 surface.

19 In my opinion that well has been plugged.

20 Q All right, sir, let's go to the last of
21 the two plugged and abandoned wells within the area of re-
22 view and have you describe the status of that wellbore.

23 A Right. The Cabot State No. 2 was drilled
24 by Hanks and plugged by Hanks very similar to the last one,
25 the Cabot State 1.

1 It has a 20-sack plug here across the
2 perforations, which the other one didn't have.

3 It has a 35-sack plug at the 5-1/2 casing
4 stub.

5 It has a 35-sack plug at the top of the
6 Glorieta at 5503.

7 It has a 35-sack plug inside and outside
8 the 8-5/8ths at the base of the casing.

9 It has a 75-sack plug in and out of the
10 8-5/9ths casing stub, which was pulled, and it has a 75-sack
11 plug at the base of the 13-3/8ths inside and outside.

12 It has a 10-sack plug at the surface with
13 a marker.

14 And in my opinion that well was properly
15 plugged.

16 Q All right, sir, let's turn to the water
17 analysis information that you have submitted in the C-108,
18 and let me direct your attention to the water analysis on
19 the Cabot State No. 4 Well.

20 A This analysis was obtained in 1975, show-
21 ing that the chlorides in milligrams per liter are approxi-
22 mately 56,000; the magnesium, 3900; calcium 14,350; sul-
23 fates, 600; bicarbonates, 204 -- 205; soluble iron is 400
24 with a note at the bottom that this contains some spent acid
25 water.

1 Q Do you have additional produced water
2 analyses?

3 A Yes, I do. Because of that note I had
4 another analysis run and that's the next exhibit there,
5 which shows that it is very similar to that produced water
6 that was obtained in 1975. The chlorides are a little
7 higher.

8 Q All right, sir, have you also made an in-
9 vestigation of the status of fresh water in the area?

10 A Yes, I have.

11 Q All right, do you have a fresh water ana-
12 lysis?

13 A Yes, I do.

14 Q Would you describe from what water well
15 that sample was taken?

16 A This is from the -- what they call the
17 Cabot Windmill, which is in the southwest quarter of the
18 southeast quarter of Section 32.

19 It's the only well that we could find in
20 the section and you can see that the calcium is 200 milli-
21 grams per liter. There's no magnesium. Chloride at 1000
22 milligrams per liter; no sulfates; bicarbonates are 280 and
23 there's no soluble iron.

24 Q Have you made an investigation through
25 the State Engineer's Office to determine whether or not

1 there are any other permitted water wells within the area of
2 review?

3 A Yes, I have.

4 Q And are there?

5 A There are none.

6 Q In your opinion, Mr. Hardy, is the sur-
7 face casing and the cementing program of the producing and
8 abandoned wells in the area such that they have isolated off
9 the fresh water aquifers?

10 A In my opinion, yes.

11 Q All right, sir, I think the next exhibits
12 are your notices to offset operators and to the surface
13 owner?

14 A That's correct.

15 Q And who is the surface owner at the dis-
16 posal well?

17 A The surface owner is -- the State owns
18 the surface but it's being leased to a Mr. W. H. Lovejoy
19 from Milnesand, New Mexico.

20 Q And you have provided notice to Mr. Love-
21 joy?

22 A Yes, we have.

23 Q And you've also provided notice to all
24 the offset operators?

25 A That's correct.

1 Q Has any of the operators or the surface
2 owners objected to your application?

3 A No, they haven't.

4 Q Mr. Hardy, have you caused the geology in
5 this area to be examined to determine whether or not there
6 are any open faults or other hydrologic connections between
7 the Bough C and the shallow fresh water sands?

8 A Yes, we have.

9 Q And are there any?

10 A No.

11 Q Was Exhibit One, which is te C-108 and
12 its attachments, prepared by you?

13 A It was prepared by my clerk at my
14 instruction.

15 Q All right, sir, have you reviewed these
16 documents and ascertained whether they are true and accurate
17 to the best of your knowledge?

18 A Yes, I have.

19 MR. KELLAHIN: That concludes
20 our examination of Mr. Hardy.

21 We move the introduction of Ex-
22 hibit Number One.

23 MR. STOGNER: Exhibit Number
24 One with all its parts will be admitted into evidence.

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CROSS EXAMINATION

BY MR. STOGNER:

Q Mr. Hardy, what is this Well No. 4 producing at this time, or is it producing?

A It's not producing at the present time.

Q When did it cease producing?

A About six months ago.

Q Did it water out or --

A Watered out; uneconomic.

Q Are the other surrounding wells, the No. 2 and the No. 1, are they on the verge of watering out, also?

A The No. 2 now is plugged. The No. 3 is producing 30 barrels of water.

The No. 1 is the best well there, which is the Midwest State.

Q So the reinjection of this water back into the same formation should not interfere with production of the No. 1 and No. 3?

A No.

MR. STOGNER: I have no further questions of this witness.

Are there any other questions of Mr. Hardy?

CROSS EXAMINATION

BY MR. TAYLOR:

Q Did you send this to the Land Office,
also?

A Yes, we did.

Q Did you receive (not understood) from the
Land Office?

A Yes, we did.

Q Thank you.

MR. STOGNER: Are there any
other questions of Mr. Hardy?

If not, he may be excused.

Is there anything further in
Case Number 8603 at this time, Mr. Kellahin?

MR. KELLAHIN: No, sir.

MR. STOGNER: Case Number 8603
will be continued to the Examiner Hearing scheduled for June
5th, 1985. At such time it will be taken under advisement.

(Hearing concluded.)

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY
CERTIFY that the foregoing Transcript of Hearing before the
Oil Conservation Division was reported by me; that the said
transcript is a full, true, and correct record of the
hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 8603
heard by me on 22 May 1985 -

Michael S. Stenger Examiner
Oil Conservation Division