

STATE OF NEW MEXICO
ENERGY AND MINERALS DEPARTMENT
OIL CONSERVATION DIVISION
State Land Office Building
Santa Fe, New Mexico

28 August 1985

EXAMINER HEARING

IN THE MATTER OF:

Application of David Fasken for
pool extensions and contractions,
Eddy County, New Mexico.

CASE
8684

BEFORE: Michael E. Stogner, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Oil Conservation
Division:

Jeff Taylor
Legal Counsel to the Division
Oil Conservation Division
State Land Office Bldg.
Santa Fe, New Mexico 87501

For the Applicant:

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. STOGNER: Call next Case
Number 8684.

MR. TAYLOR: The application of
David Fasken for pool extensions and contractions, Eddy
County, New Mexico.

The applicant has requested
that this case be continued.

MR. STOGNER: Case Number 8684
will be so continued to the Examiner's hearing scheduled for
September 11th, 1985.

(Hearing concluded.)

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY
CERTIFY that the foregoing Transcript of Hearing before the
Oil Conservation Division was reported by me; that the said
transcript is a full, true, and correct record of the
hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is
a complete and correct transcript of the proceedings in
the Examiner's hearing of Case No. 8684,
heard by me on 28 August 1985.

Michael R. Stagner, Examiner
Oil Conservation Division

STATE OF NEW MEXICO
ENERGY AND MINERALS DEPARTMENT
OIL CONSERVATION DIVISION
STATE LAND OFFICE BLDG.
SANTA FE, NEW MEXICO

25 September 1985

EXAMINER HEARING

IN THE MATTER OF:

Application of David Fasken for pool CASE
extensions and contractions, Eddy 8684
County, New Mexico.

BEFORE: Michael E. Stogner, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Division:

Jeff Taylor
Attorney at Law
Legal Counsel to the Division
State Land Office Bldg.
Santa Fe, New Mexico 87501

For the Applicant:

Ernest L. Padilla
Attorney at Law
P. O. Box 2523
Santa Fe, New Mexico

A P P E A R A N C E S

For Cities Service: W. Thomas Kellahin
 Attorney at Law
 KELLAHIN & KELLAHIN
 P. O. Box 2265
 Santa Fe, New Mexico 87501

I N D E X

JAMES B. HENRY

Direct Examination by Mr. Padilla	4
Cross Examination by Mr. Kellahin	22
Cross Examination by Mr. Stogner	31
Redirect Examination by Mr. Padilla	34

E X H I B I T S

Fasken Exhibit One, Map	5
Fasken Exhibit Two, Map	8
Fasken Exhibit Three, Decline Curves	12
Fasken Exhibit Four, Data	16

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. STOGNER: We'll call Case
Number 8684.

MR. TAYLOR: The application of
David Fasken for pool extensions and contractions, Eddy
County, New Mexico.

MR. STOGNER: Call for appear-
ances.

MR. PADILLA: Mr. Examiner, my
name is Ernest L. Padilla, Santa Fe, New Mexico, for the ap-
plicant in this case.

I have one witness to be sworn.

MR. STOGNER: Call for further
appearances.

MR. KELLAHIN: If the Examiner
please, I'm Tom Kellahin of Santa Fe, New Mexico, appearing
on behalf of Cities Service Oil and Gas Corporation.

MR. STOGNER: Do you have any
witnesses, Mr. Kellahin?

MR. KELLAHIN: Not today, Mr.
Examiner.

MR. STOGNER: Are there any
other appearances?

Will the witness please stand
and be sworn?

1 (Witness sworn.)

2

3 JAMES B. HENRY,

4 being called as a witness and being duly sworn upon his
5 oath, testified as follows, to-wit:

6

7 DIRECT EXAMINATION

8 BY MR. PADILLA:

9 Q Mr. Henry, for the record will you please
10 state your name and what your connection to the applicant
11 is?

12 A My name is James B. Henry. I reside in
13 Midland, Texas. I'm the General Manager of Henry Engineer-
14 ing. Henry Engineering is the organization that operates
15 the David Fasken Properties. We do the drilling, comple-
16 tion, producing and sale of oil and gas from Fasken proper-
17 ties.

18 Q Mr. Henry, can you -- have you previously
19 testified as a petroleum engineer before the Oil Conserva-
20 tion Division and had your credentials accepted as a matter
21 of record?

22 A Yes, I have.

23 Q Are you familiar with the purpose and
24 have you made a study of the case here today?

25 A Yes, I have.

1 Q And have you prepared certain exhibits
2 for introduction here?

3 A Yes.

4 MR. PADILLA: Mr. Examiner, we
5 tender Mr. Henry as a petroleum engineer.

6 MR. STOGNER: Mr. Kellahin, any
7 objections?

8 MR. KELLAHIN: No objection,
9 Mr. Examiner.

10 MR. PADILLA: Mr. Henry is so
11 qualified.

12 Q Mr. Henry, would you briefly state the
13 purpose of this hearing today?

14 A The purpose of the hearing today is to
15 delete certain acreage from the Burton Flat Field, being
16 Section 35 of Township 20 South, Range 27 East, and Lots 1
17 through 16 of Section 1 of Township 21 South, Range 26 East,
18 Eddy County, New Mexico, and place those sections so deleted
19 from the Burton Flat Field into the adjoining Avalon Field
20 which is contiguous to these tracts on the west boundary.

21 Q Let me refer you to what we have marked
22 as Exhibit Number One and have you identify that for the
23 examiner.

24 A Exhibit Number One is a map of the area
25 of Eddy County showing the Avalon Morrow Field, which is

1 nonprorated, and the Burton Flat Morrow Field, which is pro-
2 rated.

And on this map I've outlined the Avalon Field in yellow and the Burton Flat Field in green, and it's to be noted that there are four miles, five miles of the boundaries that are common between the Avalon Field and the Burton Flat Field.

8 I've also shown on here with respect to
9 the acreage in the Burton Flat Field that's inscribed inside
10 the green line, the wells that are still on production have
11 been highlighted with large circles. The orange circles,
12 completely enclosed with orange, are the marginal wells in
13 the Burton Flat Field.

The green hexagons are those wells in the Burton Flat Field that are nonmarginal but are underproduced. There are four of those in widely scattered locations.

The red hexagons that are highlighting wells denote those Burton Flats nonmarginal wells that are overproduced as of the last proration schedule. There are three of those, being the Yates well in Section 19 of 20, 28; the David Fasken Gulf Federal in Section of Township 21 South, Range 26 East; and the Cities Service well in Section 29 of Township 21 South, Range 27 East.

25 The Avalon Field wells that were produc-

1 ing in July have also been shown as orange circles and they
2 show the wells currently producing in the Avalon Morrow
3 Field.

4 Q Mr. Henry, what is the -- over on the
5 righthand side of the Exhibit Number One, there's a section
6 colored in yellow. What is the significance of that?

7 A The section colored in yellow is a tract
8 of land that was deleted from the Burton Flat Field as of
9 August the 1st, 1985, and was removed from its proration
10 schedule. The nomenclature was amended to delete that.

11 The red triangle in that section is a
12 well that prior to August the 1st was an overproduced non-
13 marginal well operated by Exxon Corporation.

14 Q Do you know how that well was taken out
15 of the proration schedule?

16 A It was taken out on Case Number 8612,
17 dated May the 22nd, 1985, and effective August the 1st,
18 1985.

19 Q Do you have any further thing to add con-
20 cerning Exhibit One?

21 A I'd like to say that what we're seeking
22 here in deleting the acreage for the four Fasken wells from
23 the Burton Flat Field and placing them in the Avalon Morrow
24 Field is not without precedent since this Exxon well has
25 been so removed.

1 I might point out also with respect to
2 this exhibit that the area hachured with pink is the David
3 Fasken Avalon working interest unit that is operated by
4 David Fasken and four of the wells are in the Burton Flat
5 Field and five, or six, excuse me, six of them are in the
6 Avalon Morrow Field.

7 We would like to have all of this working
8 interest unit placed in the Avalon Morrow Field.

9 Q Please refer to what you have marked as
10 Exhibit Number Two and have you explain what its contents
11 are to the hearing examiner.

12 A This map is very similar to the -- the
13 notations on it are somewhat similar to the ones on Exhibit
14 One in that the Burton Flat Field is delineated with the
15 green line.

16 The Burton Flat Field is -- excuse me,
17 the Avalon Morrow Field is delineated with the yellow line
18 again.

19 In this case, within the Burton Flat
20 boundary the solid orange circles again represent the Morrow
21 wells on the July gas proration schedule.

22 The green hexagons again represent the
23 nonmarginal, underproduced wells, and the pink hexagons on
24 here again designate the -- the Burton Flat nonmarginal
25 overproduced wells.

1 Now, in addition I've added some green
2 circles with diagonal hash marks across them. Those repre-
3 sent Morrow dry holes, Morrow wells that have been aban-
4 doned, and Morrow wells that have been abandoned as to the
5 Morrow zone and plugged back to other horizons. So they are
6 not active wells nor are they capable of producing from the
7 Morrow without substantial remedial work and recompletions.

8 The open circles with the zero notation
9 above them are those wells that are on the Burton Flat pro-
10 ration schedule but do not have an allowable assigned to
11 them on the July proration schedule.

12 Now, the red numbers immediately above
13 these wells show the production from those wells in the
14 month of July.

15 Over in the Burton -- excuse me, over in
16 the Avalon Morrow Pool that's outlined in yellow, I've tried
17 to show some corresponding data which is the actual produc-
18 tion for July from the Avalon Morrow wells that are still
19 producing. There are some wells that are still shown in the
20 Morrow formation that did not produce during July and
21 they're shown as open red circles with a zero production
22 figure above them.

23 Q Mr. Henry, what's the top allowable for
24 the Burton Flat Pool?

25 A The top allowable for the Burton Flat

1 Pool in July was 36,064 MCF per month. These, by the way,
2 are monthly production figures that are shown on that.

3 Q And how do these wells compare to the,
4 well, the Fasken wells, how do they compare as far as the
5 top allowable is concerned?

6 A Well, the David Fasken Gulf Federal No. 1
7 is shut in because it was a nonmaringal, overproduced well.
8 It produced a very small amount of gas during the month of
9 -- of July, and the Yates well in Section 19 of Township 20,
10 28, was shut in and did not produce.

11 The overproduced well of Cities Service
12 in Section 29 of Township 21 South, Range 27 East, produced
13 2379 MCF.

14 Q What is the purpose of showing the
15 production over those wells for the month of July?

16 A The purpose of it is to show that the
17 wells nearby and offsetting the acreage we're asking to be
18 deleted are very marginal producers; the wells in Section
19 26, for instance, immediately north of the area we're asking
20 to be deleted. There are two wells and they're operated by
21 Gulf. The Eddy "FT" State No. 1 produced 2179 MCF for the
22 month, or less than 100 MCF per day. The No. 2 "FT" State
23 in Unit B produced 3988 MCF, or slightly over 100 MCF per
24 day.

25 In Section 25, both of those wells are

1 abandoned with respect to the Morrow formation.

2 In Section 36 of 21, 28, coming clockwise
3 around the acreage we're asking to be deleted, the Cities
4 Service State No. 1 "CU" produced 6397 MCF, slightly over
5 200 MCF per day.

6 In Section 6 the Mobil State Com No. 1 in
7 Unit G produced 13,851 MCF for the month of July. The two
8 wells in the south half of Section 6 are abandoned.

9 The wells in the south 320 acres, the
10 well in the south 320 acres of Section 1 offsetting this ac-
11 reage to be deleted, operated by Inexco, being their Avalon
12 1 Federal No. 1, has produced 8885 MCF for the month, and
13 the Mobil Federal 12 Com in Section 12 in the Unit A has
14 only produced 178 MCF for the month.

15 The other well in Section 12 that had
16 produced from the Morrow has been abandoned.

17 Q Those wells you've testified about had no
18 production limitation as far as -- only as far as the top
19 allowable is concerned, is that correct?

20 A That is, as far as I know, that is the
21 case. I do not know what the pipeline take status was.

22 Q Would you say that generally the Fasken
23 wells are -- as shown in the pink outline are better wells
24 than those wells you have just testified about?

25 A Yes, they're equal to or higher in pro-

1 ductivity than any of the wells surrounding them.

2 Q Have you made a study of the pressures
3 and a comparison of the pressures in those wells that you
4 were trying to delete from the Burton Flat Pool?

5 A Yes, we have.

6 Q Let me refer you to what we have marked
7 as Exhibit Number Three and ask you to tell the hearing exa-
8 miner what that is.

9 A Mr. Examiner, the prime concern, we
10 think, in this is not the marginal wells in the area we're
11 asking to be deleted, but the top allowable, overproduced
12 well, being the David Fasken Gulf Federal No. 1 in Unit C of
13 Section 1 of Township 21 South, Range 26 East, and on each
14 of these I have a solid curve on this series of decline
15 curves, showing the completion date of the Gulf Federal No.
16 1 in September, 1982, and it's production history, and down
17 through July, and on there I have affixed to each of these
18 subsequent plats, subsequent plots in this exhibit, the pro-
19 duction history of the wells offsetting this area we're ask-
20 ing to be deleted within one mile.

21 And I'd like to start out with the first
22 one here, the Gulf -- we'll start with the common boundary
23 between the Burton Flat and Avalon Fields at the north edge
24 of the Fasken Avalon working interest unit, referring again
25 to Section 26 of Township 20 South, Range 27 East.

1 The Gulf "FT" State No. 2 is in Unit B of
2 that section. You'll see that depicted on the first sheet
3 of Exhibit Number One -- excuse me, Exhibit Number Three,
4 along with the Fasken Gulf Federal No. 1.

5 What I am showing here is that the Gulf
6 Eddy "FT" State No. 2 was completed in early -- or in Jan-
7 uary of 1978 and had produced for about three and two-thirds
8 years before the David Fasken Gulf Federal No. 1 was com-
9 pleted and placed on production, and we can see no percep-
10 tible change in its decline trend with the high withdrawals
11 from the David Fasken Gulf Federal No. 1.

12 There are some fluctuations in the curve
13 during '82 through '85, and there are not as smooth a trend
14 as earlier, and you'll find that with respect to -- I men-
15 tion that to apply generally to all these exhibits because
16 of pipeline shutins and also these wells in advanced stages
17 of depletion are loaded with water and have to be unloaded
18 and placed back on production, so there'll be some monthly
19 fluctuations in all Morrow wells as they reach the advanced
20 stages of depletion.

21 On the Gulf "FT" State No. 1 in the same
22 section, south half of that section, you'll note that it was
23 completed after the David Fasken Gulf Federal No. 1. This
24 well was originally an Atoka producer. It was plugged back
25 to the Morrow in November of 1983, and as you can see from

1 the production plot, was never a commercial well. The Mor-
2 row was drilled on original completion but was not elected
3 to complete in it until the Atoka was depleted and the Mor-
4 row is a very, very marginal producer.

5 In Section -- the next producing well is
6 in Section 36 of Township 20 South, Range 27 East, being the
7 Cities Service State "CU" No. 1, and it's shown on the
8 second sheet of that plot, those series of plots marked Ex-
9 hibit Three.

10 You can see that it had been completed
11 earlier than 1977, which is as far back as I carried the
12 data on these plots to establish the production trend in
13 here for five years, approximately five years before the
14 Fasken Gulf Federal No. 1 was completed, and you'll see
15 again there there's been no perceptible change in the de-
16 cline trend of this well.

17 Coming on around the section to the Sec-
18 tion 6 of Township 21 South, Range 27 East, we find the Mo-
19 bil Federal State Com No. 1, located in Section 6, Lot 7,
20 and you'll see again here that there was no perceptible
21 change in the established decline of this well with the pro-
22 duction from the Gulf Federal No. 1 of David Fasken when it
23 was put on production.

24 Coming on around to the south half of
25 Section 1, the Inexco Avalon 1 Federal No. 1, you'll see

1 again here there was a well established decline rate prior
2 to the production from the David Fasken Gulf Federal No. 1
3 and can see no deteriorating effect from it. There's act-
4 ually been some increased production here and I do not know
5 if they recompleted other zones or what accounts for the
6 fluctuation but there's certainly been no adverse affect on
7 that well with respect to the Fasken well's production.

8 Q Mr. Henry, on that let me ask you, would
9 that sharp decline and production decline in 1977 be indica-
10 tive of a limited reservoir?

11 A It would indicate that probably one of
12 the sand stringers in there was depleted and some smaller,
13 tighter sand stringers continued to produce, but the more
14 prolific and permeable ones were depleted in that -- with
15 that precipitous decline; generally the case in the Morrow.

16 Q Go on with your explanation.

17 A Okay. The Mobil Federal 12 Com No. 1-A
18 on Unit A of Section 12 of Township 21 South, Range 26 East,
19 has shown some very erratic production over its life. I do
20 not believe that we see anything happening since the comple-
21 tion of the Fasken Gulf Federal No. 1 and it's subject to
22 high rates of production that would indicate any effect that
23 was not already apparent in the trend of that well.

24 I might also point out that with respect
25 to this well, the principal Morrow producing sand in this

1 well is located in a deep channel that's cut into the Atoka
2 formation; deeper than any Morrow channel that I've ever
3 seen in the formation, and it shows a very deep channel,
4 and, in fact, the David Fasken drilling operation in -- com-
5 menced in 1980, pursued through 1982, in which we drilled
6 the El Paso No. 5 in Section 1, the El Paso 6 and 7 in Sec-
7 tion 2, of Township 21 South, Range 26 East, the two wells
8 in Section 35, Maralo Federal 1 and Maralo Federal 2, in
9 Section 35 of Township 20 South, Range 27 East, and this
10 Gulf Federal No. 1 high capacity well in Section 1 of 21
11 South, 26 East, were all drilled in search of that deep
12 channel that was found in the Mobil well, and we never found
13 it. We did find, fortunately, some other sands that were
14 productive, but I think that geologically, as you can rarely
15 say in the Morrow, that this well could not have had any ef-
16 fect on the Mobil well because of the Mobil well's unique
17 sand accumulation that it produces from in a deep channel in
18 the underlying Barnett shale.

19 Q Let's go now to what you have marked Ex-
20 hibit Four, and I believe I asked you before whether you had
21 prepared production -- not production, but pressure data.
22 This is actually your pressure exhibit, is that correct?

23 A Yes, it is.

24 Q Exhibit Three was a production --

25 A Right.

1 Q -- exhibit. Would you explain Exhibit
2 Number Four for the Examiner?

3 A Okay. In Exhibit Number Four I've shown
4 on the lefthand side the shut-in wellhead pressure on that
5 plot on the (not understood) of that we have shown the time,
6 1977 through 1986, and the shut-in wellhead pressures, and
7 I've used shut-in wellhead pressures because we did not have
8 comparable bottom hole pressures on the offsetting wells of
9 other operators.

10 Here I have followed the color scheme for
11 Burton Flat in that the Burton Flat wells have their pres-
12 sure trends depicted in green. The plots have been high-
13 lighted with green, and you'll note that many of the wells,
14 for instance, the Mobil Federal 12 Com No. 1 in the lower
15 lefthand corner is a one point deal; the Mobil Federal State
16 Com 6 is a one point deal, because they were exempt on sub-
17 sequent surveys from wellhead pressure measurements to be
18 reported to the Commission.

19 We also have coming onto the lower part
20 of that the Monsanto Avalon Hills 1 and 2 and those are
21 nearby wells that are located in Section 7 of Township 21
22 South, Range 27 East, and we have included those in here as
23 well.

24 The New Mexico Avalon Federal No. 1 is
25 shown about the middle of the page as the top green line.

1 The Gulf Eddy "FT" State No. 1 is also
2 shown right under it.

3 Now, the yellow lines show the pressure
4 trends of two wells, being the David Fasken El Paso No. 6
5 and El Paso No. 7 that are in the Avalon Morrow Field in the
6 section immediately adjacent to the Burton Flat portion of
7 this field.

8 Now, the remaining four curves that are
9 highlighted in pink show the wells we're asking to be de-
10 leted from this field today and that their acreage assigned
11 to them be deleted from the Burton Flat Field.

12 The red circles are the initial shut-in
13 wellhead pressures and you will note that with respect to
14 the David Fasken El Paso 5, El Paso -- excuse me, the El
15 Paso No. 5, the Gulf Federal No. 1, and the Maralo Federal
16 No. 1, that they are very similar to the Avalon Field wells
17 in their initial pressures.

18 The Avalon -- excuse me, the Maralo Fed-
19 eral No. 2 showed a lower initial pressure but it was dril-
20 led sometime subsequent to the Maralo Federal No. 1 and
21 could have had some interference from those wells since
22 they're only located 1320 feet apart.

23 If you'll look at this plot at about the
24 1550 pound line through the center portion of this thing,
25 you'll see a demarcation line there in which the green pres-

1 sure points for the Burton Flat Field fall below about 1550
2 pounds from 1980 onward, in which the drilling was done in
3 the blocks we're asking to be deleted here today.

4 Above that you have the pink and the yel-
5 low plots, pressure plots, which are very closely akin to
6 one another and represent the higher capacity areas in the
7 area we're asking to be deleted; that is we believe most
8 properly within the producing characteristics, area produc-
9 ing characteristics found in the Avalon Morrow Field.

10 Q Why do the Fasken wells depicted on that
11 chart in yellow, why does the pressure increase at 1983?

12 A In late 1984 and early 1985 we perforated
13 some additional Morrow zones in those wells that were not
14 opened up on original completion.

15 Q The initial -- the initial pressure is
16 what is relevant with respect to all of these wells, the
17 yellow wells and the pink wells?

18 A Those wells and the bottom hole pressures
19 that accompany those indicated to us near virgin pressure
20 with respect to that pressure determination in the Morrow
21 formation here, indicating that these areas have not been
22 drained by -- by the Burton Flat production, nor to any per-
23 ceptible degree by the Avalon production prior to their
24 drilling.

25 Q Does that mean there's no pressure com-

1 munciation between the wells that you are trying to include,
2 Fasken wells that you're trying ot include now in the Avalon
3 Pool and the wells which you have compared in the Burton
4 Flats Pool?

5 A Yes. We believe this is well established
6 by the pressures and by the production trends. The correla-
7 tion of producing zones geologically from well logs can be
8 very deceptive in the Morrow. The proof of the communcia-
9 tion is always reflected, in think, in the -- ultimately in
10 the interference between wells and we do not see that inter-
11 ference this time.

12 Q Do you believe that inclusion of the Fas-
13 ken wells in Section 35 and Section 1 by the Oil Conserva-
14 tion was arbitrary?

15 A Well, it was -- they were placed in there
16 on a nomenclature hearing called by the Commission and we
17 did not contest that.

18 At that time we did not indicate -- did
19 not anticipate the performance of the wells nor that that
20 would ever be a problem.

21 Frankly, the wells turned out much better
22 than we had suspected they would from their early perfor-
23 mance.

24 Q Well, do you believe now that inclusion
25 of the wells in Sectin 35 and 1 should be in the Burton Flat

1 Pool?

2 A No, we believe they should be removed
3 from the Burton Flat Pool and placed in the Avalon Morrow
4 Pool.

5 Q David Fasken is also asking that the
6 overproduction be cancelled in this one well in Section 1.
7 Would you explain your reasons to the Examiner for that re-
8 quest?

9 A Well, first of all, we do not believe
10 that the production from that well has affected any of the
11 surrounding wells in the Burton Flat Field and therefore we
12 do not believe that shutting it in at this point is serving
13 any conservation motive in the Burton Flat Field. It's not
14 helping anyone in Burton Flat to recoup any gas that was
15 produced by the Fasken well in its getting it into its over-
16 produced position.

17 Secondly, we believe that this is denying
18 David Fasken his correlative right to produce that sand and
19 produce it in a timely manner.

20 And thirdly, we believe a precedent has
21 been set for this in deleting the overproduced Exxon well in
22 Section 1 of Township 21 South, Range 27 East, from the pro-
23 ration schedule and from the field itself, and we believe
24 that if precedent's been established, then we're not asking
25 for anything that's not an established precedent.

1 Q Mr. Henry, do you have anything further
2 to add to your testimony?

3 A No, sir.

4 MR. PADILLA: Mr. Examiner, we
5 tender -- move the introduction of Exhibits One through Four
6 and pass the witness for cross examination.

7 MR. STOGNER: Any objection on
8 the exhibits?

9 MR. KELLAHIN: No objection.

10 MR. STOGNER: Exhibits One
11 through Four will be admitted in evidence and we'll take a
12 fifteen minute recess.

13

14 (Thereupon a recess was taken.)

15

16 MR. STOGNER: This hearing will
17 come to order.

18 Mr. Kellahin, I believe you
19 were ready for cross examination.

20 MR. KELLAHIN: Thank you, Mr.
21 Examiner.

22

23

CROSS EXAMINATION

24 BY MR. KELLAHIN:

25 Q Mr. Henry, you've indicated to us that

1 the Fasken Gulf No. 1 Well, the only nonmarginal, overpro-
2 duced well in the acreage to be removed from the Burton
3 Flats Pool has been shut in recently because of overproduc-
4 tion?

5 A Yes.

6 Q Approximately when was it shut in, sir?

7 A It was shut in for the month of July,
8 1984, and the -- has been shut in every since except for a
9 token amount of production and I believe we have a letter
10 from the Commission allowing us to produce an average of
11 about 500 MCF per month to unload the well.

12 There were three months in there, being
13 January, February, and March of 1985, that the well was pro-
14 duce, again because of a letter from the Commission exemp-
15 ting those wells from shut in for those three months in or-
16 der to meet a gas demand for El Paso Natural Gas.

17 Q What is the current total volume of over-
18 production charged against the well?

19 A The latest number I have from official
20 Commission records, Mr. Kellahin, is that as of July that
21 was 291,940 MCF overproduced.

22 Q How long a period of shut in would the
23 Fasken Gulf No. 1 Well have to endure before it was back in
24 balance with the schedule?

25 A That would depend on the nomination each

1 month and based on the current nominations we're probably
2 looking at eight months. Eight to nine months.

3 Q You've directed our attention to the Ex-
4 xon well on the far edge, right edge of both Exhibits One
5 and Two.

6 Approximately when was that Exxon well
7 excluded from the Burton Flats, do you recall?

8 A Exactly on August 1st.

9 Q Of this year?

10 A Yes. It appeared on the July proration
11 schedule. It did not appear on the August proration sche-
12 dule.

13 Q Have you examined the Commission records
14 with regards to that well to determine how Exxon obtained
15 the deletion of that well from the Burton Flats Pool?

16 A It was done on Case Number 8612, heard
17 May the 22nd, 1985.

18 Q And the order number is R --

19 A I do not have an order number.

20 Q All right, sir.

21 What was the -- do you have what --

22 A I believe it was a nomenclature hearing.
23 Was that an administrative order, I believe?

24 Q Do you know, sir, what the volume of over
25 production charged against the Exxon well was at the time it

1 was removed from the pool?

2 A The only record I have of that is the
3 July proration schedule which gives the May status of the
4 Exxon well as being overproduced by 139,239 MCF.

5 Q Mr. Faskens have any further development
6 plans for Morrow wells in either Section 1 or Section 35,
7 the two sections we've been discussing?

8 A The wells, the Faskens Avalon working in-
9 terest unit is now 100 percent developed with respect to the
10 320 spacing.

11 I might point out that there is a Fasken
12 dry hole on the proration unit for the Gulf Federal No. 1,
13 the overproduced well we're speaking of, but it's an aban-
14 doned well, really, it produced less than 200,000 MCF before
15 the Gulf Federal was drilled and has been plugged back to
16 the Strawn sand zone and recompleted, but the well was de-
17 pleted in the Morrow on that same proration unit, which
18 leads me to believe that ultimately we're going to see the
19 Morrow developed on closer spacing than 320 when the gas
20 market improves and I think we're going to find that 320
21 spacing has not adequately drained all of these Morrow
22 fields on 320-acre spacing.

23 There's been two -- several instances in
24 the Burton Flat Field where a second well has been drilled
25 on the 320 spacing after the other well has been abandoned.

1 Q I notice a difference between Exhibits
2 One and Two in the way two wells were identified on the ex-
3 hibits.

4 If you'll look in the southeast of the
5 southeast of Section 1, there's the Avalon Federal Well that
6 on the August Exhibit, which is Number Two is circled in
7 orange, the well immediately to the south of that is circled
8 in orange?

9 When we look at Exhibit Number One
10 neither of those wells are circled. What color should those
11 wells be?

12 A Which wells are those again? What town-
13 ship are we talking about?

14 Q I'm looking in Section 1 in the Township
15 21 South, 26 East, the section that includes your overpro-
16 duced well.

17 A Yes.

18 Q In the very southeast of the southeast
19 there is the Avalon Federal Well circled in orange.

20 A Yes.

21 Q On the corresponding Exhibit Number One
22 for the July status, that well is not circled in any color
23 code.

24 A Oh, that is a drafting error, I believe.
25 Does the Commission's exhibits show it that way?

1 MR. STOGNER: Yes, both of mine
2 are circled in orange.

3 Q All right, it's just my copy then.
4 That's all right.

5 A I apologize. I have an orange pencil if
6 you'd like to --

7 Q That's all right. I just wanted to make
8 sure that --

9 A I apologize for that.

10 Q Mr. Henry, on your production plots,
11 which are Exhibit Number Three, have you attempted to make
12 any production plot comparisons of the other nonmarginal
13 wells that are in the Burton Flats Pool?

14 A No, sir.

15 Q And with regards to the pressure plots --

16 A I did not make that plot because whether
17 a well is produced at capacity in the Burton Flat -- excuse
18 me, produced at capacity in the Avalon Morrow Field or is a
19 marginal well in the Burton Flat Field, the net effect is
20 the same.

21 The wells are allowed to produce whatever
22 their capacity will sustain.

23 Q The production plots on Exhibit Number
24 Three, did you make production plots that compare the pro-
25 duction of the Fasken Federal No. 1 to the other Fasken

1 operated wells that are in this working interest unit and
2 offset it?

3 A No.

4 Q Would you describe for us briefly, Mr.
5 Henry, when the Commission assigns a pool allowable how that
6 allowable is produced among the various wells in, say, the
7 Burton Flats Pool, when we -- when we assign it in terms of
8 the marginal or nonmarginal wells?

9 A It's my understanding that the Commission
10 procedure, my understanding of the Commission procedure is
11 that they take the second prior month's actual production
12 for the marginal wells and deduct that from the pool nomina-
13 tion and redistribute the rest of it to the nonmarginal
14 wells.

15 Q Under that formula for July of '85, using
16 Exhibit Number One, and I think you've told us earlier and I
17 have forgotten, I believe that there were four nonmarginal
18 wells.

19 A Yes.

20 Q Which shared --

21 A That are underproduced and three that are
22 overproduced. There are seven nonmarginal wells.

23 Q On the July schedule, then, we have seven
24 wells that are nonmarginal.

25 A Yes.

1 Q Of those, three were overproduced and
2 four were underproduced.

3 A Were underproduced, and those four have
4 been consistently underproduced for the last six months.

5 Q Okay. When we look at the August sched-
6 ule on Exhibit Number Two --

7 A That is not the August schedule. It's
8 July.

9 Q Well, let's -- we've looked at the July
10 schedule and you've told me that we have seven nonmarginal
11 wells.

12 A Right.

13 Q Three overproduced, four underproduced.

14 A Right.

15 Q When we look at the August exhibit --

16 A We do not have an August exhibit.

17 Q I thought the information that identified
18 the wells was taken from the August '85 proration schedule.

19 A From the July. Both exhibits refer to
20 the July.

21 Q All right. What's the meaning then on
22 Exhibit Number Two of the entry on the top that says August
23 '85 proration schedule?

24 A That's what the -- okay, Exhibit One is
25 the -- I beg your pardon, Exhibit One is the August prora-

1 tion schedule and the status and the -- I did not put the
2 daily production for August on there because I did not have
3 it at that time from the other operators.

4 The proration schedule production that we
5 have is the July production that was actually shown on the
6 September schedule; the production shown for the second
7 prior month.

8 There was no change in the underproduced
9 and overproduced wells with respect to the nonmarginal wells
10 between August and September, they were the same.

11 Q All right, that answers my question.

12 A Yes. Excuse me, with respect to -- yes,
13 that's correct.

14 Q So that portion of the pool allowable
15 that is not being consumed by the marginal wells for the
16 Burton Flats has in the last two months been shared or
17 available for being shared among seven nonmarginal wells,
18 three of which, however, have been overproduced.

19 A That's right, the field has been under-
20 produced with respect to the nominations.

21 Q All right.

22 MR. KELLAHIN: Thank you. I
23 have nothing else.

24 MR. STOGNER: Mr. Padilla?

25 MR. PADILLA: I don't believe I

1 have any further questions.

2

3

CROSS EXAMINATION

4

BY MR. STOGNER:

5

Q

6

Mr. Henry, do you know who the purchaser,
or purchasers, are that take gas out of the Avalon?

7

A

8

9

Yes, sir. We have Cabot Pipeline, Cities
Service Oil Company, El Paso and the Gas Company of New Mex-
ico on some split connections.

10

11

We have El Paso Natural and Natural Gas
Pipeline Company on split connections.

12

13

We have El Paso taking all the connec-
tions from some wells.

14

15

We have El Paso Natural and Llano on
split connections.

16

17

18

19

We have Gas Company of New Mexico.

We have Llano, Incorporated; Monsanto
Company; Natural Gas Pipeline Company of America; Phillips
Petroleum Company; Transwestern Pipeline Company.

20

21

Q

And who are the purchasers in the Burton
Flat Pool?

22

23

A

I'm sorry, I gave you the Burton Flat
Pool.

24

25

Q

Oh.

A

I misunderstood your question.

1 Q Okay. Who is the purchaser, or pur-
2 chasers, of gas from the Avalon Pool?

3 A All of our connections operated by David
4 Fasken are connected to El Paso Natural Gas and I'm not sure
5 about the rest.

6 I do not have a tabulation of the other
7 purchasers in there. There are some other purchasers.

8 Q Off of the Exhibit Number One I have six-
9 teen producing wells in the Avalon Pool, off the Avalon
10 Pool, is that correct?

11 A I'm sorry, I didn't understand which ex-
12 hibit.

13 Q Exhibit Number One.

14 A Yes. I have thirteen wells producing on
15 Exhibit One.

16 Q Okay, of the thirteen producing wells how
17 many does David Fasken operate?

18 A Six.

19 Q And your six wells are all in --

20 A I beg your pardon, I see three more I
21 didn't count. Sixteen wells, right. Sixteen wells in there
22 and I didn't count those in the township to the north, and
23 there are -- we operate, David Fasken operates six of those.

24 Q Okay, and of those six they are all --
25 the gas is being purchased by El Paso Natural Gas.

1 A Yes.

2 Q Okay. Of the four wells that are in the
3 area in question today, and those are all David Fasken
4 wells, is that right, the two in 35 and the two in Section
5 1?

6 A Yes.

7 Q Okay, who is the purchaser?

8 A El Paso.

9 Q Okay, on Exhibit Number Four, which is
10 your shut-in pressure data, the wells that are producing
11 from the Burton Flats Pool, is there any more data for any
12 other wells in the Burton Flat Pool after July of 1983?

13 A No, sir. The records I have indicate
14 that those wells were exempt from shut-in wellhead pressure
15 because of fluid loading and whatever else may have been the
16 case for those wells but they were exempt from wellhead
17 pressure testing.

18 Q Who exempted those, the Director or the
19 Supervisor for the District Office?

20 A I don't know.

21 Q Do you have a letter saying that they are
22 exempt? How do you know they're exempt?

23 A The -- I've got PI, Production Informa-
24 tion statistical report and that was the annotation on
25 those, or that they were exempt from shut-in wellhead pres-

1 sures. They showed the pressures down to this date and I'm
2 relying on PI information in this regard.

3 MR. STOGNER: I have no ques-
4 tions of this witness.

5 Are there any other questions
6 or Mr. Henry?

7 MR. PADILLA: I have one, Mr.
8 Examiner.

9 MR. STOGNER: Mr. Padilla.

10

11

REDIRECT EXAMINATION

12 BY MR. PADILLA:

13 Q Mr. Henry, during the three month period
14 of high market demand which you've testified to earlier, did
15 El Paso ask you to take gas from Section 35 and Section 1?

16 A Yes.

17 Q Were you overproduced at that time?

18 A Yes, we were overproduced with respect to
19 the Gulf Federal No. 1 only.

20

21 MR. STOGNER: Are there any
22 other questions of Mr. Henry?

23

If not, he may be excused.

24

25 Are there any closing state-
ments?

26

MR. KELLAHIN: Mr. Examiner,

1 we'd like you to take administrative notice of the prior
2 case that you heard by Mr. Faskens. It was in Case 8463
3 heard on January 30th, 1985. It's the same wells and the
4 same general subject matter as the hearing today. There is
5 some information in that transcript that I think is impor-
6 tant for a decision in this case and we'd like you to take
7 administrative of that transcript and exhibits.

8 MR. STOGNER: Mr. Padilla, any
9 objections?

10 MR. PADILLA: We don't have any
11 objections.

12 MR. STOGNER: We will take ad-
13 ministrative notice of that's case 8463, Mr. Kellahin?

14 MR KELLAHIN: 8463, yes, sir.

15 MR. STOGNER: Is that every-
16 thing you have, Mr. Kellahin?

17 MR. KELLAHIN: I have a closing
18 statement, if the Examiner desires.

19 MR. STOGNER: Okay, we're ready
20 for closing statements.

21 Mr. Kellahin, you may go first;
22 Mr. Padilla, you may follow:

23 MR. KELLAHIN: Mr. Examiner,
24 this is a continuation of Mr. Fasken's efforts to avoid the
25 consequence of having his Fasken Gulf No. 1 Well overpro-

1 duced in the Burton Flats.

2 His first efforts in January
3 were to simply terminate prorationing in Burton Flats. That
4 resulted in an adverse order to his position, which is on a
5 de novo docket, which I believe is continued now until Octo-
6 ber.

7 Another alternative Mr. Fasken
8 has selected in order to resolve his difficulties with this
9 well is now to delete acreage. My client has no objection
10 to the deletion of the acreage from the Burton Flats so long
11 as the overproduction that's assigned to this well has been
12 repaid to the Burton Flats Pool.

13 I notice in Mr. Padilla's ap-
14 plication, as well as the docket for this case, that nothing
15 until we got to the hearing identified and told us that Mr.
16 Faskens would in fact seek total cancellation of the over-
17 production.

18 Be that as it may, that is the
19 portion of his testimony today through Mr. Henry that con-
20 cerns us greatly.

21 As you can see from the evi-
22 dence that Mr. Henry has provided today, that there are
23 seven prorated wells in this pool that are nonmarginal and
24 you can see the significant of each of those wells to each
25 other in producing what is left of the allowable assigned to

1 the pool after all these marginal wells take their cut. The
2 point is that over the months that the Gulf Well acquired or
3 produced production that resulted in the overproduced sta-
4 tus, that is a share of the pool gas that would otherwise
5 have been allocated among the other nonmarginal wells, three
6 of which belong to Cities Service.

7 Mr. Henry saying that the can-
8 cellation of the overproduction would not affect correlative
9 rights is not, in my opinion, absolutely correct, because if
10 this overproduction is forgiven, it is production that would
11 have otherwise been shared with the nonmarginal wells, in-
12 cluding Cities Services' well, and that's what concerns my
13 client, is to simply walk away and let him have this well
14 and acreage reassigned to the Avalon Pool without repaying
15 the production is of concern to us. We think that's a bad
16 practice.

17 If it was done for Exxon, I
18 think that's erroneous; it slipped through under the nomen-
19 clature docket and if that, in fact, is what has occurred,
20 we will take action on behalf of our company to have that
21 well brought to hearing to account for the cancellation of
22 their overproduction.

23 For Mr. Faskens to say simply
24 because Exxon ran the stop sign and didn't get caught, now I
25 can run the same stop sign and it's okay for me, I beg to

1 differ, I think that's wrong.

2 Prorationing in New Mexico is
3 very important. It's probably the most important single
4 thing you do as a regulator, to make sure that pools are
5 produced in a way that shares that production in a fair
6 means.

7 We think that to allow the
8 overproduced well to escape prorationing simply by taking it
9 out of the pool without requiring it to balance with the
10 pool affects our correlative rights adversely, and should
11 the Division then enter an order doing that, we would like
12 you to require the well to be placed in balance before it's
13 allowed to leave the pool.

14 MR. STOGNER: Mr. Padilla?

15 MR. PADILLA: Mr. Examiner, in
16 the earlier hearing in Case 8463 we presented testimony and
17 that has been taken under consideration by Mr. Kellahin's
18 request by administrative notice. At that time we presented
19 testimony that the nonmarginal wells in the Burton Flat Pool
20 were better than other wells and that basically the reason
21 they were better was because they were in better parts of
22 the reservoir.

23 There has never been any testi-
24 mony regarding, or evidence, regarding any hearing regarding
25 the Burton Flats Pool that this is a homogeneous reservoir.

1 Mr. Kellahin's argument assumes
2 that we have a homogenous reservoir and that's simply not
3 the case. We showed today that we have no pressure communi-
4 cation between the wells along the, what I would call a new
5 border, in Sections 26, Sections 36, and Section 6, and the
6 wells down to the south of the pink areas delineated by the
7 Fasken properties. Those wells simply are not in pressure
8 communication. The wells that Mr. Fasken operates in the
9 Avalon Pool in Section 35 and Section 1 are simply better.

10 The definition of correlative
11 rights means that a person or producer ought to have the op-
12 portunity to obtain his just and fair and equitable share of
13 production. That's simply all that Mr. Fasken is trying to
14 do in this case.

15 The fact is that we have higher
16 pressures in Section 35 and Section 1 and there really is no
17 comparison between those wells and the wells adjoining in
18 the Burton Flat Pool to the east.

19 So to say that, any I'm not
20 trying to throw in Exxon at this point, that got in there or
21 not, it's almost irrelevant to the case that we have pre-
22 sented today, but we have had a precedent established by the
23 deletion of that acreage out of the Burton Flat Pool.

24 Simply stated, we ahve a dif-
25 ferent reservoir and it should be given that recognition.

1

Thank you.

2

MR. STOGNER: Thank you, Mr.

3

Padilla.

4

Is there anything further in

5

Case Number 8684 today?

6

If not, this case will be taken

7

under advisement.

8

9

(Hearing concluded.)

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY
CERTIFY that the foregoing Transcript of Hearing before the
Oil Conservation Division (Commission) was reported by me;
that the said transcript is a full, true, and correct record
of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 8684,
heard by me on 25 Sept. 19 85.

Michael P. Stogner, Examiner
Oil Conservation Division

STATE OF NEW MEXICO
ENERGY AND MINERALS DEPARTMENT
OIL CONSERVATION DIVISION
STATE LAND OFFICE BLDG.
SANTA FE, NEW MEXICO

11 September 1985

EXAMINER HEARING

IN THE MATTER OF:

Application of David Fasken for CASE
pool extensions and contractions, 8684
Eddy County, New Mexico.

BEFORE: Gilbert P. Quintana, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Division: Jeff Taylor
 Attorney at Law
 Legal Counsel to the Division
 State Land Office Bldg.
 Santa Fe, New Mexico 87501

For the Applicant:

1

2

MR. QUINTANA: We'll call next

3

Case 8684, which is the case or the application of David

4

Fasken for pool extensions and contractions, Eddy County,

5

New Mexico.

6

The applicant has asked that

7

this case be continued to September 25th, 1985.

8

Case 8684 will be so continued.

9

10

(Hearing concluded.)

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY
CERTIFY that the foregoing Transcript of Hearing before the
Oil Conservation Division (Commission) was reported by me;
that the said transcript is a full, true, and correct record
of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 8684
heard by me on SEPT. 11 19 85.

Siobhan P. Quintana Examiner
Oil Conservation Division