

STATE OF NEW MEXICO  
ENERGY AND MINERALS DEPARTMENT  
OIL CONSERVATION DIVISION  
STATE LAND OFFICE BLDG.  
SANTA FE, NEW MEXICO

28 August 1985

EXAMINER HEARING

IN THE MATTER OF:

Application of Rio Pecos Corporation      CASE  
for an unorthodox gas well location,      8687  
Lea County, New Mexico.

BEFORE: Michael E. Stogner, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Division:      Jeff Taylor  
Attorney at Law  
Legal Counsel to the Division  
State Land Office Bldg.  
Santa Fe, New Mexico 87501

For Rio Pecos Corp.:      W. Thomas Kellahin  
Attorney at Law  
KELLAHIN & KELLAHIN  
P. O. Box 2265  
Santa Fe, New Mexico 87501

## I N D E X

## TODD WILSON

Direct Examination by Mr. Kellahin	3
Cross Examination by Mr. Stogner	12

## E X H I B I T S

Rio Pecos Exhibit One, Plat	11
Rio Pecos Exhibit Two, Structure Map	6
Rio Pecos Exhibit Three, Cross Section	9

1  
2 MR. STOGNER: Call next Case  
3 Number 8687.

4 MR. TAYLOR: The application of  
5 Rio Pecos Corporation for an unorthodox gas well location,  
6 Lea County, New Mexico.

7 MR. KELLAHIN: If the Examiner  
8 please, I am Tom Kellahin of Santa Fe, New Mexico, appearing  
9 on behalf of the applicant and I have one witness.

10 MR. STOGNER: Are there any  
11 other appearances?

12 Will the witness please stand  
13 and be sworn?

14  
15 (Witness sworn.)  
16

17 TODD WILSON,  
18 being called as a witness and being duly sworn upon his  
19 oath, testified as follows, to-wit:  
20

21 DIRECT EXAMINATION

22 BY MR. KELLAHIN:

23 Q For the record, Mr. Wilson, would you  
24 please state your name?

25 A Todd Wilson.

1           Q           Mr. Wilson, have you previously testified  
2 before the Division?

3           A           Yes, I have.

4           Q           And you have previously testified as a  
5 petroleum geologist?

6           A           Yes.

7           Q           Pursuant to your employment by Rio Pecos  
8 Corporation, Mr. Wilson, have you made a study of the geol-  
9 ogy surrounding this application?

10          A           Yes.

11          Q           And pursuant to that study have you pre-  
12 pared certain exhibits?

13          A           Yes, I have.

14                           MR. KELLAHIN: If the Examiner  
15 please, we tender Mr. Wilson as an expert petroleum geolo-  
16 gist.

17                           MR. STOGNER: Mr. Wilson is so  
18 qualified.

19          Q           Mr. Wilson, let me first of all direct  
20 your attention, sir, to the ownership plat of the surface  
21 for this are and have you take a moment and orient us as to,  
22 first of all, the proposed spacing and proration unit in  
23 Section 34.

24          A           Okay. This proposed proration unit would  
25 be the north half of Section 34, a request to drill 660 from

1 the north and west lines. This is in Lea County, New Mexi-  
2 co, Township 16 South, Range 34 East.

3 Q The principal or targeted objective is  
4 what formation?

5 A The Atoka.

6 Q What is Rio Pecos' interest in the prora-  
7 tion unit in the north half of Section 34?

8 A We have acquired farmouts from Mobil Oil  
9 Corporation to drill an Atoka Morrow test.

10 Q Using this ownership plat, would you  
11 identify for us the offsetting operators. First of all,  
12 starting with Section 27 to the north, identify for us who  
13 operates that property.

14 A Elk Oil out of Roswell, New Mexico, oper-  
15 ates the two producing wells in Section 27.

16 Q And as we move over into Section 28, who  
17 operated the east half of Section 28?

18 A Shell Oil Company.

19 Q Is there currently a well on the east  
20 half of 28 that produces from this formation?

21 A No.

22 Q When we do to the west in Section 33, who  
23 operates that property?

24 A Mobil.

25 Q All right, and are there wells to this

1 formation in Section 33?

2 A No. No producing wells.

3 Q All right. Let's turn now, Mr. Wilson,  
4 to the specifics of the geology. Let me direct your atten-  
5 tion to what has been marked as Exhibit Number Two.

6 Before you explain the exhibit, would you  
7 take a minute and simply identify the exhibit for us and  
8 tell Mr. Stogner what it is that you have prepared?

9 A Okay. This is a structure map on top of  
10 the Anderson Cycle and superimposed on it is the trend of  
11 Atoka Channel system.

12 Q Why have you mapped the structure on top  
13 of this top Anderson Cycle?

14 A The structure is the key feature that  
15 will tell us where to drill to maintain a position above po-  
16 tential water.

17 Q In evaluating the geology for this pros-  
18 pect, Mr. Wilson, would you identify for us the color code  
19 used to indicate the type of production that's shown on the  
20 plat?

21 A Okay. The red well spots indicate Atoka  
22 gas production. The green well spots indicate the Morrow  
23 gas production. And that's all that's indicated on this  
24 map.

25 Q Looking specifically to Section 34, would

1 you identify for us, using this structure map as the basis,  
2 why you have recommended an unorthodox location 660 out of  
3 the north and west lines as opposed to the closest standard  
4 location for such a proration unit?

5 A We've requested to drill the unorthodox  
6 location to maintain the maximum structural picture that's  
7 available in the area. There's some fear that if we move to  
8 a standard location the early water encroachment in this  
9 Atoka Channel system, and also as you move to the southeast,  
10 the sands apparently get tight and this will be covered on a  
11 cross section later.

12 Q Using the structure map, can you give us  
13 an example of your opinion with regards to the eastern  
14 boundary of potential production in Section 34? How have  
15 you controlled, or what information have you used to control  
16 the eastern boundary for the area that's shaded in the  
17 orange?

18 A Well, basically it's the well in Section  
19 26, which is attained an Atoka sand but it was tight in na-  
20 ture.

21 Q That is the well on the cross section?

22 A On the cross section.

23 Q All right. Are there any other control  
24 points that you have used to attempt to locate that eastern  
25 boundary?

1           A           No, sir.

2           Q           When we look at the marker for the  
3 water/gas contact as it appears in the south end of Section  
4 33 and 34, would you describe what information you have used  
5 to determine that?

6           A           Okay. The information gained on that was  
7 from the well drilled in Section 23 that's colored in green,  
8 producing out of the Morrow formation, and they have an Atoka  
9 sand in that well, according to log calculations --

10          Q           I'm sorry, you said 23.

11          A           In Section 23. They have an Atoka sand  
12 in that well which, according to log calculations, is wet.

13          Q           All right, you're looking at the  
14 water/gas contact up into the north side of this finger.

15          A           Yeah.

16          Q           All right.

17          A           On the south side of the finger I've just  
18 projected the gas/water contact at the equivalent structural  
19 position across this nose.

20          Q           Okay. Would you now go into Section 27  
21 and describe for us the type of wells that were drilled in  
22 that section and the significance of that drilling and the  
23 information in terms of picking a location in Section 34?

24          A           Okay. Elk Oil drilled two wells in Sec-  
25 tion 27, both of them productive in the Atoka Channel sys-



1 tem. I feel that this system is probably a multi-lateral  
2 system composed of numerous channels.

3 The control that we gained from that bas-  
4 ically is an apparent trend, if you line those two wells up,  
5 with the channel system trending northeast/southwest. This  
6 trend is also confirmed by a well in Section 23 which has a  
7 water-bearing Atoka channel.

8 Q Would you go now to the cross section,  
9 Mr. Wilson, and lead us through your analysis of that cross  
10 section from either A or A', whichever direction you'd like  
11 to go?

12 A Okay. Starting on A, which is the south,  
13 to A', which would be on the northern end of it, basically  
14 the first well does not contain the Atoka Channel that is  
15 equivalent to a system that we're looking for; therefore,  
16 that helps define the northwest limit for this system.

17 When you go into the two wells that Elk  
18 Oil is producing and operating, they have penetrated the  
19 Atoka Channel sands for approximately 39 to 43 feet thick  
20 each.

21 And then continuing on further northward  
22 the well in 23 penetrated another Atoka Channel sand that  
23 has a gas/water contact in it.

24 Then you drop off due south in Section 26  
25 and pick up an Atoka Channel sand that is tight.

1                   So basically the cross section is to dis-  
2 play the trend of the channel system and the apparent boun-  
3 daries to this system.

4                   Q           On Exhibit Number Two you have identified  
5 the gross thickness for the Atoka sand adjacent to each of  
6 the wells?

7                   A           Yes, that's in the hexagonal figures  
8 colored purple.

9                   Q           How does the thickness of the gross in-  
10 terval relate to the productivity of the wells? Is there  
11 any relation between the quality of the well and thickness  
12 in this specific area?

13                  A           The thicker the sand reservoir, obviously  
14 the more potential reserves you have.

15                  Q           The difference between 33 and 43 feet, is  
16 that significant for you as a geologist?

17                  A           Yes, it's significant to the point that  
18 it indicates there are probably multi-lateral channels in  
19 this. Most channels in the Atoka system in this part of Lea  
20 County from my experiences appear to have similar or very  
21 close relationships to thickness.

22                  Q           In picking a location for the north half  
23 of Section 34, what, in your opinion, is the optimum loca-  
24 tion at which to attempt to produce from these formations in  
25 this section?

1           A           The location we desire to drill, 660 from  
2 the north and west lines of Section 34.

3           Q           In conclusion, then, Mr. Wilson, can you  
4 describe for us again what occurs geologically as you move  
5 from the proposed location to the south and to the east to-  
6 wards a more standard location?

7           A           As you move to the south and the east to-  
8 wards a more standard location, there is a higher risk of  
9 earlier water encroachment into the productive reservoir and  
10 also a higher risk of obtaining tighter sands that would not  
11 have the productive quality we desire to obtain.

12          Q           Were Exhibits One -- Exhibit One is a  
13 land plat.

14                      Were Exhibits Two and Three prepared by  
15 you or compiled under your direction and supervision?

16          A           Yes.

17                      MR. KELLAHIN: That concludes  
18 my examination of Mr. Wilson.

19                      We move the introduction of Ex-  
20 hibits One, Two, and Three.

21                      MR. STOGNER: Exhibits One,  
22 Two, and Three will be admitted into evidence.

23

24

25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

CROSS EXAMINATION

BY MR. STOGNER:

Q Just to clarify something.

The application stated that you were going to test the Morrow formation and now you're going to test the Atoka formation, is that right?

A Yes. The Atoka is the principal objective; the Morrow is the secondary objective. We feel that to drill this deep to the Atoka, it's worthwhile to continue on to the Morrow.

Q Okay. Is the Atoka or the Morrow formations in this area, are they designated to the pool?

A No, sir.

Q Okay, the two Elk well, are they -- then they're carried as undesignated Atoka wells?

A Well, let me clarify that, please. One Elk well is listed in the North-- let me see, south -- it's Kenmitz Atoka Morrow.

Q I'm sorry, the what?

A One of the Elk wells is in the Kenmitz Atoka-Morrow Field and the other Elk well for some reason is undesignated.

Q Thank you.

MR. STOGNER: I have no further

1 questions of Mr. Wilson.

2 Is there anything further in  
3 Case Number 8687?

4 If not, this case will be taken  
5 under advisement.

6

7 (Hearing concluded.)

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

## C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY  
CERTIFY that the foregoing Transcript of Hearing before the  
Oil Conservation Division (Commission) was reported by me;  
that the said transcript is a full, true, and correct record  
of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is  
a correct report of the proceedings in  
the Examining hearing of Case No. 8687.  
heard by me on 28 August 1985.  
Michael Stogner, Examiner  
Oil Conservation Division