

A P P E A R A N C E S

For Mr. Burleson, et al: W. Thomas Kellahin
 Attorney at Law
 KELLAHIN & KELLAHIN
 P. O. Box 2265
 Santa Fe, New Mexico 87501

I N D E X

WILLIAM P. AYCOCK

Direct Examination by Mr. Carr 4

E X H I B I T S

Hartman Exhibit One, Plat 7
Hartman Exhibit Two, Two pages & plats 17
Hartman Exhibit Three, Structure Map 18

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. STOGNER: The hearing will
come to order.

Call next Case Number 8690.

MR. TAYLOR: The application of
Doyle Hartman for a nonstandard proration unit, two unortho-
dox locations, and simultaneous dedication, Lea County, New
Mexico.

MR. CARR: May it please the
Examiner, my name is William F. Carr with the law firm Camp-
bell and Black, P. A., of Santa Fe, appearing on behalf of
Mr. Hartman.

I have one witness who needs to
be sworn.

MR. STOGNER: Call for addi-
tional appearances?

MR. KELLAHIN: If the Examiner
please, I'm Tom Kellahin of Santa Fe, New Mexico, appearing
on behalf of Lewis B. Burleson, Jack Huff, Burleson & Huff,
Lewis B. Burleson, Inc., and I have one witness.

MR. STOGNER: Will all witnes-
ses stand and be sworn at this time.

(Witnesses sworn.)

1 MR. STOGNER: Mr. Carr, please
2 continue.

3
4 WILLIAM P. AYCOCK,
5 being called as a witness and being duly sworn upon his
6 oath, testified as follows, to-wit:

7
8 DIRECT EXAMINATION

9 BY MR. CARR:

10 Q Will you state your full name and place
11 of residence?

12 A William P. Aycock, Midland, Texas.

13 Q And by whom are you employed and in what
14 capacity?

15 A By Doyle Hartman as a consultant in con-
16 nection with the application docketed on Docket No. 26-85 as
17 Case 8690.

18 Q Mr. Aycock, have you previously testified
19 before this case -- before this Division and had your cre-
20 dentials accepted and made a matter of record?

21 A I have.

22 Q And how were you qualified at that time?

23 A As a petroleum engineer.

24 Q Are you familiar with the application
25 filed in this case on behalf of Mr. Hartman?

1 A I am.

2 Q Are you familiar with the subject area?

3 A Yes, I am.

4 MR. CARR: Are the witness'
5 qualifications acceptable?

6 MR. STOGNER: Are there any --
7 Mr. Kellahin?

8 MR. KELLAHIN: No. We recog-
9 nize Mr. Aycock as an expert petroleum engineer.

10 MR. STOGNER: Mr. Aycock is so
11 qualified.

12 Q Mr. Aycock, will you briefly state what
13 Mr. Hartman seeks with this application?

14 A Mr. Hartman seeks a finding that the
15 drilling of two wells to be located at unorthodox well loca-
16 tions, the first of which is to be at least 1325 feet from
17 the south line but not more than 1650 feet from the south
18 line, and at least 660 feet from the west line but not more
19 than 850 feet from the west line of Section 22, Township 25
20 South, Range 37 east, and the second of which is to be at
21 least 250 feet from the north line but not more than 990
22 feet from the -- wait a minute, I've lost my place -- and at
23 least 660 feet from the west line but not more than 1980
24 feet from the -- we've got two "wests" in here.

25 Okay, it's 660 feet from the west is at

1 least --

2 MR. STOGNER: Isn't that right,
3 660 feet from the west line but not more than 1980 feet from
4 the west line?

5 MR. CARR: That's correct.

6 A Okay, I beg your pardon, that's right.

7 MR. STOGNER: That's what I un-
8 derstood.

9 A From the west line of Section 27, all in
10 Township 25 South, Range 37 East, in the Jalmat Gas Pool and
11 in the Langlie Mattix Pool and a finding that the -- at
12 least one well with an optional second well in the second
13 window, the second window, is necessary to effectively and
14 efficiently drain that portion of the 240-acre nonstandard
15 gas proration unit in the Jalmat Pool only, comprising the
16 west half southwest quarter of Section 22 and the northwest
17 quarter of Section 27, Township 25 South, Range 37 East,
18 which cannot be so drained by the existing Jalmat wells.

19 Mr. Hartman further seeks approval of
20 simultaneous dedication of the said 240-acre nonstandard
21 Jalmat proration unit to the subject wells, of which there
22 will be at least three and perhaps four as our testimony
23 will explain later, and the currently producing Carlson Har-
24 rison Federal Gas Coms Nos. 1, 2, and 3.

25 Q Mr. Aycock, would you refer to what has

1 been marked for identification as Hartman Exhibit Number
2 One, identify this, and review what it shows with Mr. Stog-
3 ner?

4 A Hartman Exhibit Number One is a Jalmat
5 gas ownership map of all of the proration units that are in
6 the -- Jalmat proration units that are in the vicinity of
7 the proposed 240-acre nonstandard proration unit, all in
8 Township 25 South, Range 37 East.

9 Shown are one, two, three, four, five,
10 six, seven, eight, nine, ten proration units with the des-
11 cription of the proration unit, the operator of the prora-
12 tion unit, the wells located thereon with the actual well
13 location, the 1985 average production through April of 1985,
14 and a cumulative gas production as of May 1st, 1985.

15 Q Would you review the ownership of the
16 tracts which are depicted by the colored outlines on Exhibit
17 Number One?

18 A Starting at the north end and going in a
19 clockwise direction, the first would be the blue proration
20 unit operated by Lewis B. Burleson, Inc., and ARCO Federal
21 Lease, a 160-acre lease which is comprised of the east half
22 of the northeast quarter of Section 21 and the west half of
23 the northwest quarter of Section 22, all in 25 South, 37
24 East. That contains one well, the ARCO Federal Y-2 located
25 1770 feet from the north line and 660 feet from the east

1 line in Unit H.

2 The average 1985 production was 54 -- has
3 been 54 MCF per month and as of May 1st, 1985, the cumula-
4 tive was 14.7 MMCF.

5 Proceeding in a clockwise direction, the
6 80-acre proration unit comprising the east half/northwest
7 quarter of Section 22, Townshp 25 South, Range 37 East, is
8 the Burleson and Huff Stuart Lease on which is located the
9 Burleson and Huff Stuart No. 2 Well, located 660 feet from
10 the north and 2310 feet from the west line in Unit C.

11 The last Jalmat production in the records
12 of the State of New Mexico was in May of 1974. The cumula-
13 tive Jalmat production at that time was 1,439 MMCF.

14 Proceeding in a -- further in a clockwise
15 direction, we next come to the lease that's the subject of
16 this application, and as we will explain, we have a 320-acre
17 lease with 400 acres dedicated as of the present time.

18 The 320-acre lease is composed of the
19 south half of Section 22, 25 South, 37 East, which was
20 originally operated by El Paso Natural Gas Company and was
21 farmed out to Doyle Hartman along with approximately 1000
22 other acres located at various points throughout the Jalmat
23 trend.

24 This well has -- this has one well on it,
25 the -- originally had one well on it, the Doyle Hartman

1 Carlson-Federal 1, located 1980 feet from the south line and
2 660 feet from the west line in Unit L.

3 This well in 1985 through April has aver-
4 aged 86 MCF per month and as of May 1st, 1985, has produced
5 a cumulative of 4,618 MMCF.

6 Q Mr. Aycock, is that the well on Exhibit
7 Number One which has the number 3-A beside it?

8 A Correct. Also, located on the -- located
9 at a location of 650 feet from the south line and 660 feet
10 from the east line -- west line, I beg your pardon, in Unit
11 L, is the now being completed Doyle Hartman Carlson Federal
12 No. 2 Well.

13 Q Now, Mr. Aycock, that well is currently
14 being drilled.

15 A Yes, sir, it was -- I do not have the
16 spud date but casing has been set and a number of repeat
17 formation tests have been made in both the Jalmat and Lang-
18 lie Mattix intervals, and it's Mr. Hartman's intention to
19 attempt a Langlie Mattix completion initially on this well.

20 Q And that well is drilled at the northwest
21 corner of the --

22 A Of the window, of the northern window.

23 Q -- red box that's depicted on Exhibit
24 Number One.

25 A Correct. The window that's in the west

1 half, the southwest quarter of Section 22.

2 Proceeding -- also within that 320-acre
3 tract is the 80-acres that comprises the east half southwest
4 quarter of Section 22, 25 South, 37 East, containing a
5 Jalmat well which was drilled by M. R. Antweil, called the
6 Terra Federal 2. This well is located 990 feet from the
7 south line and 2310 feet from the west line in Unit N.

8 When Mr. Antweil drilled this well his --
9 his intention was, or the understanding was that El Paso
10 would submit a revised plat, a revised C-102 for this well,
11 deleting the 80 acres comprising the east half southwest
12 quarter of 22 that's assigned to the Antweil Terra Well;
13 however, El Paso failed to do so and as a result there --
14 until recently, the Commission may have corrected it on the
15 last month's proration schedule, but until that time there
16 were 400 acres dedicated on here. In other words, 320 acres
17 were dedicated to the Carlson Federal No. 1 Well and 80
18 acres were dedicated to the Antweil Terra Federal 2, so on a
19 320-acre tract we had 320 acres dedicated to one well and 80
20 to another for a total of 400 acres dedicated.

21 MR. CARR: Mr. Examiner, I
22 would request that you just take administrative note of
23 Order R-766, which is the approval of the south half unit
24 for El Paso dated April 3rd, 1956. That's Order R-766.

25 And also NSP 1297, which is Mr.

1 Antweil's approval of the 80-acre tract that is dated March
2 1, 1982.

3 MR. STOGNER: I will take ad-
4 ministrative notice of those two orders.

5 A Proceeding in a clockwise fashion, pros-
6 pectively to be included in the requested 240-acre nonstand-
7 ard proration unit, and indicated in both light blue and
8 yellow, is the Doyle Hartman, formerly Alpha 21 Production
9 Company Harrison Federal Lease.

10 Located on this lease in the -- is the
11 Harrison Federal No. 2 at 660 feet from the north line and
12 660 feet from the west line in Unit D. This well had a 1985
13 average production through the month of April of 139 MCF per
14 month and as of May 1st, 1985 the cumulative production was
15 2,097 MMCF.

16 The Harrison Federal 3, located 1980 feet
17 from the north line and 660 feet from the west line in Unit
18 D was last produced from the Jalmat in November of 1983 and
19 at that time the cumulative production was 63.6 MMCF.

20 Q Now, Mr. Aycock, is that last well the
21 well that's located in Unit E on Exhibit One?

22 A E, I beg your pardon, it's an E. That's
23 correct. The other one was a D, I'm sorry.

24 Q And when was that well last produced?

25 A The well was last produced in November of

1 1983.

2 Q And at what rates was it producing?

3 A I'll have to look it up. I can't tell
4 you from this figure. On --

5 Q Mr. Aycock, could that be 41 MCF per day?

6 A It probably is but I don't remember right
7 off the top of my head, frankly.

8 We have it on a subsequent exhibit.

9 Q All right.

10 A On March 5th, 1985, a Form 9-331 was ap-
11 proved for this well for temporary abandonment for the per-
12 iod ending March 1st, 1986.

13 Mr. Hartman has subsequently acquired the
14 lease. As is shown on the 9-331, the well was TA'd because
15 of a large volume of water that was produced and the fact
16 that they were having to haul water, making it uneconomical
17 to operate for Alpha 21. They removed the tubing from the
18 well the surface equipment was removed from the well prior
19 to the time that it was sold to Mr. Hartman.

20 It is Mr. Hartman's intention and it is
21 currently being evaluated for return to production and if it
22 can be returned for production economically, it will be done
23 so at a very near time.

24 Q Would you now go to the spacing unit
25 which is outlined in orange directly south?

1 A The next one I have is in pink proceeding
2 in the clockwise direction.

3 Q Let's go --

4 A Which is the Doyle Hartman Santa Fe Fed-
5 eral Lease. The well is -- there's one well on it that's
6 located 660 feet from the south and 660 feet from the west
7 line in Unit M.

8 The 120-acre proration unit assigned to
9 it is composed of the southwest quarter southwest quarter
10 and east half southwest quarter of Section 27, all in 25
11 South, 37 East.

12 1985 average production is 346 MCF per
13 month and as of May 1st, 1985, the cumulative production is
14 59.3 MMCF.

15 Proceeding further in a clockwise
16 direction the next 40-acre lease is outlined in orange. It
17 is the El Paso Natural Gas Company Harrison lease. It is
18 composed of the northwest quarter southwest quarter of
19 Section 27, 25 South, 37 East.

20 The well is located 1980 from the south
21 line and 660 feet from the west line in Unit L.

22 The 1985 average production has been 497
23 MCF per month and as of May 1st, 1985, the cumulative
24 production is 989 MMCF.

25 Proceeding further in a clockwise

1 direction the next lease is outlined in dark green. It's
2 the Lewis B. Burleson Inc. Cook Lease.

3 It's comprised of the southeast quarter
4 of Section 28, 25 South, 37 East. Located thereon is the
5 Cook No. 1 at a well location of 660 feet from the south
6 line and 1980 feet from the east line in Unit O.

7 The 1985 average production for the first
8 four months has been 2518 MCF per month and as of May 1st,
9 1985, the cumulative production is 688 MCF per month.

10 Also located on 160-acre tract is the
11 Burleson Cook No. 2 Well, located 660 feet from the south
12 line and 660 feet from the east line in Unit P. This well
13 was last produced from the Jalmat in August of 1980. As of
14 that time the cumulative production was 592 MCF.

15 Proceeding further in a clockwise
16 direction we come to the C. J. Lanehart Lease, which is now
17 operated by Texaco; previous to that was operated by Getty;
18 and previous to that was operated by Reserve Oil Company.

19 It's comprised of 160-acre lease, being
20 the northeast quarter of Section 28, Township 25 South,
21 Range 37 East. There's one well located on it, the Lanehart
22 1. It was last produced from the Jalmat in September of
23 1958. At that time the cumulative production was 550 MMCF.
24 The location of the well is in Unit B at 825 feet from the
25 north line and 1980 feet from the east line.

1 Proceeding further in a clockwise direc-
2 tion, the next lease is outlined in orange. It is a 120-
3 acre lease operated by L. B. Burleson, Inc. It is the Had-
4 field Lease comprised of the east half southeast quarter and
5 southwest quarter southeast quarter in Section 21, Township
6 25 South, Range 37 East.

7 The Hadfield No. 1 is located 660 feet
8 from the south line and 1980 feet from the east line in Unit
9 O.

10 The 1985 average production for January
11 through April has been 565 MCF per month and as of May 1st,
12 1985, the cumulative production has been 3,099 MMCF. Accor-
13 ding to the records of the New Mexico Oil Conservation Divi-
14 sion and the Hobbs District Office, this well was reworked
15 in May of 1985.

16 The Hadfield No. 2 Well is located 660
17 feet from the south line and 660 feet from the east line in
18 Unit P and in 1985 the average production was 1694 MCF per
19 month; that is for the months of January through April.

20 As of June 1st, 1985, the cumulative pro-
21 duction was 90.4 MMCF.

22 According to the records of the Commis-
23 sion this well was shut-in for approximately three years.

24 Q Now, Mr. Aycock, directing your attention
25 to the proposed proration unit, how many wells does Mr.

1 Hartman propose to have producing from that unit?

2 A Well, either three or four, depending
3 upon whether the Alpha 21 Production Company Harrison No. 3,
4 located in Unit E can be economically returned to production
5 or not, and also, depending upon whether the option well to
6 be located in the southern window is necessary to efficient-
7 ly and effectively drain the lease.

8 So if we have the Carlson No. 1 producing
9 now, the Carlson No. -- I mean, pardon me, and the Harrison
10 No. 2 producing now, and he completes the existing Carlson
11 No. 2 Well in the Jalmat, then we would have three wells.

12 If in addition to that the Harrison No. 3
13 Well is returned to production, we would have four.

14 If in addition to that a second well on
15 the lease to be located in the -- optional well, to be lo-
16 cated in the southern window were drilled and completed,
17 that would make five.

18 Q All wells that are presently in existence
19 or currently being drilled are located 660 from the west
20 line of that proration unit, is that correct?

21 A That's correct.

22 Q When was the problem with the Antweil
23 tract discovered?

24 A The problem was discovered during the ap-
25 proval of title for the Carlson No. 2, which has just been

1 -- is now being completed and has just been drilled.

2 When Mr. Hartman discovered that there
3 had been a dual dedication of the 80 acres comprised of the
4 east half southwest quarter of Section 22 to both the 320-
5 acre Jalmat proration unit composed of the south half of 22,
6 and the Antweil proration unit composed of the east half
7 southwest quarter of Section 22.

8 Q Mr. Aycock, could Mr. Hartman drill a
9 well in the southwest quarter of the southwest quarter of
10 Section 22?

11 A Not and have the gas taken by El Paso
12 Natural Gas Company, to whom it's contracted.

13 Q Is that --

14 A The reason for this is that El Paso's in-
15 terpretation, or the way they are currently handling it is
16 if any portion of a gas proration unit is contracted, they
17 will take the gas therefrom only if the specific 40 acres
18 upon which the well is drilled is actually contracted, and
19 in this case the southwest quarter of the southwest quarter
20 is not contracted; therefore if he drilled a well on it,
21 he'd be up at the Commission trying to force El Paso to take
22 the gas from him.

23 Q Would you now go to Hartman Exhibit Num-
24 ber Two and identify this, please?

25 A Exhibit Number Two are two pages --

1 Q Just a minute. Would you wait till Mr.
2 Kellahin calms down and we can go forward with your testi-
3 mony?

4 MR. KELLAHIN: I'm having a lot
5 of trouble with this.

6 Q Would you now go to Exhibit Number Two,
7 please?

8 A Exhibit Number Two is composed of two
9 pages from the July, 1985, Southeast New Mexico Gas Prora-
10 tion Schedule and two copies of the dedication plats for the
11 El Paso -- former El Paso, currently Hartman, Carlson No. 1
12 and the Antweil Terra 2, and this documents the fact that
13 the entire acreage, that there are 400 acres that were ori-
14 ginally dedicated out of a 320-acre tract and it was in-
15 cluded on the Commission's records this way until August.
16 Mr. Nutter went to see Harold Garcia about it and we think
17 Harold's probably got it changed but at this time it was as
18 shown here. This is the way it was carried on the Commis-
19 sion's records.

20 MR. NUTTER: For the record,
21 they're still waiting for Hobbs to correct it.

22 MR. CARR: Okay.

23 Q Would you now go to Exhibit Number Three
24 and review that, please?

25 A Exhibit Number Three is a Yates structure

1 map of the same area included in Exhibit Number One, and ad-
2 ditionally shown on there are the two windows that have been
3 described in the application and were previously mentioned,
4 as well as the traces of two cross sections located, one in
5 basically the north/south direction and one basically in the
6 east/west direction.

7 We would call the Examiner's particular
8 attention to the note in the lower lefthand corner that I
9 would like to read into the record.

10 Quote. The proposed 240-acre proration
11 unit for the Carlson-Harrison Federal Com No. 4 is to be
12 composed of 80 acres, west half southwest quarter of 22, out
13 of the 320-acre proration unit consisting of the south half
14 of Section 22 presently dedicated to the Carlson Federal No.
15 1, and the 160-acre proration unit northwest quarter of Sec-
16 tion 27, presently simultaneously dedicated to the Harrison
17 No. 2 and Harrison No. 3.

18 This proration unit change is being made
19 because the south half Section 22 is presently dedicated to
20 the Carlson No. 1 and the 80 acres, east half southwest
21 quarter of the same 320-acre tract is also dedicated to the
22 Morris R. Antweil Terra Federal No. 2.

23 Therefore, the reason that Mr. Hartman
24 cannot develop the 320-acre tract is that he would have a
25 discontiguous proration unit because of the window caused by

1 the Antweil Terra proration unit and he had to restructure
2 in order to drill it. He had to restructure a proration
3 unit and that is the reason that this application is made
4 and the proposal is before you.

5 Q Mr. Aycock, do you have pressure data on
6 the Jalmat wells depicted on this exhibit?

7 A Yes, we do. We have all of the data that
8 -- from the Commission records, as well as a number of re-
9 peat formation tester tests on the new Hartman well that is
10 now being drilled and completed, that being the Carlson
11 Federal No. 2.

12 Q Now this repeat formation tester informa-
13 tion, how does that compare to other --

14 A Well, the normal pressures that are sub-
15 mitted to the Commission are 72-hour wellhead shut-in pres-
16 sures.

17 The pressures that we will read into the
18 record here for the Hartman Harrison Federal -- pardon me,
19 the Harrison Carlson Federal 2, are repeat formation tester,
20 or wireline spot measurements at bottom hole conditions and
21 they are not static and make no attempt to be static.
22 They're simply spot measurements at the end of a 30-minute
23 build-up period.

24 So the conclusion to be reached from this
25 is that the pressures that will be indicated as coming from

1 the repeat formation tester will be the minimum pressures
2 and in all likelihood the actual static pressure will be
3 somewhat significantly higher than those indicated.

4 MR. CARR: Could I have a brief
5 recess. I have a telephone call I have to take.

6 MR. STOGNER: Yes. Let's take
7 a five minute recess for this.

8

9 (Thereupon a recess was taken.)

10

11 MR. STOGNER: Due to unforeseen
12 emergency, this case will be continued to the Examiner Hear-
13 ing scheduled for September 11th, 1985.

14 This record will be left open.

15

16 (Hearing concluded.)

17

18

19

20

21

22

23

24

25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY
CERTIFY that the foregoing Transcript of Hearing before the
Oil Conservation Division (Commission) was reported by me;
that the said transcript is a full, true, and correct record
of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is
a correct and true transcript of the hearing
the said transcript is on page 8690,
heard by me on 28 August, 1985.

Michael E. Stogner, Examiner
Oil Conservation Division

STATE OF NEW MEXICO
ENERGY AND MINERALS DEPARTMENT
OIL CONSERVATION DIVISION
STATE LAND OFFICE BLDG.
SANTA FE, NEW MEXICO

2 October 1963

EXAMINED HEARING

IN THE MATTER OF:

Application of Doyle Hartman for CASE
compulsory pooling, a nonstandard 8690
proration unit, two unorthodox
locations, and simultaneous dedi-
cation, Lea County, New Mexico.

BEFORE: Gilbert P. Quincana, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Division:

Jeff Taylor
Attorney at Law
Legal Counsel to the Division
State Land Office Bldg.
Santa Fe, New Mexico 87501

For the Applicant:

William F. Carr
Attorney at Law
CAMPBELL & BLACK P. A.
P. O. Box 2238
Santa Fe, New Mexico 87501

A P P E A R A N C E S

For Lewis B. Burleson: W. Thomas Kellahin
Attorney at Law
KELLAHIN & KELLAHIN
P. O. Box 2265
Santa Fe, New Mexico 87501

For EPNG: W. Perry Pearce
Attorney at Law
MONTGOMERY & ANDREWS, P. A.
P. O. Box 2307
Santa Fe, New Mexico 87501

I N D E X

STATEMENT BY MR. CARR	5
WILLIAM P. AYCOCK	
Direct Examination by Mr. Carr	6
Cross Examination by Mr. Kellahin	45
DANIEL S. NUTTER	
Direct Examination by Mr. Carr	56
Cross Examination by Mr. Kellahin	62
LEWIS B. BURLESON	
Direct Examination by Mr. Kellahin	73
Cross Examination by Mr. Carr	91
Cross Examination by Mr. Quintana	97

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

3

I N D E X

STATEMENT BY MR. KELLAHIN	98
STATEMENT BY MR. CARR	102

E X H I B I T S

Hartman Exhibit One, Map	7
Hartman Exhibit Two, Proration Schedule	20
Hartman Exhibit Three, Structure Map	20
Hartman Exhibit Four, Cross Section A-A'	22
Hartman Exhibit Five, Cross Section B-B'	28
Hartman Exhibit Six, Structure Map	35
Hartman Exhibit Six-A, Pressure Data	37
Hartman Exhibit Seven, Cross Section E-E'	39
Hartman Exhibit Eight, Tabulation	42
Burleson Exhibit One, Plat	
Burleson Exhibit Two, Cross Section A-A'	
Burleson Exhibit Three, Curve	
Burleson Exhibit Four, C-122	

1 MR. QUINTANA: The hearing will
2 come to order. We will have the second part of the Docket
3 No. 30-85.

4 The next case we will call
5 today will be Case 8690.

6 MR. TAYLOR: The application of
7 Doyle Hartman for compulsory pooling, a non-standard
8 proration unit, two unorthodox locations, and simultaneous
9 dedication, Lea County, New Mexico.

10 MR. CARR: May it please the
11 Examiner, my name is William F. Carr, with the law firm
12 Campbell & Black of Santa Fe.

13 I represent Mr. Hartman and
14 have two witnesses.

15 MR. QUINTANA: Are there other
16 appearances in this case?

17 MR. KELLAHIN: I'm Tom Kellahin
18 of Santa Fe, New Mexico, appearing on behalf of Lewis
19 Burleson, and I have one witness.

20 MR. QUINTANA: Are there --

21 MR. PEARCE: I'm W. Perry
22 Pearce, of the Santa Fe law firm of Montgomery & Andrews,
23 appearing in behalf of El Paso Natural Gas.

24 I do not expect to call a
25 witness.

26 MR. QUINTANA: Any other
27 appearances? Will all the witnesses please stand up at this

1 time and be sworn in.

2 (Witnesses sworn.)

3 MR. CARR: May it please the
4 Examiner, initially I would like to request that the portion
5 of this case that seeks an order pooling the proration unit
6 be dismissed. We obtained a farmout from Terra Resources,
7 and that was the only party against whom we were seeking a
8 pooling order.

9 There may be an outstanding
10 small interest held by TXO. Should that eventually have to
11 be pooled, we'd have to come back to you, but that was not
12 discovered until just yesterday; so that portion of the case
13 can be dismissed.

14 Likewise, I'd like to dismiss
15 any portion of the case as it may relate to the Langlie
16 Mattix Pool. The reference to the Langlie Mattix was in
17 there for the first well that was to be drilled on this
18 proration unit by Mr. Hartman. The well has been drilled; it
19 is a Jalmat well, and therefore, it is unnecessary to
20 reference the Langlie Mattix.

21 And I, for your information,
22 for everyone's information starting out, that location was
23 the west half of the southwest quarter of Section 22, and the
24 well has been drilled at a location 1,650 feet from the south
25 line and 660 feet from the west line of that section. That's
the Carlson No. 2.

Furthermore, we are prepared to

1 stipulate that as to the second well which is to be located
2 in the northwest quarter of Section 27, and we have a certain
3 area within which we're requesting authority to locate that
4 well, that that can also be restricted to provide that the
5 well will be located in Unit C. That means it will be at
6 least a 40-acre tract away from any acreage to the west.

7 And so, we're prepared to
8 stipulate that at that time that that's what our location
9 will be and that we will not go into Unit D to locate this
10 well.

11 And at this time I would call
12 Mr. Aycock.

13 WILLIAM P. AYCOCK,
14 being called as a witness and being duly sworn upon his oath,
15 testified as follows, to-wit:

16
17 DIRECT EXAMINATION

18 BY MR. CARR:

19 Q Will you state your full name for the
20 record, please.

21 A William P. Aycock.

22 Q By whom are you employed?

23 A By Doyle Hartman.

24 Q Mr. Aycock, have you previously testified
25 before this Commission or one of its examiners and had your
credentials as an engineer accepted and made a matter of

1
2 record?

3 A I have.

4 Q Are you familiar with the application
5 filed in this case on behalf of Mr. Hartman?

6 A I am.

7 Q Are you familiar with the subject area?

8 A I am.

9 MR. CARR: We tender Mr. Aycock
10 as an expert witness and petroleum engineer.

11 MR. QUINTANA: Mr. Aycock is
12 considered an expert petroleum engineer.

13 Q Mr. Aycock, will you briefly state what
14 Mr. Hartman seeks with this application.

15 A In Case No. 8690 as modified by the
16 dismissal of the pooling as was previously mentioned, this is
17 the application of Doyle Hartman for a non-standard proration
18 unit, two unorthodox locations, and simultaneous dedication
19 as applies to the Jalmat pool only.

20 Q Would you refer to what has been marked
21 as Hartman Exhibit Number One, identify this exhibit, and
22 review the information contained thereon for Mr. Quintana.

23 A Hartman Exhibit Number One is a Jalmat
24 gas ownership map that contains all of the -- shows all of
25 the Jalmat previous or current production that surrounds the
projected 400-acre proration unit, and these are outlined in
varying colors in order to enable an examination of them in
an efficient manner, and if you would begin your examination,

1
2 please, going in a clockwise direction with the blue lease
3 which comprises the east half northeast quarter of 21, 25,
4 37, and the west half northwest quarter of 22, 25, 37.

5 That is the ARCO Federal lease
6 operated by L. B. Burleson. It contains one well, the No. 2Y
7 located 1,770 feet from the north line and 660 feet from the
8 east line in Unit H of 21, 25 South, 37 East, for which the
9 1985 average production was 54 MCF per month, and as of 4/85
the cumulative production is 14.7 MMCF.

10 We would respectfully call the
11 Examiner's attention to the fact that this proration unit
12 crosses the section lines.

13 Proceeding in a clockwise
14 direction, we have outlined in purple the 80-acre Burleson
15 and Huff Stuart lease. This contains one well, the Stuart
16 No. 2, located 660 feet from the north line and 2,310 feet
17 from the west line in Unit C of Section 22, 25 South, 37
18 East. According to the New Mexico records, the last Jalmat
19 production was in May of 1974, and the cumulative production
at that time was 1,439 MMCF.

20 Proceeding in a clockwise
21 fashion, we have the first piece of acreage that is included
22 in the application acreage, which is the -- was originally a
23 320-acre lease operated by El Paso Natural Gas Company, and
24 contained the south half of Section 22, 25 South, 37 East.
25 And at the time that, as Mr. Nutter will eventually testify
to, there has been a Jalmat well drilled in the southeast

quarter of the southwest quarter by Antweil Production.

And as a consequence of that and the fact that the administrative approval for the drilling of this well specified that it would be the responsibility of El Paso to correct the proration unit assigned to their existing well No. 1 which was the only Jalmat well on the tract, there is an overdedication by a factor of 80 acres.

In other words, there's 320 acres here, but there's 400 acres of Jalmat rights dedicated according to the Commission's records; and as of the September allowable schedule, that -- that is still being carried, I believe, in the yellow book.

Q Now, what -- would you identify for Mr. Quintana what the El Paso well to which that south half unit was dedicated.

A Okay. That is the northernmost of the two wells that's located in the northwest of the southwest of 22, that being the El Paso Carlson Federal No. 1 which was drilled and completed on September 6, 1955, at a location 1,980 feet from the south line and 660 feet from the west line.

Q And what acreage is dedicated to that well on the proration schedule?

A The south half of Section 22 is presently dedicated to that well.

Q Now, the tract that's shaded in green,

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

the well in that is the Antweil well?

A Yes, the Antweil well.

Q And what is dedicated to that well?

A The 80-acre tract that comprises the east half of the southwest quarter of 22.

Q So that 80-acre tract is dedicated under the schedule to both wells?

A Correct.

Q Would you go on now and review the remaining tracts on this plat.

A Okay. The next one proceeding in a clockwise direction, the next one would be the Antweil tract which we just discussed. It's the Terra Federal lease. The proration unit is the east half of the southwest quarter of Section 22, 25 South, 37 East. It was approved by Administrative Order NSP-1297 dated 3/1/82. The well location is 990 feet from the south line and 2,310 feet from the west line in Unit N of Section 22, 25 South, 37 East. The 1985 average production was 3,881 MCF per month, and as of April, 1985 the cumulative production is 141.4 MCF.

Proceeding further in a clockwise direction, the next lease is the -- was originally the Alpha 21 Production Company Harrison Federal lease, and it has been incorporated into the requested 400 proration unit. This lease originally was the northwest quarter of Section 27, Township 25 South, Range 37 East, for a 160-acre tract. It contains two presently unplugged Jalmat wells, one

1
2 of which is still producing.

3 The one that is still producing
4 is the Doyle Hartman Harrison No. 2 located 660 feet from the
5 north line and 660 feet from the west line in Unit D of
6 Section 27, Township 25 South, Range 37 East, for which the
7 1985 average production was 139 MCF per month, and the
8 cumulative production as of 4/85 is 2,097 MMCF.

9 The presently inactive but
10 formerly active well is the Doyle Hartman Harrison No. 3 that
11 is located 1,980 feet from the north line and 660 feet from
12 the west line in Unit E of Section 27, Township 25 South,
13 Range 37 East. The last production from this well was in
14 November of 1983, and at that time the cumulative production
15 was 63.6 MMCF.

16 At the time Mr. Hartman
17 acquired the lease, Alpha 21 told him that the reason that
18 they had ceased producing the No. 3 well was because of the
19 expense of hauling water. He is -- Mr. Hartman is currently
20 evaluating the economics of providing a disposal connection
21 to the well, and if it can be economically done, he will
22 return the well to production.

23 Q Do you have any idea what that well was
24 producing at the time it was abandoned?

25 A If you'll give me just a moment, I can
look it up for you. In 1983 the monthly production was as
follows: In January it produced 3,830 -- I beg your pardon,
2,039 MCF; in February it produced 161; in March it produced

1
2 none; in April it produced 1; in May it produced 137; in June
3 it produced none; in July 125 MCF; in August 218 MCF; in
4 September 559 MCF; in October 1,308 MCF; in November 405 MCF,
5 and that was the last month of production. Also, the --
6 there was -- the last water that had been -- while there was
7 a substantial amount of water comprising 28,745 barrels that
8 had been reported by Alpha 21 to New Mexico Oil Conservation
9 Commission in 1982. The only -- there are only two months in
10 1983 in which water production was reported, and those were
11 January and February: 3,830 barrels of water in January, and
12 150 barrels of water in February, and no water for the rest
13 of -- of 1983.

14 Q Will you now proceed with the other
15 proration units depicted on the map.

16 A Proceeding farther in a clockwise
17 direction to the lease, a 120-acre lease that's outlined in
18 pink, which is the -- pardon me -- is the east half southwest
19 quarter of 27, and the southwest quarter of the southwest
20 quarter of Section 27, Township 25 South, Range 37 East.

21 This acreage is assigned to the
22 Doyle Hartman Santa Fe Federal No. 1 well, located 660 feet
23 from the south line and 660 feet from the west line in Unit M
24 of Section 27, Township 25 South, Range 37 East. In 1985
25 average production for this well was 346 MCF per month, and
as of April, 1985, the cumulative production was 59.3 MMCF.

Proceeding in a clockwise
direction, the next lease is the El Paso Natural Gas Company

Harrison lease that is a 40-acre lease comprising the northwest quarter southwest quarter of Section 27, Township 25 South, Range 37 East, with the location of the well at 1,980 feet from the south line and 660 feet from the west line in Unit L. The 1985 average production for this lease, this one well lease, was 497 MCF per month, and as of April, 1985 the cumulative production was 988.7 MMCF.

Proceeding in a clockwise direction, the next lease is the Lewis B. Burleson Cook lease. This is a 160-acre proration unit comprised of the southeast quarter of Section 28, Township 25 South, Range 37 East. It has two Jalmat wells on this proration unit.

The Lewis B. Burleson, Inc. Cook No. 1 is located 660 feet from the south line and 1,980 feet from the east line in Unit O of Section 28, Township 25 South, Range 37 East. The 1985 annual production average for this well was 2,518 MCF per month, and as of April, 1985 the cumulative production for this well was 687.6 MMCF.

The Lewis B. Burleson, Inc. Cook No. 2 well is located 660 feet from the south line and 660 feet from the east line in Unit P of Section 28, Township 25 South, Range 37 East. The last production is August of 1980. At that time the cumulative production was 591.6 MMCF.

The next lease proceeding in a clockwise direction is the -- pardon me -- the Reserve Oil & Gas C. J. Lanehart lease, for which the proration unit is the northeast quarter of Section 28, Township 25 South, Range 37

1 East. The well located thereon is originally the Reserve Oil
2 & Gas C. J. Lanehart No. 1 located 825 feet from the north
3 line and 1,980 feet from the east line in Unit B of Section
4 28, Township 25 South, Range 37 East. The last Jalmat
5 production on this well was September of 1958, and at that
6 time the cumulative production was 550 MMCF.

7 Proceeding further in a clock-
8 wise direction around the proposed 400-acre proration unit,
9 the next lease is outlined in orange, and it's the Lewis B.
10 Burleson, Inc. Hadfield lease. This is a 120-acre proration
11 unit that contains two wells. The proration unit is the
12 south half of southeast quarter and northeast quarter
13 southeast quarter of Section 21, Township 25 South, Range 37
14 East.

15 The Lewis B. Burleson, Inc.
16 Hadfield No. 1 well is located 660 feet from the south line
17 and 1,980 feet from the east line in Unit O of Section 21,
18 Township 25 South, Range 37 East. The 1985 average
19 production for this well was 565 MCF per month. As of April
20 1985, the cumulative production from this well was 3,099
21 MMCF. And according to the Commission's records, this well
22 was reworked in May of 1985.

23 The Lewis B. Burleson, Inc.
24 Hadfield No. 2 well is located 660 feet from the south line
25 and 660 feet from the east line in Unit P of Section 21,
Township 25 South, Range 37 East. The 1985 average
production for this well was 1,694 MCF per month, and as of

June of 1985, the cumulative production was 90.4 MMCF.

These are all of the leases that include those that are proposed to be included within the requested 400-acre non-standard proration unit, as well as those that surround it on all sides.

Q Mr. Aycock, would you now look at the 400-acre non-standard proration unit that Mr. Hartman is proposing, and identify the first well that Mr. Hartman has drilled on this unit and needs to have approval of -- for the well location, and advise the Examiner as to the -- as to the status of that well.

A Okay. That well is indicated as having a number "4" by it, which is -- which is incorrect. That is actually the Hartman Carlson Federal No. 2 well, and it's the southernmost of the two wells located in Unit L of Section 22, 25 South, 37 East. As previously mentioned, the location of the well is 650 feet from the south line and 660 feet from the west line in Unit L.

This well was spudded on August the 14th, 1985, completed September the 12th, 1985, with a TD of 3,625 feet, a plug back TD of 3,275 feet, 9-5/8 inch casing set at 412 feet with 350 sacks of cement, and 7 inch casings set at 3,625 feet with 750 sacks of cement. The perforated interval, overall perforated interval, is from 2,885 feet well depth to 3,067 feet well depth, with 21 holes. The well was acidized with 5,100 gallons and sand water fraced with 171,000 gallons of salt water and CO₂, and

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

320,000 pounds of sand. The well produced 147 MCF per day on a 20/64 choke from 2-3/8 inch tubing set at 3,149 feet, pumping with eight 54-inch strokes with a 1-1/4 inch stroke, and the date of that test is September the 13th, 1985.

Q Mr. Aycock, would you again give the Examiner the -- the well location for that well. I think you misstated it.

A 650 feet from the south line and 660 feet from the west line.

Q Is that "650" or --

A 1,650, I'm sorry.

Q From the south line?

A From the south line, I'm sorry.

Q Would you now refer to the red box in the north half of the northwest quarter of Section 27, and identify that and -- and explain what that shows.

A Oh, that's the -- that's the original window for the second proposed required well for this proration unit.

Q And that has -- Mr. Hartman is willing to contract that to the acreage that is included within that box located in Unit C?

A That is correct. That portion of the indicated outline is located within Unit C.

Q Now, how long did the south half of -- was the south half of Section 22 dedicated to the one El Paso well?

1
2 A It was dedicated from the time that the
3 El Paso well was originally completed, which was September
4 the 6th, 1955, until the Morris Antweil Terra Federal well
5 was completed in 1982. It was -- that entire south half was
6 dedicated to that one well.

7 MR. CARR: Mr. Examiner, I
8 would ask that you take administrative note of Commission
9 Order R-766 which approved the 320-acre south half unit, and
10 also NSP-1297, which approved the Antweil tract.

11 MR. QUINTANA: Will you repeat
12 those numbers to me again?

13 MR. CARR: NSP-1297.

14 MR. QUINTANA: And our Order
15 number?

16 MR. CARR: 766.

17 MR. QUINTANA: Thank you.

18 Q Mr. Aycock, if this application is
19 approved, how many wells will Mr. Hartman be producing on
20 this 400-acre unit?

21 A He will be producing the following: The
22 pre-existing original El Paso Natural Gas Company Carlson
23 Federal 1, which is the well we were just discussing, that is
24 located 1,990 feet from the south line and 660 feet from the
25 west line of Section 22; the recently completed Doyle Hartman
Carlson Federal No. 2 Well, which is located 1,650 feet from
the south line and 660 feet from the west line of Unit L; the
still-producing Doyle Hartman Harrison No. 2, located 660

1 feet from the north line and 660 feet from the west line of
2 Section 27, Township 25 South, Range 37 East; and the
3 required well which will be drilled in that portion of the
4 area of the window outlined in blue that is located within
5 Unit C of Section 27, Township 25 South, Range 37 East,
6 assuming that that well is successfully drilled and completed
7 in the Jalmat zones --

8 Q How did --

9 A -- which is at total of four wells.

10 MR. QUINTANA: Excuse me, what
11 was the third well?

12 A The third well is the Harrison No. 2 Well
13 located 660 feet from the north line and 660 feet from the
14 west line of 27.

15 MR. QUINTANA: All right.
16 Thank you.

17 MR. TAYLOR: The one right above
18 that that's listed as the Federal "Com" No. 4, is that
19 supposed to be the Federal "Com" No. 2?

20 A That is actually the Hartman Carlson
21 Federal No. 2, the one that says "4" by it. And the one that
22 says "3A" by it is actually the original El Paso well, the
23 Carlson Federal No. 1.

24 Q Based on your prior testimony, it is
25 possible that the old Alpha well in the southwest of the
northwest might also be eventually returned to production?

A That is correct.

1
2 Q How did Mr. Hartman acquire his interest
3 in the south half of Section 22?

4 A He farmed it in from El Paso Natural Gas
5 Company.

6 Q Does that farmout agreement provide that
7 the pre-existing El Paso well will be produced prior to any
8 other well on the unit or any other subsequently drilled well
9 on the unit being produced?

10 A It does.

11 Q When was the problem with the Antweil
12 tract discovered?

13 A At the time Mr. Hartman accepted the
14 farmout and began preparations to drill the well and began to
15 examine title.

16 Q Now, one last question. The well that
17 Hartman has recently drilled in the northwest of the
18 southwest of 22 is in the same 40-acre tract. Why could that
19 well have not been located to the south?

20 A Why could it have not been located in the
21 40 acres immediately to the south of it?

22 Q Yes.

23 A The problem is this. According to the
24 way that El Paso's policies are, regardless of the fact that
25 this acreage was all included in a proration unit, a
previously producing proration unit, if the specific acreage
on which the well is located is not that that's described in
the contract, El Paso will not connect the well. So he could

1
2 not drill it in the southwest of the southwest because that
3 acreage is not specifically described in the contract, and he
4 would not been -- have been able to effect a connection had
5 he drilled it on that acreage.

6 Q Would you now refer to what has been
7 marked as Hartman Exhibit Two, and identify that, please.

8 A Exhibit Two is the Jalmat Gas Proration
9 Schedule for July of 1985, and attached thereto are -- well,
10 there are two copies, two pages of the July 1985 proration
11 schedule, and a form C-104 and the predecessor thereto, which
12 is the form C-128, that documents the fact that the -- the
13 original proration unit was a 320-acre unit. It was assigned
14 to the El Paso Natural Gas Carlson Federal No. 1, and that
15 the 80 acres was carved out of that and assigned to the
16 Morris Antweil Terra Federal No. 2, and that they're --
17 according to the records of the Commission, there is,
18 therefore, dual dedication of the 80-acre proration unit on
19 which the Terra -- the Antweil Terra Federal No. 2 is
20 located.

21 Q Would you now refer to Hartman Exhibit
22 Number Three, identify that, and review the information
23 contained thereon.

24 A The Hartman Exhibit Number Three is a
25 structure map on the top of the Yates that covers an area
over and immediately adjacent to the proposed 400-acre non-
standard proration unit, and shown thereon is the location of
the Hartman Carlson Federal No. 2 Well. At the juncture of

1
2 the two cross section traces, i.e., A-A' basically in the
3 north-south direction, and B-B' basically in the east-west
4 direction, with some deviations thereto.

5 Also shown on this are the --
6 is the contours on the top of the Yates with a contour
7 interval of 25 feet, and I think it is -- we would like to
8 have the following note that's included on this Exhibit Three
9 read into the record forthwith. "The proposed 400-acre
10 proration unit for the Carlson-Harrison Federal "Com" 4 and
11 the optional Carlson-Harrison Federal "Com" 5 is to be
12 composed of: (A) 160 acres, comprised of the west half
13 southwest quarter and west half southeast quarter of Section
14 22, out of the 320-acre proration unit, consisting of the
15 south half of Section 22, presently dedicated to the Carlson
16 Federal No. 1." Also the 160-acre proration unit in the
17 northwest quarter of Section 27, presently simultaneously
18 dedicated to the Harrison No. 2 and Harrison No. 3 wells, and
19 the 80 acres which is the west half of the northeast quarter
20 of Section 27. And this change in proration unit is being
21 made because of the 320 acres consisting of the south half of
22 Section 22, is presently dedicated to the Carlson Federal No.
23 1, and 80 acres of this 320, that being the east half
24 southwest quarter of this same acreage is also dedicated to
25 the Morris R. Antweil Terra Federal No. 2.

23 Q Do you have anything further to add to
24 your testimony concerning Exhibit Three?

25 A No, other than to point out once again

1
2 that Mr. Hartman would -- has agreed to and will contract the
3 application acreage for the second well to that portion of
4 the window that's located in the northwest quarter of Section
5 27, but only that portion that's located in Unit C.

6 Q Would you now go to Exhibit Number Four
7 and review this. This is the cross section A-A'.

8 A Beginning at the lefthand side of Exhibit
9 Four with the Chevron Arnott Ramsey NCTA No. 2 well. This
10 well is located 660 feet from the south line and 1,980 from
11 the east line of Section 16, Township 25 South, Range 37 East
12 in Unit O. The original completion for this well was open
13 hole between depths of 2,894 and 3,153 feet, and the
14 completion date is May the 13th, 1940. Without stimulation
15 the well flowed 15 million cubic feet per day on a potential
16 test, at -- with a tubing pressure of 600 pounds, and a
17 casing pressure of 1,160 pounds. The 1985 average production
18 was 41 MCF per day, and as of April, 1985 the cumulative
19 production from this well is 8,467 MCF.

20 The second well from the left
21 on cross section A-A' is the Lewis B. Burleson B. T. Lanehart
22 No. 1 located 2,310 feet from the north line and 1,990 feet
23 from the east line of Section 21, Township 25 South, Range 37
24 East, in Unit H. This well was completed on December 26,
25 1936, from perforations between 3,026 and 3,074 feet, with 22
perforations. The indication is that there was blockage in
the hole and the well was shot with a 180 quarts of
nitroglycerin between depths of 3,025 and 3,072 feet. The

1 initial potential flowing was 7 million cubic feet per day.
2 The last production from this well from the Jalmat was in
3 February of 1973. The average 1973 production for the well
4 prior to it being plugged was 6 MCF per day, and the
5 cumulative production at the time it was plugged was
6 2,584 MMCF.

7 The third well from the left is
8 the Lewis B. Burleson ARCO No. 2Y. This well was -- has --
9 is a dual completion in the Jalmat and Langlie Mattix. It is
10 located 1,770 feet from the north line and 660 feet from the
11 east line, Section 21, Township 25 South, Range 37 East, in
12 Unit H. The well was originally completed on the 22nd of
13 December, 1975, with perforations between depths of 3,365 and
14 3,375 feet in the Langlie Mattix, with 20 holes. It was
15 acidized with 1,000 gallons and sand/water fraced with 20,000
16 gallons and 22,500 pounds, and on initial potential it flowed
17 12 barrels of oil and 5 barrels of water per day. According
18 to the Commission records on January the 6th, 1976, the
19 interval from 3,009 to 3,048 feet in the Jalmat interval was
20 perforated, acidized with 1,000 gallons and flowed 35.5 MM --
21 M -- pardon me -- MCF per day on dual completion. The 1985
22 average Jalmat production for this well was 2 MCF per day,
23 and as of 4/85 the cumulative production was 14.6 MMCF.

24 The fourth well from the left
25 is the Doyle Hartman Carlson Federal "Com" No. 4. Now, I
point out to the Examiner that on our exhibits this well is
called "Com" No. 4. On the forms that were submitted to the

Commission, it was called "Corn" No. 2. And so, if you look at the Commission forms, you will get confused, but it's the same well.

This well was completed on the 12th of September, 1985, from Jalmat perforations between depths of 2,885 and 3,067 feet, for a pumping potential of 147 MCF per day. The -- during the time that the well was being drilled, seven repeat formation tests for reservoir pressures were measured from the Jalmat interval. The mean of those seven values is 169 PSI and the median of those seven values is 164 PSI. So, while there is some variation, the tendency is very well established at about 167 PSI.

This well has obviously not gone on production because there's no approved proration unit yet for the well, and the approval of the non-standard proration unit is part of this application.

The fifth well from the left is the Morris R. Antweil Terra Federal No. 2 well. This well was completed on the 6th of April, 1982, from Jalmat perforations between depths of 2,925 feet and 3,001 feet, after an acid job of 2,000 gallons and sand fraced with 20,000 gallons and 42,000 pounds of sand. It flowed 262 MCF per day with a tubing pressure of 100 pounds. 1985 average production for this well was 132 MCF per day, and as of April, 1985 the cumulative production was 137 MMCF.

The sixth well from the left was originally the Alpha 21 Production Company, it's now

owned and operated by Doyle Hartman, Harrison Federal No. 2. It's located 660 feet from the north and 660 feet from the west line of Section 27, Township 25 South, Range 37 East. The well was completed on the 8th of June, 1956, from perforations between depths of 2,880 and 3,040 feet. It was fractured with 10,000 gallons and 10,000 pounds of sand, and the calculated absolute open flow potential was 5,000 MCF per day, at a tubing pressure of 718 pounds, with 2-1/2 inch tubing set at 3,300 feet.

On the -- on August 18, 1977, an additional interval between the depths of 2,765 and 2,848 feet was perforated with 12 shots, acidized with 2,000 gallons, sand fraced with 31,000 gallons and 48,500 pounds, and it flowed 140 MCF per day. So, the current -- the current production is between depths of -- the original completion was between 2,880 and 3,040, and it's now completed in the Jalmat between 2,765 and 3,040 in two separate intervals. In 1985 average production for this well was 5 MCF per day, and as of April, 1985 the cumulative production is 2,097 MMCF.

The seventh well from the left is the originally Alpha 21 Production Company, now Doyle Hartman Harrison Federal No. 3 well. This well is located 1,980 feet from the north line and 660 feet from the west line of Section 27, Township 25 South, Range 37 East, in Unit E. The well was completed on the 7th of May, 1980, through perforations between depths of 2,869 feet and 3,016 feet,

1
2 with 17 holes. After being acidized with 3,000 gallons and
3 the sand/water fraced with 52,000 gallons of -- of gelled
4 water and 109,000 pounds of sand, for 210 MCF per day, and 50
5 barrels of water per day, through a 48/64 choke, 2-3/8 inch
6 tubing, with a casing pressure of 110 pounds, with the tubing
7 set at 2,910 feet. April of 1983 was the last production, as
8 we've previously testified. The well was temporarily
9 abandoned on June the 1st, 1984. The 1983 average production
10 for the months of January through November was 41 MCF per
11 day, and 33 barrels of water per day; and the 1983 cumulative
12 production, which is the same cumulative at the time the well
13 was temporarily abandoned, was 63.6 MMCF.

13 The eighth well, or the well
14 from the left, or the well at the right of cross section A-A'
15 is the El Paso Natural Gas Company Harrison Federal No. 1
16 well, located 1,980 feet from the south line and 660 feet
17 from the west line of Section 27, Township 25 South, Range 37
18 East, in Unit L. This well was completed on the 13th of
19 December, 1955, from perforations between depths of 2,838
20 feet and 2,930 feet, after having been sand fraced with
21 10,000 gallons of Jal salt water and 10,000 pounds of sand
22 for a flowing potential of 9,700 MCF per day, with a casing
23 pressure of 890 pounds, through 2-1/2 inch tubing set at a
24 depth of 2,930 feet.

25 There was, as you will notice --
pardon me -- in the description at the bottom of the page for
this well, there's -- there were two intervals in the Langlie

1
2 -- the lower Jalmat and the -- and/or the Langlie Mattix, and
3 it would appear that they are the -- that they are actually --
4 the lower one is probably in the Langlie Mattix and the upper
5 one may be in the Jalmat or it may be in the -- the Langlie
6 Mattix. I don't have the exact data, I don't have the well
7 log, and can't correlate it with the Commission's standard
8 cross section in order to be able to tell exactly, but it
9 would appear definitely that the lower interval is definitely
10 in the Langlie Mattix, and the upper one may be -- and both
11 of those were abandoned after failing to establish commercial
production in the Langlie Mattix.

12 Q Mr. Aycock, going back to the Alpha 21
13 Harrison Federal No. 3, what was the date of last production
14 on that? You stated April 1983.

15 A I beg your pardon, it was November of
16 1983.

17 Q Now, the red perforations indicated
18 across these, on each of the --

19 A Those are the Jalmat perforations that
20 either were or are being produced.

21 Q What does this cross section show you?

22 A It shows, basically, that all the wells
23 have been completed in a correlative interval in the --
24 within the Jalmat section.

25 Q And have been produced from that
interval?

A Correct.

1
2 Q Would you now go to your next exhibit,
3 which is your cross section B-B'.

4 A Starting at the west, the lefthand side
5 of the cross section, the first well is the Lewis B.
6 Burleson, Inc. Hadfield No. 1 Well that's located 660 feet
7 from the south and 1,980 feet from the east line of
8 Section 21, Township 25 South, Range 37 East, in Unit O.
9 This well was completed on the 23rd of February, 1947, from
10 open hole between depths of 2,650 feet and 3,024 feet,
11 without stimulation, for an indicated flowing potential of
12 3,225 MCF per day, casing pressure of 965 PSI through 2 inch
13 tubing set at 3,000 feet. The 1985 average production for
14 this well was 20 MCF per day, and the April '85 cumulative is
15 3,098 MCF.

16 The second well from the left
17 is the Lewis B. Burleson, Inc. Hadfield No. 2 well. This
18 well is located 660 from the south line and 660 feet from the
19 east line of Section 21, Township 25 South, Range 37 East, in
20 Unit B. This well was completed -- pardon me -- March 30,
21 1949, through a perforated interval between depths of 2,973
22 and 3,040 feet, which had been shot with 100 quarts of
23 nitroglycerin, for a flowing potential of 3,040 MCF per day.
24 As of May the 12th, 1977, the well was plugged back to a
25 depth of 2,940 feet, was perforated between depths of 2,878
feet to a depth of 2,924 feet, acidized with 1,000 gallons
and flowed 40 MCF per day. The last production from this
well from the Commission's records was in April of 1982. The

1982 average production for the months of January through April was 2 MCF per day, and the April, 1982 cumulative production from this Jalmat interval was 87 MCF.

The third well from the left is the Doyle Hartman Carlson Federal "Com" No. 4, which we've previously referred to as the Hartman Federal -- "Com" Federal -- Hartman Harrison Federal "Com" No. 2, because that is the way the forms were filed with the Commission originally.

This well is located 1,650 feet from the south line and 660 feet from the west line of Section 22, Township 25 South, Range 37 East, in Unit L. The well was completed on September 12, 1985, through perforations between depths of 2,885 feet to 3,067 feet, that had been perforated with 21 shots, acidized with 5,100 gallons sand/water frac with 171,000 gallons and 320,000 pounds of sand, for 147 MCF per day, pumping eight 54-inch strokes per minute, with a 1-1/4 inch pump through a 20/64 choke and 2-3/8 inch tubing set at 3,149 feet, with a casing pressure of 58 PSI.

The Langlie Mattix was tested on September 4, 1985, through perforations between depths of 3,303 feet to 3,396 feet, acidized with 5,050 gallons, swabbed 3 barrels of oil a day and a trace of water. It was non-commercial, so a cast iron bridge plug was set at 3,275 and the previously referred to completion was affected in the Jalmat interval.

1
2 There's a note there about the
3 average bottom hole pressure reading. We've already
4 previously reviewed that on the other cross section.

5 The fourth well from the left
6 is the El Paso Natural Gas Company Carlson Federal No. 1.
7 well, which is located immediately north of the Carlson
8 Harrison Federal "Com" No. 4 or "Com" No. 2, depending on
9 which set of information you're reviewing. The well is
10 located 1,980 feet from the south line and 660 feet from the
11 west line of Section 22, Township 25 South, Range 37 East, in
12 Unit L. It was completed September 6, 1955, through perfora-
13 tions between depths of 2,822 to 3,062 feet, that had been
14 sand/water fraced with 20,000 gallons and 20,000 pounds of
15 sand, for 16,500 MCF per day flowing --

16 MR. QUINTANA: Mr. Aycock, may
17 I ask you a question?

18 A Sure.

19 MR. QUINTANA: What's the
20 purpose of the -- of your -- are you trying to show me that
21 this --

22 A That the whole thing is gas productive
23 and that it basically produces from the same intervals
24 through the Jalmat. They're all basically producing from
25 correlative intervals.

 MR. QUINTANA: Fine. I was
just wondering if there was a reason for your reading each
individual one.

1
2 MR. CARR: Mr. Quintana, what
3 we've been doing so far is really background. As we move now
4 to the eastern part of this cross section, we're getting into
5 the area where there may be questions as to the productive
6 acreage. I think it's important, particularly at this point,
7 to be able to bring in at least these last three wells which
8 are, I think, in the area which is really the -- the focus of
today's case.

9 MR. QUINTANA: You may proceed.

10 A Okay. The well was completed with
11 16,500 MCF per day flowing at 606 pounds on both the tubing
12 and the casing through 2 inch tubing set at 3,062 feet. It
13 is interesting to note that this same -- the Jalmat intervals
14 were drill stem tested three times during the progress of
drilling the well.

15 The first test was between a
16 depth of 2,710 feet and 2,802 feet, which is the uppermost of
17 the three intervals indicated by the "Z"-shaped symbol on the
18 well log. The tool was opened 30 minutes; there's no
19 indication of how long it was shut in. It recovered -- I beg
20 your pardon. It was 15 minutes shut in, it recovered 15 feet
21 of slightly gas-cut mud, the flowing pressure was 25 pounds,
22 and the shut-in pressure was 25 pounds in 15 minutes,
23 indicating that there was no permeability feeding it and no
feed-in during the progress of the test.

24 The second drill stem test
25 which is the middle of the three "Z"-shaped symbols indicated

1
2 by those depths on the well log is between depths -- pardon
3 me -- 2,852 feet and 2,962 feet. The tool was open one hour
4 with gas to surface to 16 minutes. They flowed an estimated
5 115 MCF per day during the flow period, recovered 570 feet of
6 heavily gas-cut mud, with a flowing pressure of 235 PSI, and
7 a 15 minute shut-in pressure was 900 pounds, indicating that
8 there was excellent reservoir quality and productivity at
9 that level.

10 The third drill stem test
11 indicated by the lowermost of the three "Z"-shaped intervals
12 on the well log is between depths of 2,957 feet and 3,074
13 feet. The tool was open one hour and 20 minutes, with gas to
14 surface in three minutes, flowing at an indicated rate of
15 2,744 MCF per day, recovered 150 feet of gas -- heavily
16 gas-cut mud, with flow pressures of between 400 and 450
17 pounds, and a 15 minute shut-in pressure of 665 PSI, once
18 again indicating excellent productivity from the Jalmat
19 interval.

20 The fifth well from the left-
21 hand side is the El Paso Natural Gas Company Pritchard
22 Federal No. 1. This well is located 660 feet from the south
23 line and 1,980 feet from the west line of Section 15, Section
24 25 South, Range 37 East, in Unit N. The well was completed
25 on July the 12th, 1956, through perforations between depths
of 2,799 feet and 2,934 feet, that had been shot with 392
perforations and fractured with 60,000 pounds and 60,000
gallons, for a flowing potential of 9,500 MCF per day, with

1
2 an indicated tubing flowing pressure of 669 PSI through
3 2 inch tubing set at a depth of 2,939 feet.

4 The perforations between depths
5 of 2,898, which is the lowermost of the two indicated red
6 intervals on the well log, and 2,934 feet were separately
7 sand-fracked with 30,000 gallons and 30,000 pounds, and a
8 bridge plug was set at 2,870. The thing was perforated
9 between the -- the depth and the upper interval, the 2,789,
10 the 2,844 and perforated with 204 feet. So, the lower
interval was tested separately on this well.

11 The cumulative -- the 1985
12 average production for this well was 91 MCF per day, and as
13 of April '85 it had accumulated 3,048 MCF of gas production.

14 The sixth well from the left is
15 the Lewis B. Burleson, Inc. Stuart No. 2. This well is
16 located 660 feet from the north line and 2,310 feet from the
17 south line -- from the west line, pardon me, of Section 22,
18 Township 25 South, Range 37 East, in Unit C. It is presently
19 producing from the Jalmat between depths of 3,243 feet and
20 3,342 feet as of 9/23/74. It was originally completed in the
21 Jalmat between depths of 2,790 feet and 3,391 feet on
22 December the 12th, 1956, through 536 shots that were sand-
23 fraced with 10,000 gallons and 10,000 pounds of sand, and it
24 flowed 7,100 MCF per day, with no indication of pressures.
25 The -- in 1974 the cast-iron bridge plug was set at 3,362
feet, and the well was re-completed in the Langlie Mattix.
The last Jalmat production was in May of 1974. The average

1
2 Jalmat production during 1974 was 37 MCF per day and 2
3 barrels of oil per day, and the 1980 -- the 1974 cumulative
4 Jalmat production was 1,439 MCF.

5 The last well, which would be
6 the seventh well from the left, or the righthand well,
7 located at B* to the furthest east is the Mobil Langlie
8 Mattix Queen Unit No. 40. This well is now completed in the
9 Langlie Mattix between depths of 3,278 and 3,285 feet as of
10 October the 28th -- 29th, 1971. It was originally completed
11 on May 3rd, 1938, in the open hole interval between 3,285 and
12 3,300 feet, all of which is in the Langlie Mattix interval.
13 But in -- on December the 2nd, 1958, the original completion
14 in the Langlie Mattix was abandoned and it was perforated
15 between depths of 2,697 and 2,864 feet in the Jalmat. It was
16 sand-fraced with 15,000 gallons and 8,500 pounds. It was
17 then dually completed after the removal of the separating
18 equipment between the Langlie Mattix and the Jalmat,
19 reclassified as Jalmat gas duo with Langlie Mattix, and in
20 1971 these perforations were squeezed off and it was
21 returned to production as a Langlie Mattix single
22 completion. The last Jalmat production was in October of
23 1969, and the 1969 -- as of that date, the cumulative Jalmat
24 production was 172.3 MCF.

25 Q Now, Mr. Aycock, what does this cross
section show?

A It shows once again that the -- that the
wells have been completed in the Yates portion, largely in

1
2 the Yates portion of the -- of the Jalmat interval, and that
3 all of them have been in intervals that are easily
4 correlatable sic) from east to west, and all of them have
5 produced gas in paying quantities at one time or another from
6 the Jalmat.

7 Q Based on this information, can you make --
8 reach any conclusion as to the productive capability of the
9 acreage within the proposed 400-acre proration unit?

10 A Based upon the data that's available, and
11 based upon the fact that Mr. Hartman has, in his application,
12 has rejected from a proration unit that was originally found
13 by the Commission to be productive of gas, has rejected the
14 east 80 acres, it is entirely reasonable to expect that it is
15 all productive of gas.

16 Q Would you now refer to what has been
17 marked for identification as Hartman Exhibit Number Six.

18 A Hartman Exhibit Number Six is a structure
19 map on the top of the Yates that is intended to demonstrate
20 the -- a conservative estimate of the porosity pinchout in
21 the Jalmat zones. We would call the Examiner's attention to
22 the four green circles that are located to the east of the
23 pinchout -- five green circles, I beg your pardon; one of
24 them in Section 15, three of them in Section 23, and one of
25 them in Section 26.

26 All of these wells were
27 produced and carried by the Commission as Jalmat wells. They
28 are approximately a half mile to a quarter of a mile from the

1
2 pinchout, the conservative pinchout, that has been
3 interpreted on this figure, and this shows the reason
4 Mr. Hartman chose to omit the east half of the southeast
5 quarter of Section 22 from the proposed proration unit
6 because even though there had been gas production in
7 commercial quantities from the Jalmat east of it, he felt
8 upon reviewing the data that it was not sufficiently
9 indicative of commercial production, and he made a conserva-
10 tive estimate and chose to omit that 80 acres that was on the
11 far east side of the original proration unit assigned to the
12 -- originally assigned to the El Paso Carlson Federal No. 1
13 well.

14 MR. KELLAHIN: Mr. Examiner,
15 I'm going to raise an objection as to the last narrative
16 response from this witness.

17 I thought when he began his
18 testimony, this was his interpretation of the geologic
19 porosity pinchout for the Jalmat, and he's gone on to tell us
20 that this is -- this is Mr. Hartman's geologic
21 interpretation. He is a geologist; if that's his testimony,
22 he ought to come today to testify about it.

23 I'm going to object to that
24 portion of Mr. Aycock's testimony that refers to what Mr.
25 Hartman may or may not have concluded as a geologist because
he's not here, and we request that Mr. Aycock either restate
his testimony so he gives us only his opinions and not
someone that's not.

1
2 A Mr. Hartman's review was based upon --
3 his opinion was based upon my review and recitation of the
4 facts to him. I was the one who reviewed it and drew the
5 conclusions and recommended to him that that 80 acres be
6 removed in order to avoid controversy and avoid the
7 appearance of trying to put in non-productive acreage into a
8 gas proration unit.

9 MR. QUINTANA: Is that
10 acceptable to you, Mr. Kellahin?

11 MR. KELLAHIN: I'll take it for
12 what it's worth, Mr. Examiner.

13 Q Mr. Aycock, the red line on this is the
14 porosity pinchout that you've been discussing?

15 A Yes.

16 Q And the blue line on this is a trace for
17 a subsequent cross section?

18 A That's correct.

19 Q Is there anything further that you would
20 want to present from this exhibit?

21 A Not really.

22 Q Would you now -- do you have pressure
23 data on the Jalmat wells on this area?

24 A Yes.

25 Q Is that contained on what has been marked
as Exhibit Six-A?

 A It is.

 Q Would you refer to that at this time,

1
2 please?

3 A Exhibit Six-A is a -- a list of all of
4 the gas -- the Jalmat gas wells that are in the vicinity of
5 the proposed 400-acre proration unit, and those five wells
6 that are located to the east of the interpreted pinchout are
highlighted in yellow on this list.

7 Q And what does this show, then,
8 Mr. Aycock?

9 A This shows that there was substantial --
10 there has been substantial Jalmat gas production from areas
11 immediately east of -- or substantially east of the pinchout
12 that I have interpreted and convinced Mr. Hartman should be
13 used in this case in order to avoid the appearance of
14 attempting to include any acreage that could be in any doubt
15 of being reasonably productive of Jalmat gas. It shows
substantial gas having been produced.

16 If you will look at the five
17 numbers in columns 7 under "Gas, NCF Initial to Date," that
18 is the cumulative production for those wells, and you will
19 notice that those numbers range from a low of 24,450 MCF to a
20 high of 6,375,000 MCF, and a million number of somewhere
21 around a billion cubic feet of gas that has been produced in
22 the Jalmat from those five wells located to the east of the
indicated, conservative, red pinchout line.

23 In addition to that, they're
24 all -- listed on Exhibit Six-A are the last shut-in wellhead
25 pressures that were submitted to the Commission and the date

1
2 on which those were submitted, and you'll notice that the
3 latest ones that are in the records are in 1983, some of them
4 are in 1981, and there are a few as early as 1971, and the
5 pressures are all over the map. The low numbers are about --
6 is 13 PSI and the high number is 139 PSI, and a cursorial
7 (sic) evaluation and perusal of these numbers would indicate
8 that there's no particular pattern to them.

9 Q Mr. Aycock, referring to Exhibit Six-A,
10 the wells that are highlighted, are these the same wells that
11 are indicated by green well spots --

12 A Yes, they are.

13 Q -- on the preceeding exhibit?

14 A They are.

15 Q Is there anything else you'd like to
16 present from Exhibit Six-A?

17 A No.

18 Q Would you now refer to what has been
19 marked as Exhibit Number Seven and briefly review the
20 information on that exhibit.

21 A This is cross section No. E-E', the trace
22 of which was indicated on Exhibit Number Six, which is a
23 north-south cross section that runs immediately to the west
24 of the indicated interpretive pink line.

25 Mr. Examiner, if -- you have
expressed a desire to short-cut the -- if you wish me to, I
will go through each well. I think it is apparent that if
you will -- if you will peruse it, that up to the north you

1
2 can see that the Jalmat has been productive, and as you
3 approach the south, it has been tested but not been
4 productive. However, gas has been tested in many of these
5 wells, and if you will look at the date of those that were
6 never completed, you'll notice that they are in the 1938-1939
7 range when gas was not a -- an object of intensive explora-
tion and exploitation in southeast New Mexico.

8 Presumably, one or both of the
9 wells that were not completed in the Jalmat on the south end
10 could have been completed in it but because there were
11 indications that there was gas present, as indicated by the --
12 the far south well, the Amerada Hess, for instance, which is
13 the lowest well structurally and the furthest south. This
14 well was drill stem tested several times up and down the
15 holes, and the drill stem test between depths of 2,875 feet
16 and 3,100 feet was open four hours with gas to surface in 50
17 minutes, recovered 250 feet of heavily gas-cut mud with a
18 trace of oil, and 60 feet of heavily oil-cut mud, with
19 flowing pressures of from 285 to 320 pounds, and a shut-in
20 pressure of 665 pounds in 30 minutes, indicating with little
21 doubt that a commercial Jalmat gas well could have been
perfected in that wellbore.

22 So, it is my -- this is the
23 reason that I made the recommendation to Mr. Hartman that we
24 -- we use this to tie down the -- the indicated -- the inter-
25 preted pinchout of the Jalmat intervals and not exceed this,
even though the Commission has previously made findings that

1
2 there is acreage to the east of the line and even though
3 there are five wells that were originally produced and
4 carried by the Commission in the Jalmat field that have been
5 produced from this area east. In order to avoid criticism
6 and controversy, it was my recommendation to him that we drop
7 the 80 acres out and move on further to the west so that we
8 would not appear to be trying to stretch the facts.

9 MR. KELLAHIN: Mr. Examiner,
10 I've been very patient with Mr. Aycock, as I've always tried
11 to be, but his errant editorial, argumentative comments have
12 gone too far. I would request that the Chairman, or the
13 Examiner, direct him to confine himself to the testimony and
14 data, and not editorialize.

15 MR. CARR: Mr. Examiner, Mr.
16 Aycock is an expert witness in petroleum engineering. He was
17 qualified as such, and he's entitled to give you his opinion.

18 MR. QUINTANA: Mr. Kellahin,
19 I'm going to overrule your objection, but, Mr. Aycock, I'm
20 going to warn you to keep your opinions strictly to the
21 exhibits that you've prepared and only to those exhibits.

22 A Yes, sir.

23 Q Mr. Aycock, now, as to the productive
24 capability in the Jalmat of the proposed 400-acre proration
25 unit, what is your conclusion?

A My conclusion is that the whole 400 acres
would have been productive of gas and is productive of gas;
the only difference will be the rate at which a well

1
2 completed on a given tract would be able to deliver gas.

3 Q Based on your review of the area and your
4 understanding of -- of the data that you've presented, in
5 your opinion are the wells that Mr. Hartman proposes to
6 operate on this unit necessary to produce the reserves from
that unit?

7 A Yes, they are.

8 Q And Mr. Hartman is seeking today not only
9 the creation of the unit, but the approval of the two
10 unorthodox well locations?

11 A That's correct.

12 Q In your opinion, will granting this
13 application protect correlative rights and prevent the waste
of hydrocarbon?

14 A Yes, it's my opinion that that's correct.

15 Q Would you now refer to Hartman Exhibit
16 Number Eight and identify that, please.

17 A Hartman Exhibit Number Eight is a
18 tabulation of monthly production by years starting with 1976
19 and coming forward for those -- well, not 19-- -- starting
20 with 1970 and coming forward for those that have it, for
21 Jalmat wells that are -- that -- to which our testimony has
22 previously referred. They're on the previous figures and are
23 in the area, and we would call the Examiner's attention to
24 the fact that, without burdening him with going through and
25 reading every month or every year, in -- that in late years
in particular, for many of these wells, the production has

1
2 been quite variable, indicating that the wells are loading up
3 and have reached the limit of time that they're going to be
4 able to produce by natural flow, and some of them will
5 probably be abandoned at this point, and others will probably
6 not be. But the point in this being that to go ahead and
7 drain the remaining reserves it's apparent that additional
development is needed.

8 Q Now, Mr. Aycock, do you have anything
9 further to add to your testimony?

10 A No.

11 Q Were Exhibits One through Eight and Six-A
12 prepared by you or compiled under your direction?

13 A Were compiled under my direction.

14 Q Can you testify as to their accuracy?

15 A I can.

16 MR. CARR: At this time we
17 would offer into evidence Hartman Exhibits One through Six,
Six-A, Seven and Eight.

18 MR. QUINTANA: The exhibits
19 just described by Mr. Carr will be entered as evidence.

20 MR. CARR: That concludes my
21 direct examination of Mr. Aycock. I pass the witness for
cross.

22 MR. QUINTANA: For the record,
23 though, I would like to make a statement about my --
24 Mr. Aycock, I was not trying to shorten your testimony in any
25 way. I was just trying to -- there is so much data that I

1
2 have to -- have to look at here, and I only want the data
3 that's essential to my -- to me to be able to make a
4 decision. If I have extra stuff that I have to listen to
5 that has no bearing on the case, it's just extra stuff for me
6 to look at, and I have to sit through it all night. I don't
7 feel like I want to do that.

8 MR. AYCOCK: I apologize,
9 Mr. Examiner. The previous time we presented it, Mr. Stogner
10 requested that we put all of it in, so it's my fault. I
11 should have asked you before I did it.

12 MR. QUINTANA: I just want the
13 record to reflect that I wasn't trying to restrict you in
14 your testimony, but I just wanted the essential facts because
15 of the sheer volume of information that's going to be
16 presented to me at this time.

17 Mr. Kellahin -- excuse me.
18 We'll take a short five-minute recess.

19 (Thereupon a recess was taken.)

20 MR. QUINTANA: Let the record
21 show that Mr. Aycock has finished his testimony, and we have
22 entered Exhibits --

23 MR. CARR: One through Eight,
24 plus Six-A.

25 MR. QUINTANA: -- One through
Eight, plus Six-A, into evidence, and it's Mr. Kellahin's
turn to cross-examine the witness, if he would like.

You may proceed.

MR. KELLAHIN: Thank you,
Mr. Quintana.

CROSS EXAMINATION

BY MR. KELLAHIN:

Q Mr. Aycock, let me direct your attention to Exhibit Number Four, which is your A-A' cross section. And if you'll count over from the left, the fourth well, which is the subject well, the Carlson Harrison Federal "Com" No. 4, the well located in the northwest of the southwest, the No. 4 well, is the one that was drilling or being tested when we had this hearing back in September, is that correct?

A That's correct, yes.

Q I notice in the log on that well you've given us an initial potential of 147 MCF of gas a day. Then, down below that in the yellow shading, it says you have a September 20th test. It shows a flow of 343 MCF per day. What is the difference between those two?

A It's just a further test after the well was flowed some more and cleaned some more. The 147 was the test that was the official test that was submitted to the Commission to establish the gas productivity is all.

Q Subsequently, then, you ran a -- another production test, and when it flowed, I guess, on September 20th, then we had a flow rate of the 343 MCF?

A That's correct. That -- you will notice that was on the 28/64 choke. Various -- versus it was on a 20/64 choke on the original test of 147 MCF per day. So,

1
2 it's a combination of the well cleaning itself up more and
3 the fact that a larger choke size was used.

4 Q Based upon the test for this well,
5 Mr. Aycock, are you able to conclude as an engineer that the
6 subject well, the No. 4 well, has the capacity or the ability
7 to effectively and efficiently drain the proposed non-standard
8 proration unit?

9 A I think it probably could. I can't tell
10 you unequivocally because, obviously, on a short-term test I
11 can't -- I can't determine that it's going to be able to
12 drain a 400-acre proration unit in conjunction with a second
13 well that will be drilled on the -- in the southern location,
14 assuming that this application is approved. I would say that
15 there is a preponderant (sic) probability that they -- the
16 two wells between them will be able to drain that.

17 Q Is it -- is it your opinion that the
18 No. 5 well, which is the one we've talked about being
19 restricted to Unit C in Section 27, is it your opinion that
20 the No. 5 well needs to be drilled and completed in the
21 Jalmat in order for that well and the No. 4 well to
22 effectively and efficiently drain the proration unit?

23 A At the present time, lacking demonstrable
24 evidence that the No. 4 would drain it by itself, if -- I
25 believe so, yes, I would recommend that both wells be
drilled.

Q And has Mr. Hartman made the decision
based upon the information available now to go ahead and

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

drill the No. 5 well?

A If the application is approved, he will proceed forthwith to drill it. He has already staked the locations. He's looked at several locations; among them are those that -- he's looked at several in addition to those that are in Unit C, and after our discussions and a review of all the data prior to this hearing, I recommended to him that he consider confining the application to Unit C because I felt that, number one, it would be a more propitious location for the drainage of whatever reserves remain, and it would avoid unnecessary controversy over drainage across lease lands.

Q Can you give us today the actual footage location for the No. 5 well?

A I cannot. It would be within Unit C, that's all I can tell you at this point.

Q Is there a reason that you're aware of that we can't more specifically locate that well?

A The reason is at this point that Larry Nyrmer, who is the engineer that's in charge of drilling and production for Hartman, has not had an adequate chance -- or the last I talked to him, he had not had an adequate chance to examine the ground and see what would be the most propitious location from the standpoint of the surface. And, as you know, these are crowded areas of -- there is no telling what's out there. There may be nothing, but there could be something. So, I just can't tell you.

1
2 Q We could use any of the structure maps.
3 I have in front of me Number Six, Exhibit Number Six, which
4 is a structure map on the top of the Yates. If we look at
5 Section 22 and the west half of the southeast quarter, within
6 that 80-acre tract, Mr. Aycock, has there ever been a Jalmat
gas well?

7 A The west half of the southwest of 22,
8 yes, the original --

9 Q I'm sorry, the southeast. The west half
10 of the southeast of 22.

11 A Not to my knowledge.

12 Q As we move down into Section 27, the
13 Terra Resources well up in Unit B of 27, is that the only
14 Jalmat gas well in the west half of the northeast quarter?

15 A Yes.

16 Q And when we look at the northwest quarter
17 of 27, and within that quarter if we look at the east half of
18 the northwest of 27, there haven't been any Jalmat gas wells
in that 80-acre tract?

19 A That's correct.

20 Q Have you -- looking at the Terra
21 Resources well, have you made a calculation of the drainage
22 effect that the production from that well has in the Jalmat?

23 A No, I have not.

24 Q When we look at the structure maps, and
25 you've made your analysis of the various cross sections, is
it fair to conclude from your testimony that in your opinion

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

as we move to the west and to the north within the proposed non-standard proration unit, we're moving into a better portion of the Jalmat reservoir?

A Not necessarily. The reason for my recommending to Mr. Hartman that he confine the second well to Unit C was that I believe that drilling it in Unit C achieves a structural position that is essentially equivalent to the existing Carlson Federal 4 Well, and I think there's a good chance that he could have as good or better well than the Carlson Federal 4 because of that.

So, I wouldn't say necessarily just going to the west. I think there's a fairway in there like there is in -- throughout the Jalmat. You find north-south trends on which the sands are better developed from the standpoint of particularly permeability, and it is most fairways that you can most efficiently develop and drain whatever reserves remain.

Q Let's talk for a moment, Mr. Aycock, using the structure map as an example, just to help us with the well locations, let's talk for a moment about gas prorationing in the Jalmat. The Jalmat is a prorated gas pool in New Mexico, is it not, sir?

A That's correct.

Q And is the proration formula used for the Jalmat one that is affected by the acreage that's allocated to the wells?

A It is if the well is a -- is not a

1
2 marginal well, that's correct.

3 Q All right. Can you give us an example of
4 how we would determine the allowable for a proration unit the
5 size as you've proposed of 400 acres?

6 A Divide 400 by 160, and apply that to the
7 allowable that is -- that portion of the total number of
8 units that are non-marginal, as applied to the gas that
9 remains to be distributed among the non-marginal wells after
10 taking into account the nominations as adjusted by the
11 Commission, less the amount that's allocated to the marginal
wells.

12 Q All right, sir, if we use -- if we use an
13 acreage factor of 1 for every 160 acres, then in order to
14 find the allowable, we'll have to see how many 160's there
15 are in the 400?

16 A That's correct.

17 Q I get 2.5, all right?

18 A That's correct.

19 Q Can you approximate for us what the
20 allowable would have been using the July or the August
21 proration schedule in '85 for a total allowable for a 480-
acre proration unit?

22 A Not right off, I can't.

23 Q When we look at the wells that you've
24 proposed to -- or Mr. Hartman proposes to dedicate to the 400-
25 acre non-standard proration unit, the advertisement talks
about the two subject wells, which would have been the newly

1
2 drilled and completed No. 4 well, the proposed No. 5 well,
3 and it also lists the Carlson Harrison 1, 2 and 3. You've
4 told us today that the No. 3 is not currently producing.

5 A It's temporarily abandoned and has been
6 since, when did I say, 1984, I believe, June of 1984, if I
7 recall correctly.

8 Q That leaves us, then, with the No. 2 well
9 in the northwest of the northwest of 27, and the two wells in
10 the west half of 22 -- 2, 3, and then the undrilled well,
that would be 4.

11 A That's correct; five, if you include the
12 one that's TA'd or four if you include only the three that
13 are now producing plus the projected No. 5.

14 Q With regards to the No. 4 well, do you
15 have an opinion as to whether or not that well is going to be
16 non-marginal or marginal?

17 A My opinion is that it will be non-
18 marginal.

19 Q Under the prorationing rules with regards
20 to the wells producing from a unit, would you propose to
21 produce that allowable first out of the marginal wells, and
then the balance out of the non-marginal wells?

22 A Yes, Mr. Kellahin, I would, for several
23 reasons that I'd be glad to elaborate on, if you wish.

24 Q Does Mr. Hartman have any requirements
25 with El Paso Natural Gas with regards to how their well, the
No. 1 well just north of the 4 Well, is to be produced in

1
2 relation to the total allowable?

3 A In the farmout agreement, it is required
4 that that well be allowed to produce. I don't have the exact
5 language, but Mr. Carr has a copy of the farmout agreement;
6 but there is a prescription, yes.

7 Q Is the prescription such that that
8 El Paso well, the No. 1 well, will be allowed to produce at
9 its total capacity?

10 A That's correct.

11 Q Okay. Can you tell us what the current
12 ability of that well is to produce?

13 A If you give me a moment, I can recite
14 what the production history has been. I have the data
15 through May of 1985, and the production is as follows by
16 months for the former El Paso, now Doyle Hartman, Carlson
17 Federal No. 1 Well.

18 It produced 68 MCF in the month
19 of January; nothing in the months of February and March; 147
20 MCF in the month of April; and 44 MCF in the month of May.

21 I might add that the shut-in
22 periods -- and Mr. Hartman assumed operations of the well on -
23 -effective August 1, 1985, so there is no -- there is no data
24 available from the public record as of the time I had this
25 prepared that would reflect the history subsequent to the
time he took it over. But I do know that the well is
operated strictly in conformance with what El Paso requires.

1
2 Q Does Mr. Hartman propose, or does he have
3 a contractual commitment that requires him to rework the No.
4 1 Well to increase its ability to produce?

5 A I don't believe that's permitted under
6 the current agreements in force and I suspect Mr. Kendrick
7 would have to tell us, but I suspect El Paso would resist
8 any attempt to -- for Mr. Hartman working on the well.
9 That's their well and they have -- they effectively have
10 control there, even though Mr. Hartman is the operator of
11 record, because they determine how the well will be oper-
ated.

12 Q So the last month of reported production
13 for that well was May and we have 44 MCF for the total
14 month?

15 A That's correct.

16 Q All right. And what is the last reported
17 production on a monthly basis for the No. 2 Well in the
northwest of the northwest of 27?

18 A The Carlson Harrison No. 2? I mean the
19 Harrison Federal, what was originally the Harrison Federal
20 No. 2 Well is what you're talking about.

21 It produced the following amounts in --
22 in 1985, January, 132 MCF; February, 143 MCF; March, 128
23 MCF; April, 132 MCF; May, 158 MCF.

24 Q Okay, that's a monthly number.
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A That's correct.

Q And what is your best opinion as to the productive ability of the No. 4 Well, the new well, to produce?

A I haven't made any estimates as yet because I don't have enough long term deliverability data to do them.

All I have is preliminary tests from a -- essentially a shut-in time and I don't have a stabilized deliverability test to enable me to make a very -- a specific and relatively accurate guess as to what the deliverability is going to be.

I would guess it's going to be in the range of 200 MCF a day, which would be 6000 MCF a month, in round numbers.

Q Have you determined whether or not you could continue the dedication of the south half of Section 22 to the No. 4 Well rather than reform the proration unit as you propose?

A Well, we'd have a -- the only way we could do it would be an 80-acre proration unit and that would be ridiculous to have the well on an 80-acre proration unit when the Commission some time ago had a finding that the No. 1 Well could efficiently and effectively drain 320 and that 320 was dedicated to it, it would make no sense to

1
2 drill it on an 80, and in fact, he would not have done it at
3 all if he had realized the dual dedication but for the time
4 he recognized that there was dual dedication and that he had
5 a discontiguous proration unit he was already committed to
6 drill the well.

7 Q Have you made a determination of whether
8 the No. 4 Well and the El Paso No. 1 Well in combination,
9 whether the production from those wells will exceed an 80-
10 acre allowable?

11 A Probably they would, at least initially.
12 Whether they would on a long term basis, obviously, I don't
13 have sufficient data at this time to give you a precise an-
14 swer.

15 Q With the exception of the No. 4 Well do
16 you anticipate that the other wells on the nonstandard pro-
17 ration unit would be marginal wells?

18 A Yes, I do, because the No. 3 Well, when
19 it's returned to production, will doubtlessly be a marginal
20 well. I suspect it would.

21 Now, once again, when that's re-equipped
22 and if it is, a pumping unit on it, I could be surprised,
23 but at the present time I would expect it to be, yes, based
24 upon its previous performance.

25 Q The purchaser for the gas in the prora-
tion unit will be El Paso?

1
2 A That's correct. Have you made a determi-
3 nation of whether the acreage as you propose to dedicate to
4 the well is all subject to the same type of gas pricing?

5 A I have not made any such determination,
6 no.

7 MR. KELLASIEP: Thank you, Mr.
8 Examiner. I have nothing else.

9 MR. QUINTANA: Are there other
10 questions of the witness?

11 MR. CARR: I have no further
12 questions.

13 MR. QUINTANA: At this time I
14 have no questions of the witness. He may be excused.

15 MR. CARR: At this time I'd
16 call Mr. Nutter.

17 MR. QUINTANA: You may proceed.

18 DANIEL S. NUTTER,
19 being called as a witness and being duly sworn upon his
20 oath, testified as follows, to-wit:

21 DIRECT EXAMINATION

22 BY MR. CARR:

23 Q Would you state your name, please?

24 A Dan Nutter.
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Q Mr. Nutter, by whom are you employed?

A I'm a consulting engineer in Santa Fe, New Mexico, employed in this particular case by Mr. Doyle Hartman.

Q Have you previously testified before this Commission and had your credentials as a petroleum engineer accepted and made a matter of record?

A I have.

Q Are you familiar with the application of Mr. Hartman in this case?

A I am.

Q Are you familiar with the subject area?

A I am.

MR. CARR: We tender Mr. Nutter as an expert witness in petroleum engineering.

MR. QUINTANA: He's considered an expert petroleum engineer.

Q Mr. Nutter, in reviewing the application of Mr. Hartman, have you reached an opinion as to what impact granting this application would have on correlative rights of interest owners in the area?

A I don't see that the application as applied for, if approved, would impair the correlative rights of any offset operator.

Q And upon what do you base that determina

tion?

A Okay. In the first place, we're asking for a 400-acre unit comprising two 80-acre tracts in the south half of Section 22, a 160-acre tract and an 80-acre tract in the north half of Section 27.

 To reiterate what Mr. Aycock had said, the El Paso well in the northwest quarter of the southwest quarter of Section 22 in 1956 was approved for a 320-acre unit. That well was 660 feet from the north boundary and 660 feet from the west boundary of that 320-acre unit. It had an entire acreage dedication factor of 2 assigned to it.

 Now we're seeking a 2.5 acreage factor here today, but that acreage factor is going to be divided among four and possibly five wells to be produced.

 Now, if we go a little bit -- attack this with a little bit different perspective, we could take the south half of Section 22 and the north half of Section 27, and we would have a standard 640-acre unit in the Jalmat Gas Pool. The only thing that would be nonstandard would be the fact it was crossing the section line, but it would be a 640-acre block.

 Now, a location in Unit C would be a standard location for one well on that 640-acre tract. We're asking for one of five -- one of four and possibly five wells to be dedicated to that pink area in Unit C of

Section 27.

So again, the well could be dedicated to the entire 640 by itself, but we're only asking for it to share the allowable with several wells and an allowable of 400 barrels -- 400 acres rather than 640 acres.

So for this reason, any way I look at it, I don't see that the correlative rights of any offset operators can be impaired.

Q What happens if there's a problem selling the gas once the wells are drilled?

A Well, we don't anticipate any problem selling the gas other than normal gas bubble problems; however, we do anticipate that there might be a delay in hooking up the well in Unit C of Section 27. Operations are underway at this present time to get the No. 4 Well hooked up and we would propose that we would run a line from Unit C of Section 27 up to Well No. 4 in Unit L of Section 22.

We would have a meter on that and the gas would be sold through a common meter at the -- at the No. 4 site.

Q Is this consistent with Division rules and precedent?

A Yes. It's not commingling because all the gas is coming from the same proration unit. What we would be doing would be passing the gas from one well on the

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

proration unit to the meter located at another well on the same proration unit and selling the gas through a common meter and furnishing the pipeline company with our readings of the gas production that comes from the new No. 5 Well, and then the subtraction method would determine how much came from the No. 4 Well, which is the existing well.

Q In your opinion would anyone's correlative rights be impaired if there were limits imposed on the rate with which -- that any of these wells could be produced other than the general proration limitations?

A No, I don't think so because we'd still be limited to the total allowable that could be produced.

The other wells, the No. 2 Well in the northwest of the northwest of 127, it has its own meter installed by El Paso.

The No. 3 Well that has been shut in for a couple or three years, still has its meter run on it.

The old El Paso Carlson No. 1 has its meter run on it.

So there are three meters in existence. A fourth meter is being installed, and we would install our own fifth meter to try to expedite sales from the new No. 5.

Q Do you believe any other limitation should be imposed on production on any of the wells other than those that result from prorationing or that arise from

1
2 the farmout agreement?

3 A No. No. There's no reason for any im-
4 position of production limitations on any of the wells.

5 I would add, also, that in the event the
6 Commission should see this as commingling, we could apply
7 for it administratively, I believe, but I don't think it's
8 commingling.

9 The Rule 21A of the general gas rules for
10 southeast New Mexico specifies that every well must have a
11 meter on it, but I think what that's referring to, it was
12 thinking about a one well proration unit, and certainly
13 every proration unit ought to have a meter on it, but when
14 you're combining sales from two wells, I don't believe it's
15 critical to -- I don't believe you have to interpret that as
16 commingling. That's up to the Commission. We'll apply for
17 commingling if they want us to.

18 Q Do you have anything further to add to
19 your testimony?

20 A No, I don't.

21 MR. CARR: And I have nothing
22 further of Mr. Nutter.

23 MR. QUINTANA: Mr. Kellahin?

24 MR. KELLAHIN: Thank you.
25

CROSS EXAMINATION

BY MR. KELLAHIN:

Q Mr. Nutter, your hypothetical was that you would form a standard proration unit out of the south half of 22 and the north half of 27.

A Yes.

Q What would be a standard location for a standard, full size proration unit?

A 1980/1980.

Q And the proposed No. 5 Well in Unit C, would it be 1980 from the west line of that section?

A That's the easternmost boundary that has been specified in the application today, 1980 from the west line, and, of course, the hypothetical proration unit cuts across the middle of Section 27, so you could come up from the hypothetical south boundary 1980 and be in the pink square, also.

Q So the No. 5 Well would be at a standard location from the west boundary of the section.

A If it were 1980, yes, sir.

Q When we look at the currently drilled and completed Well No. 4 --

A Uh-huh.

Q -- in the southwest of 22, that is not at a standard location, is it?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A For what size of a unit?

Q For a 320 or for a 640. It's only 660 from that west line, isn't it?

A Yes, 660 from the west line. It would be a standard unit for 160-acre -- a standard location for 160-acre unit.

Q Is it a standard location for a 400-acre unit?

A No. The -- the -- a standard location for a 400-acre unit is not specified by the rules of the Division. It only specifies in this pool standard locations for two unorthodox -- or standard locations for two sizes of nonstandard units.

It says you'll be 660/660 for a 160 and 660/1320 for a 321. It doesn't say what you have to be for a 400 or a 480-acre unit, or any other size of a unit.

It only says that a standard shall be 1980/1980.

Q So in fact for the No. 4 Well Mr. Hartman, by his application today, is seeking an unorthodox well location.

A Yes. It's specified in the application, for the 400-acre unit, yes.

Q Have you made a calculation of what the maximum allowable will be for a 400-acre unit?

1
2 A No, I haven't. I haven't looked at the
3 allowables; I sure haven't.

4 Q Have you looked to see what the maximum
5 allowable is for Mr. Burleson for the 120-acre unit in the
6 southeast quarter of 21?

7 A No, but it would have an acreage factor
8 of .75.

9 Q Have you made any determination of the
10 effect of drainage and counter-drainage across the common
11 section line between Mr. Burleson's wells and Mr. Hartman's
12 wells?

13 A The wells are all equidistant from the
14 proration unit line.

15 Mr. Hartman's wells are 660 from the pro-
16 ration unit line and Mr. Burleson's are all 660 from the
17 proration unit line, so there is no drainage or counter-
18 drainage in that respect.

19 Q With another respect, however, what would
20 be -- is Mr. Hartman's allowable for a 400-acre unit larger
21 or smaller than Mr. Burleson's allowable in the pool for
22 120-acre unit?

23 A Well, I would imagine the allowable would
24 be larger if -- the top allowable allowable would be larger.

25 But he has more acreage dedicated, of
course, to it.

1
2 Q All right. And if the acreage factor is
3 used as part of the prorationing formula, Mr. Hartman's No.
4 4 Well is going to have a maximum allowable that exceeds Mr.
5 Burleson's allowable by at least threefold, isn't it?

6 A For which well of Mr. Burleson's? We're
7 talking about --

8 Q No. 4 Well.

9 A We're talking about -- we're talking
10 about four wells Mr. Hartman is operating on the west 160
11 acres of the proration unit.

12 Q And the only nonmarginal well, Mr. Nut-
13 ter, the one we're talking about --

14 A I don't know if any of the wells would be
15 nonmarginal. You can't look at allowables today and say
16 what an allowable is because there's -- they fluctuate so
17 widely. I'm expecting they'll go up. I think the nomina-
18 tions this morning indicated that the allowables are going
19 up.

20 You mentioned in your cross examination
21 of Mr. Aycock if he had looked in the July schedule. July
22 allowables were terrible, and I don't know what the allow-
23 ables are going to be and I don't know if the No. 4 Well is
24 going to be a top allowable well or not.

25 If allowables go up, it won't be. Let's
hope they do.

Q Have you taken into consideration in reaching your opinion that the correlative rights of parties will not be affected, have you taken into consideration the effect of the allowables on the ability of Mr. Burleson's well to compete with Mr. Hartman's well in the adjoining section?

A Mr. Burleson's wells are all producing at capacity right now.

Q And capacity is determined in terms of its allowable, is it not?

A No. No. They're producing at the wells' capacity. All of Mr. Burleson's wells are classified as marginal even under the low allowable, but that No. 2 Well, which directly -- which diagonally offsets the No. 4 Well, that well has been shut in since --

Q You're absolutely certain of that, Mr. Nutter?

A Yes. It's indicated on one of our exhibits, the shut-in date on that.

Q And that well being shut-in --

A The No. 1 Hadfield is still producing.

Q The No. 2 Well.

A I don't believe the No. 2 Well is producing.

Q And you've reached the conclusion that

1
2 Mr. Burleson's correlative rights are not affected based
3 upon the fact that you believe that No. 2 Well not be be
4 producing and to be shut-in.

5 A I believe that one of our exhibits indi-
6 cates that it's not producing.

7 From your line of questioning, it sounds
8 as though you suspect I may be wrong.

9 Okay, I stand corrected. It was another
10 -- it was another -- it was another Burleson well that was
11 not producing. I'm sorry.

12 No. 2 Well is producing.

13 Q And what is your information with regards
14 to the ability of the No. 2 Well to produce?

15 A The No. 2 Well has averaged, I would say,
16 50-some MCF per day during 1985.

17 Q And that would cause that well to be
18 classified as a marginal well, then. I assume that would be
19 low enough to be a marginal well.

20 A I haven't looked at the allowables, as I
21 stated.

22 I don't have the allowables here. You've
23 got the proration schedule. I don't, Mr. Kellahin.

24 Q Mr. Nutter, have you examined the produc-
25 ing ability of the wells Mr. Hartman proposes to dedicate to
his nonstandard unit to determine how much of the allowable

Mr. Hartman can anticipate to be able to produce out of the No. 4 Well?

A No, because we haven't drilled the No. 5 yet and it would depend on the productivity of the No. 5.

It would also depend on whether it becomes economically feasible to restore the No. 3 to production.

Now we know that the No. 1 and the No. 2 are producing a given amount of gas at the present time. Assuming those wells would continue to produce, then we have three unknowns. We've got the ability of the No. 4 to produce. We've got an unknown, totally unknown quantity in the No. 5, and there's no way of telling right now what the No. 3 would produce. It was making about 41 MCF a day when it was abandoned because of water problems, but --

Q Are you telling me you're not going to produce the No. 4 Well until after the No. 5 Well is drilled and completed and tested?

A Well, we would hope to. We would hope to.

We wanted to start drilling this No. 5 as soon as possible. We don't have a connection for the No. 4 yet.

Q When do you anticipate having a connection for the No. 4 Well?

1
2 A We hope before the first of the year,
3 certainly.

4 Q Will that be before or after you drill
5 and complete the No. 5 Well?

6 A I don't know. We anticipate starting the
7 No. 5 as soon as possible.

8 Getting these connections is not always a
9 -- it's not our prerogative as to the date; it's the pipe-
line's prerogative when they're going to connect you.

10 Q Do you propose to request the Commission
11 to set an allowable for the No. 4 Well based only upon the
12 El Paso Well, the No. 4 Well and the No. 2 Well, or are you
13 going to wait for the others?

14 A No, we want a unit allowable for the 400-
15 acre unit.

16 Q And what will that unit allowable be, Mr.
17 Nutter?

18 A That would vary from month to month. It
19 would be the current allowable times 2.5 if it's not mar-
ginal.

20 Q What is the current allowable?

21 A I don't know. I don't have a proration
22 schedule.

23 Q I show you an August, 1985 proration
24 schedule from southeast New Mexico.
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A August was another bad month.
Q Do you want to pick a good month?
A There hasn't been one for three years.
Q All right, let's go with August, then.
A Okay, let's find a nonmarginal allowable.

A nonmarginal allocation in August of 1985 was 7,822 for a factor of 1.

Q All right, so in order to reach a nonmarginal allowable that equates to the August '85 schedule, --

A You'd multiply 7822 by 2.5. You'd come up with about 18,000 a month, I would imagine.

Q 19,555.

A 19,555. Divide that by 30 now, or 31, that's August.

Q You divide by 31, the actual days in the month?

A Yeah, divide that by 31 and you'll see what the allowable per day would be in August.

Q The per day allowable, then, in August would have been 650 MCF a day for the unit.

A Yeah, we'll have to get a good well then in No. 5 in order to make our allowable for the 400-acre unit.

Q So under the proration formula, the total unit, using the August numbers, you could produce 630 MCF a

1
2
3 day and we know from Mr. Aycock's testimony that the No. 2
4 Well produced only about 5 MCF a day, is that right?

5 A I don't remember what the figure was, Mr.
6 Kellahin.

7 Q He told us that the No. 2 Well had 158
8 MCF a month.

9 A There were some zero months there, too,
10 weren't there?

11 Q Uh-huh.

12 A I don't know what it will average per
13 day.

14 Q And the El Paso --

15 A With all those zeros in there and then a
16 large number and then a couple of zeros, probably gaved it a
17 chance to build up, so its daily production is not going to
18 be that great.

19 Q All right. And when we look at Mr. Bur-
20 leson's top allowable for nonmarginal production from his
21 unit in Section 21, 120 acres, what would that allowable be?

22 A Well, it would be .75 times that, what
23 was it, 7822?

24 Q Yeah.

25 And we'll have to divide that number
again by 31.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A Right.

Q I get 189 MCF a day for Mr. Burleson's --
looking at the August proration schedule, Mr. Nutter, did
either one of Mr. Burleson's wells, were they classified as
nonmarginal?

A I'll have to look them up again.

MR. BURLESON: I'm under the
L's.

A You've got your first name first, huh?

This is a poor copy of the schedule.
Okay, it was the Hadfield's, right, talking about the Had-
field's?

Q Yes, sir.

A The unit is classified as a marginal unit
with a .75 factor and it had produced in June 2456, which
would be about 80 a day, and so its allowable for August was
2456.

Q Thank you, Mr. Nutter.

MR. KELLAHIN: I have nothing
further of Mr. Nutter.

MR. CARR: I have no redirect.

MR. QUINTANA: I have no ques-
tions of Mr. Nutter.

Are there questions of Mr. Nut-
ter?

1
2 If not, Mr. Nutter, you may be
3 excused.

4 A Thank you.

5 MR. CARR: That concludes our
6 direct case.

7 MR. KELLAHIN: If the Examiner
8 please, we'll call as our witness Mr. Lewis Burleson.

9 LEWIS B. BURLESON,
10 being called as a witness and being duly sworn upon his
11 oath, testified as follows, to-wit:

12 DIRECT EXAMINATION

13 BY MR. KELLAHIN:

14 Q Mr. Burleson, would you please state your
15 name and occupation?

16 A All right. Lewis Burleson, practicing
17 geologist and operator of L. B. Burleson, Inc., Oil Proper-
18 ties.

19 Q Mr. Burleson, do you hold any profession-
20 al degrees?

21 A Yes, I have a BS in geology, University
22 of Texas in 1948.

23 Q Would you describe for the Examiner what
24 has been your experience as a petroleum geologist with re-

25

1
2 regards to Jalmat production in the area that's under discus-
3 sion here today?

4 A I have been a New Mexico geologist since
5 1948 and I have worked on the platform for thirty-seven
6 years.

7 Q Do you individually and your company
8 along with others own interest and operate Jalmat gas wells
9 in this portion of the Jalmat Pool in Lea County?

10 A Yes, we do.

11 Q Can you give us an approximation, Mr.
12 Burleson, of the number of Jalmat wells that you operate?

13 A We operate approximately 25.

14 Q Let me direct your specific attention to
15 the offsetting section to the proration unit that's under
16 hearing today, within Section 21, and ask you, sir, whether
17 or not you are the operator of the nonstandard proration
18 unit located in the southeast quarter of 21?

19 A Yes, we are. Hadfield Lease, the 120-
20 acre lease in the southeast quarter of Section 21.

21 Q Have you made a study of the geology with
22 regards to the Jalmat Pool in this portion of Lea County,
23 New Mexico?

24 A Yes, I have.

25 Q Are you familiar with the operation of
your Hadfield wells and of the operations of other operators

1
2 in the affected area?

3 A Yes, I have.

4 MR. KELLAHIN: We tender Mr.
5 Burleson as an expert petroleum geologist.

6 MR. QUINTANA: Mr. Burleson is
7 considered an expert petroleum geologist and Jalmat operator
8 in the area.

9 Q Mr. Burleson, I'd like to direct your
10 attention to what we have marked as Exhibit Number One.

11 I want to ask you a series of questions
12 based upon this exhibit, Mr. Burleson.

13 First of all, would you identify what
14 this exhibit is?

15 A This is a plat of the area in -- that we
16 are discussing today, which shows the cumulative production
17 of all the wells offsetting the proposed unit, 400-acre
18 unit.

19 It shows where Mr. Hartman had requested
20 his wells to be when he called this -- this hearing, which
21 is in blue.

22 It shows in green the wells that produced
23 gas, that produced water with the Jalmat gas on top of the
24 Crosby structure, and outlines Burleson and Huff's, Lewis
25 Burleson's holdings in yellow, and outlines the 400-acre
proration unit in red.

1
2 Q Have you also, sir, prepared a geologic
3 cross section through certain effected wells in this area?

4 A Yes, we have.

5 Q I wonder if I could direct your attention
6 at this point to Exhibit Number Two, a copy of which we have
7 placed on the wall, and if you'll describe the information
8 that's contained on that exhibit, Mr. Burleson, I'll then
ask you some conclusions.

9 Can you see it well enough or would you
10 like to go to the board?

11 A No, I'd rather go up there.

12 Q Do that.

13 A This is cross section A-A' that goes north
14 and south through the wells that are affected by this 400-
acre proration unit.

15 Q All right, hang on just a minute. Let's
16 get oriented on where we are.

17 A The line of cross section is shown by the
18 plat that is on the cross section and goes through --
19 through five wells which I will identify as the ARCO, ARCO
20 Lanehart 22- No. 1, the El Paso, now Doyle Hartman, Carlson
21 No. 1, the now Doyle Hartman Harrison No. 2 in Section 27,
22 the now Doyle Hartman Alpha 21 Harrison No. 1, No. 3, excuse
me, and down through the El Paso Natural Gas Harrison No. 1.

23 Q From your knowledge of the area, Mr. Bur-
24
25

1
2 leson, and your examination of the information contained on
3 the cross section, what do you conclude as a geologist with
4 regards to the Jalmat as it is found or encountered under-
5 lying the proposed nonstandard proration unit?

6 A In studying these logs I have come up
7 with a net pay figure in the Yates Sand and it is noted on
8 the bottom.

9 The ARCO Well to the north, 30 feet.

10 The well that Mr. Hartman just twinned
11 has 27 feet.

12 The well to the south of that, the Harri-
13 son No. 2, has 23 feet.

14 Doyle Hartman now Alpha 21 has 16 feet,
15 and the El Paso Harrison No. 1 has 19 feet.

16 Then picking up the cumulative figures
17 from the proration book, you see, since this is a Langlie
18 Mattix well, we go to the Jalmat wells, that the well in
19 Section 22 has produced four billion six cubic feet.

20 South of there the well produced three
21 billion.

22 The Alpha 21 Well produced 63,000, and
23 the El Paso Harrison No. 1 produced 986,186 cubic feet of
24 gas.

25 Q From that information, Mr. Burleson, what
can you conclude with regards to the Jalmat as it underlies

1
2 Mr. Hartman's proposed unit?

3 A Obviously, from the production and the
4 net pay, the 80-acre tract that Mr. Hartman has in the west
5 half of the southwest quarter of Section 22, which offsets
6 my Hadfield to the east --

7 Q West.

8 A -- to the -- my Hadfield lease to the
9 west, has the most pay and has produced most of the gas, or
10 more gas than the other three wells that are on a 320-acre
11 plot.

12 So therefore more permeability, porosity,
13 and pay are present under the 80-acre tract.

14 Q Is this portion of the Jalmat Gas Pool
15 sensitive to water production in the area?

16 A Yes, it is, and I would discuss that with
17 -- with --

18 Q Let's go back to Exhibit Number One. Are
19 you looking at Exhibit Number One now?

20 A Yes.

21 Q All right. Let's look at Mr. Hartman's
22 400-acre nonstandard unit. You have discussed with us what
23 portion of that unit you consider to be the best portion of
24 the Jalmat and what is that acreage?

25 A The best portion of that unit will be the
80-acre tract in Section 22, and I would like to discuss the

green triangles that are wells in Section 28 and 27.

Q All right. Explain to us what that means and what conclusion you reach.

A Just a slight lesson in geology, but the Crosby structure, which does produce in the Devonian, in the Fusselman, and I believe the Ellenburger, was high when the reef was laid down in Seven Rivers time and there probably is a reef development in here that did not trap oil but it did trap large volumes of water.

Subsequent, when the -- when this area was first drilled the wells did not produce water, but we have about seven wells that were plugged in the thirties and early forties that probably weren't plugged correctly and that Seven Rivers zone has charged the Yates with water.

One of my wells, the Saunders No. 2, which would be in Unit F in Section 28, is one of the highest producing wells on top of the Yates in the whole Jalmat Field yet it produces water from contamination with the poorly plugged wells in this immediate area.

When you have water production to pick up and go along with the gas, the total amount of reserves are cut by some figure. It would -- it would depend on the amount of water and the amount of initial pay.

When you get to the north in Section 21 and 22, then the wells to the north in these two sections do

1
2 not produce water. So it just reinforces that the best part
3 of this proration unit is in the west half of the southwest
4 quarter.

5 Q Focusing on the question of the water
6 problem in the area, can you give us an opinion as to what
7 portions of Mr. Hartman's proposed unit is going to be af-
8 fected by water production whereby you would conclude that
9 it is not contributing productive acreage to that unit?

10 A Okay. I would like to have Exhibit
11 Three.

12 Q All right, Mr. Burleson, we're looking at
13 Exhibit Number One and we're directing your attention to the
14 impact, if any, that the water encroachment in the Jalmat
15 has on Mr. Hartman's proration unit, and I have marked for
16 you and I now show you Exhibit Number Three.

17 Would you identify Exhibit Number Three
18 for us and describe it?

19 A Exhibit Number Three is a production
20 curve, gas and water, on the Alpha 21 Harrison No. 3, which
21 is colored in green, being in Unit -- Unit F of Section 27,
22 which shows that almost initially this well produced water
23 and --

24 Q Excuse me, you have said Unit F and I
25 think it's Unit E.

A A, B, C, D, excuse me, Unit E, that when
this well was brought in in 1980, the gas is in red, the

1
2 water is in green, and for the first year, 1991 MCF against
3 2787 water, and in '81, and this is in MCF per month, bar-
4 rels per month, in '81 it produced 1995 against 2275 water;
5 in 1982 it produced 1730 against 2395 water; and in '83 when
6 they gave up the ghost on it, it produced 619 MCF per month
7 and 1990 water, and you can see that the cumulative for bar-
8 rels of water is greater than the cumulative of MCF of gas.

9 Therefore, because of the proximity of
10 this lease to the wells to the west, Mr. Hartman will be
11 producing water on his wells in the northwest quarter of
12 Section 27.

13 Q Can you approximate for us, Mr. Burleson,
14 what portion of the nonstandard proration unit within Sec-
15 tion 27 is going to be affected by water in such a way that
16 you reached the opinion that it would not contribut pro-
17 ductive Jalmat acreage to its well?

18 A The northwest quarter of Section 27 will
19 be productive of some Jalmat gas but with a large volume of
20 water, so te reserves will be cut by an estimated factor of
21 two, but this cutting in reserve will not take place in the
22 80-acre tract in the west half of the southwest quarter of
23 22.

24 Q You have also shown us on Exhibit Number
25 One a brown shaded line running vertically on the exhibit.
26 Would you describe for us what that is intended to portray

A I drew this a month and a half ago when this hearing first came on and have not changed it, and -- but I still go by it because there's -- in this immediate area there is no Jalmat gas production to the east of that line.

But I notice that Mr. Hartman is not drilling his wells or his proposed location over in B, Unit B, or Unit G, or to the north in Section 22 in Unit -- in Unit I or O, because he's too close to that pinchout line where the productive sands turn to anhydrite.

Do you concur or disagree with Mr. Ay-

Do you concur or disagree with Mr. Ay-

1
2 cock's opinion as to the approximate location of the poros-
3 ity pinchout in the Jalmat as he's depicted it on his Exhi-
4 bit Number Six?

5 A I would move this over approximately one
6 40-acre tract and put it down through almost where this blue
7 line comes through.

8 Q Upon what basis would you relocate that
9 line?

10 A The reason I'd move it over there, there
11 has never been in Section 22 and 27 any Jalmat wells that
12 have been drilled or produced in this -- in this area.

13 Q In examining the cross sections that have
14 been depicted in this case, do you find any of those that
15 would cause you to believe that the Jalmat can be produced
16 in economic quantities to the east of the line that you pro-
17 pose to draw?

18 A No, I do not, I do not think it -- you
19 could produce gas in economic quantities to the east of this
20 line.

21 Q What is your explanation for the wells
22 that are shaded farther to the east there in the green on
23 Mr. Aycock's --

24 A All right, as the sand turns to anhy-
25 drite, you are going to have a few stringers, and you're
getting higher, you're going to have a few stringers that

1
2 carry through, but on -- and you could, you could try that
3 and you might get a well, but the total cumulative of these
4 wells are very nil because, as you know, most Jalmat gas
5 cums for this date, they're always in the billions and we're
6 dealing with a lot less gas over here.

7 Q Would you, sir, take the marking pen that
8 I gave you and draw for us on that same exhibit where you as
9 a petroleum geologist would conclude would be the productive
10 Jalmat limits insofar as it affects Mr. Hartman's proposed
11 unit?

12 A And this blue line I drew will almost be
13 the same as the brown line on my Exhibit Number One.

14 MR. KELLAHIN: Mr. Examiner,
15 I'd like to have Mr. Burleson, if it's acceptable to Mr.
16 Carr, duplicate his opinion of where that boundary is on a
17 Commission copy of Exhibit Number Six.

18 In the alternative we can simply
19 mark this as another exhibit. I'm not sure that another
20 copy of the same exhibit --

21 MR. QUINTANA: I'll just switch
22 your exhibits here.

23 MR. CARR: We have no objection
24 to Mr. Burleson placing his interpretation with a blue line
25 on Hartman Exhibit Number Six.

Q Let's talk specifically now, Mr. Burle-

son, of your property to the west of Mr. Hartman's No. 4 Well.

When we look in the southeast quarter of Section 21, would you describe for us the size and the location of your nonstandard proration unit and what wells are dedicated to that unit?

A We have 120-acre proration unit called the Hadfield, which is made up of the south half of the southeast quarter and the northeast of the southeast quarter, which has two Jalmat producing wells, the No. 1 in Unit O that is producing approximately 20 MCF a month -- I mean, excuse me, 20 MCF a day, and is a stripper well, and the No. 2, which we recently worked over in May and the first part of June of this year, and have re-potentialized this well.

Q Let me direct your attention to Mr. Hartman's Exhibit Number One, and I'll hand you a copy of that exhibit, Mr. Burleson, and I'd like to direct your attention to the legend for the wells in your proration unit and if you'll look at that Exhibit Number One, would you correct for us, sir, what is the information that should be supplied for your well?

A All right. He has that the --

Q Excuse me, we're not all together. Mr. Hartman's Exhibit Number One.

All right, Mr. Burleson, we're all look-

1
2 ing at Mr. Hartman's Exhibit Number One now. Would you go
3 to the legend that describes your wells in your proration
4 unit in Section 21 and correct the information as you under-
5 stand it to be?

6 A All right. Under the Hadfield No. 1 it
7 says "reworked 5-85" and they have that on the wrong well.
8 That well has not reworked.

9 The Hadfield No. 2 was the one we rewor-
10 ked in May of 1985.

11 Q Would you describe for us after reworking
12 your No. 2 Well what in your opinion is the productive capa-
13 city for that No. 2 Well?

14 A I would like to give Exhibit -- Exhibit
15 Number Four.

16 All right, sir, I have marked the Commis-
17 sion Form C-122 as Exhibit Number Four?

18 A Yes.

19 Q Would you identify that for us?

20 A This is a C-122 test run on the -- on the
21 Hadfield No. 2 after this well was CO2 fraced with 65,000
22 pounds of sand and 30,000 gallons of water and CO2 equiva-
23 lent.

24 What this shows, this test was run by Mr.
25 Murray in Jal, and shows that this well had a potential AOF
of 1,000,547 and had flows -- I won't read all the flows,

but the bottom flow was 146 MCF a day.

Q Would you take a copy of the August, 1985 proration schedule for southeastern New Mexico, Mr. Burleson, and find your wells on that schedule and tell us what the allowable is for your 120-acre proration unit?

A The August allowable for this unit was 5866, I mean for a 120-acre unit in August the allowable is 5,866 MCF per month, and our August production from those two wells was approximately 4000 MCF, or about 1500 MCF under top allowable.

I have a comment about this. This is an old well drilled many years ago and we had pipe problems and abandoned it and at that time it qualified for a 108 price, and now we've gone into enhanced recovery and are being paid a 108 price.

And this will have a bearing on how much gas we pull out of there because of the price would be approximately \$5.00 an MCF.

Q The August schedule reflects production allowable numbers for this well prior to the CO2 treatment of the well?

A Does the August --

Q Was the restimulation or the recompletion of the well with the CO2 treatment --

A Yes, that --

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Q -- was it before or after this schedule?

A No, it was before this schedule, which was done at the end of May and first of June.

Q Would you describe for us, Mr. Burleson, what it is about Mr. Hartman's proposed application here that in your opinion adversely affects your interest on the adjoining property?

A A study of the wells and the geology in the area shows that Mr. Hartman's 80-acre tract will produce the largest volume of gas from this proposed unit, and since, if this is approved, he will have a much larger allowable than I do on my offsetting 120-acre tract, and I will -- and I will suffer because he has more poorly productive acreage assigned to that well.

Q Can you quantify for us the magnitude of the effect of Mr. Hartman's assigning 400 acres to his No. 4 Well in relation to the 120 acres assigned to your Hadfield No. 2 Well?

A 120 acres, it would be the difference between the .75 and the 2.5, since that's the same ratio of 120 acres to 400 acres.

Q In order to -- in order to balance the correlative rights across the common section line, Mr. Hartman -- Mr. Burleson, do you have a recommendation to the Examiner as to how he might place a limitation on Mr. Hart-

1
2 man's No. 4 Well so that drainage not otherwise compensated
3 by counter-drainage might be avoided?

4 A I would hope that he would turn down the
5 400-acre unit and let all of the acreage in Section 27, and
6 if he wishes, that part being the west half of the southeast
7 of 22, stay in one unit. It's always been one unit, and
8 leave Mr. Hartman with the 80-acre tract as a unit in Sec-
tion 22.

9 If he does grant part of this, I would
10 like to see that the well in Section 22, the one he just
11 recently completed, be granted only one-fifth of the allow-
12 able from that 400-acre unit.

13 Q What is the rational for limiting the al-
14 lowable to one-fifth of the unit allowable?

15 A There are five 80-acre tracts in this
16 proposed unit and so what it would be -- what it would in-
17 sure, that the gas that came off of the 80-acre tract would
not carry more than its share for that in Section 27.

18 Q Would that set the allowables for both
19 your wells in relation to Mr. Hartman's wells so that it
20 would more closely balance the reservoir in terms of drain-
21 age and counter-drainage across the common line?

22 A Yes, it would.

23 Q Mr. Nutter suggested awhile ago in his
24 testimony that it might be advisable for Mr. Hartman to have
25

1
2 a common meter for production on his Jalmat wells. Do you
3 have any comments or objections to that taking place?

4 A I certainly have an objection. What it
5 would show is you would never know what the well in Section
6 22 produced because it would be mixed with the other wells
7 and it's -- or you would be relying on other people's infor-
8 mation instead of that that is sent to the Oil Conservation
9 Commission.

10 That way we would never know what part of
11 the share of this unit that that new well pulled in the 80-
12 acre tract as comparison to the whole 40 -- 400-acre tract.

13 Q Are each of your wells in the Hadfield
14 proration unit separately metered?

15 A Yes, they are, and to my knowledge, I
16 know of no wells that are jointly metered and I think this
17 is just an expediting thing, but everybody has to wait on El
18 Paso and, you know, he can also wait two or three months,
19 too.

20 Q Mr. Burleson, is Mr. Hartman's No. 4 Well
21 in Section 22 completed in a correlative interval with your
22 No. 2 Hadfield Well?

23 A Yes, it is..

24 Q Anything else?

25 A No.

MR. KELLAHIN: Mr. Examiner,
that concludes my examination of Mr. Burleson.

We'll move the introduction at this time of his Exhibits One through Four.

MR. QUINTANA: Exhibits One through Four will be admitted as evidence.

Mr. Carr?

MR. CARR: Thank you, Mr. Quintana.

CROSS EXAMINATION

BY MR. CARR:

Q Mr. Burleson, let's look for a minute at just your Hadfield lease.

You have two wells on that lease at the present time.

A That is correct.

Q And as I understand your testimony, those wells are not now currently restricted by prorationing.

A No, they are not.

Q Together they produce about two-thirds of the allowable.

A For August, that's correct.

Q And you have dedicated 120 acres to those wells.

A That is correct.

Q And what you're recommending is that the

1
2 two wells on the offsetting Hartman tract have actually two-
3 thirds of the allowable that under your recommendation you
4 would be entitled to to the two wells in your tract.

5 A I don't understand that. Say that again.

6 Q Well, you're recommending an 80-acre al-
7 lowable for Mr. Hartman in the 80-acre tract in the south
8 half of the south -- the west half of the southwest of 22.

9 A No, I'm not. What I said is that they
10 get one-fifth of the total gas assigned, and that's a dif-
ference.

11 Q You are not recommending an 80-acre al-
12 lowable for that tract?

13 A No, they get one-fifth of the 400-acre
14 allowable.

15 Q But you've -- I want to be sure we under-
16 stand what your recommendation is.

17 You're not coming in and recommending
18 that an 80-acre allowable be assigned to that 80-acre tract?

19 A Only if they --

20 Q I'm just --

21 A Yes, I would like that if they turned
22 down this whole unit and go back the way it was.

23 Q One-fifth of the 400, though, would in
24 fact be an 80-acre allowable, would it not?

25 A No, because it gets on whether it's a

1
2 marginal or nonmarginal.

3 Q If you have a marginal allowable, that's
4 going to continually restrict those wells so isn't that
5 going to continue working to your benefit if the unit
6 doesn't earn the nonmarginal status as a whole, then you're
7 further restricting that by applying the one 80.

8 A That is correct.

9 Q And so you would have an 80-acre allow-
10 able or less, depending on how it's classified, where your
11 wells would enjoy a full 320-acre allowable in the offset-
ting 120-acre unit.

12 A No, it would enjoy 120 acre --

13 Q That's what I mean, I'm sorry, 120 as op-
14 posed to 80.

15 A That's true.

16 Q Now have you considered the development
17 of your 120-acre tract by locating an additional Jalmat well
18 in the 40-acre tract being the northeast quarter of the
southeast quarter of 21?

19 A Up until this time we have not.

20 Q Do you have any plans for that at this
21 time?

22 A Well, I -- I go on the premise that the
23 -- that when proration schedules were set up, that wells,
24 even a well drilled on a 640-acre tract, or 160-acre tract,
25 will drain that unit, and it's only Mr. Hartman's come in

1
2 who really wants to drill wells at a lot denser spacing, and
3 we may never drill a well on that in that 40-acre tract, and
4 we do have the option to.

5 Q And you have a cross section, a cross
6 section running really due north/south on the west half of
7 Mr. Hartman's proration unit.

8 A That's correct.

9 Q Did you compare the pay interval in, say,
10 the Hartman well to the pay interval that you encountered in
11 your wells in your Hadfield lease?

12 A On the amount of pay, the No. 2 Well was
13 not logged or drilled to the entire Yates section and I
14 would assume that it had a comparable amount of pay which is
15 offset to Mr. Hartman's 80-acre tract in Section 22.

16 Q But you don't have the data to construct
17 an --

18 A No.

19 Q -- east/west in that area.

20 A No, sir, I did not do that.

21 Q Now are the two wells in the -- the new
22 well Hartman drilled during the last couple of months and
23 the old El Paso Well in the west half of the southwest of
24 22, are they completed in the same interval?

25 A I have never seen Mr. Hartman's log so I
cannot say.

1
2 Q I want to jump to your cross section and
3 just -- this is just to clarify the record.

4 I think as you testified you indicated
5 that the two wells on the extreme right, you indicated the
6 production figures at the bottom in cubic feet; those are
7 actually MCF, are they not?

8 A Okay, they are, yes.

9 Q Now, we had your Exhibit Number Four,
10 which was the test run on, I believe, September 2nd, on your
11 well following -- your No. 2 Well following the CO2 work on
12 the well.

13 A That's correct.

14 Q Was that run in preparation for today's
15 hearing?

16 A It was run -- yes, it was run after we
17 had that other hearing and if we'd been able to have that
18 hearing that time, I would not have been able to have that
19 exhibit.

20 Q Now it shows an absolute open flow of
21 1,547. Is that MCF per day or --

22 A No, that is in MCF but that's calculated
23 absolute open flow.

24 Q Okay, now a calculated absolute open flow
25 is always a high figure, is it not?

A Well, you could never, that well would

1
2 never produce at that.

3 Q It wouldn't produce at that volume into
4 a pipeline.

5 A No, it sure wouldn't.

6 Q One last thing, to be sure we understand
7 your recommendation, your recommendation is to restrict the
8 allowable for the Hartman well in the west half of the
9 southwest of 22 to a figure that would in essence be an 80-
acre allowable or less.

10 A That is correct.

11 Q Even though the existing El Paso well
12 that it twins has enjoyed the 320-acre allowable for many
13 years.

14 A No, -- yes, yes, I do, because in between
15 in there was Antweil and I would -- this unit was set up in
16 the fifties as if you had had that whole 320 acres, but in
17 essence, what you'll find that Mr. Antweil drilled in there,
18 so you're now pooling all this other acreage in there and
19 expanding your world to get your ox out of the cart, because
20 you went in there thinking you had 320 acres, and now you
want a 400 acre.

21 Q Well, that Antweil well would have -- is
22 draining certain acreage in the south half, is it not?

23 A Yes, but you should have known -- you
24 should have known it was there when they made their deal
25

1
2 with El Paso.

3 Q And we should be entitled to offset that
4 drainage, certainly.

5 A Well, I would have no objection to you
6 drilling the 80-acre well in the southeast quarter of 22.

7 Q All right, thank you.

8 MR. CARR: No further ques-
9 tions.

10 CROSS EXAMINATION

11 BY MR. QUINTANA:

12 Q Let me -- I know Mr. Carr questioned you
13 on this, and I want to question you one more time, also, be-
14 cause I wrote this down and I want to clarify that you said
15 it.

16 What you recommended to me was an 80-acre
17 tract on the far west half of Section 22 on the southwest
18 quarter or a one-fifth allowable for the 400-acre nonstand-
19 ard proration unit for the specific well that's in question
20 that you say is going to possibly drain your area.

21 A No, it would have the right to only pro-
22 duce one-fifth of the gas assigned to that proration unit.

23 Q One-fifth of the allowable --

24 A Of the allowable.

25 Q -- of the allowable for the 400-acre non-

1
2 standard proration unit.

3 MR. QUINTANA: I have no ques-
4 tions of the witness.

5 Any further questions of the
6 witness?

7 MR. KELLAHIN: No, sir.

8 MR. QUINTANA: You may be ex-
9 cused.

10 MR. KELLAHIN: Mr. Quintana, we
11 have some closing comments if it would be appropriate.

12 MR. QUINTANA: Are there fur-
13 ther questions? Is there anybody further that wishes to
14 testify on this case?

15 In that case, I think we're
16 ready for closing statements.

17 MR. KELLAHIN: Mr. Quintana, I
18 appreciate the time you've devoted this afternoon to this
19 case.

20 I think the point we were
21 trying to make is very apparent to you at this juncture in
22 the afternoon, and I'll try to be concise and brief, it is
23 our position, we think it's unrefuted, that Mr. Hartman is
24 simply seeking to gain an unfair advantage over Mr. Burle-
25 son's acreage.

This is an interesting little

1
2 arrangement and it's not the first time he's tried this.
3 You can see by the unusual pattern he's devoted for a non-
4 standard proration unit, it is our contention and we believe
5 his own exhibits demonstrate that there's a significant por-
6 tion of this nonstandard proration unit that is not produc-
7 tive or has been depleted.

8 Why then the fuss? Who cares?

9 You care because the acreage factor is an integral, essen-
10 tial part of the proration formula by which you determine
11 how much of the allowable is going to be assigned to the
12 unit.

13 How has Mr. Hartman used that
14 to his advantage? The very essence of prorationing is one
15 that was established to protect the correlative rights of
16 offsetting operators, to maximize production, to avoid
17 waste. It's an intricate, complex system. It's made even
18 more difficult when Hartman as an operator gerrymanders non-
19 productive, drained acreage to jump the allowable factor by
20 increasing the acreage that goes into the calculation so
21 that he can take garbage wells and garbage acres and get one
22 decent well that is in close proximity to Mr. Burleson's
23 property, and produce that well under the allowable formula
24 at three times the rate that Mr. Burleson is allowed to pro-
25 duce from his own well.

There are several solutions to

1
2 this.

3 One is we can adjust the
4 drainage/counter-drainage across the common section line by
5 setting a specific allowable for Mr. Burleson's well as
6 well as Mr. Hartman's well. They're both the same distance
7 from the common line. We could set up a penalty on the al-
8 lowable for each of those wells.

9 As a matter of fact, you al-
10 ready have in place a mechanism where you can accomplish
11 that.

12 If you want to accommodate Mr.
13 Hartman on fixing up all this acreage, that's fine, but
14 let's do what Mr. Burleson suggests, let's preclude Mr.
15 Hartman from taking more than one-fifth of the allowable out
16 of the No. 4 Well, because if it exceeds that amount you put
17 Mr. Burleson to a distinct disadvantage.

18 I think we have come up with
19 the actual numbers now through Mr. Nutter's assistance and
20 Mr. Burleson's review of the August prorationing schedule.
21 Using the August schedule you can see Mr. Burleson has the
22 ability under the formula to produce 180 MCF a day.

23 By packing his acreage alloca-
24 tion with depleted and nonproductive acreage, Mr. Hartman is
25 allowed an opportunity under the formula to produce 630 MCF
a day.

1
2 There's a significant differ-
3 ence and if you let that take place without restricting it
4 in some fashion, you're going to create drainage from Mr.
5 Burleson's acreage that he cannot compensate by counter-
6 drainage.

7 We're not asking you for any-
8 thing unique, unusual. We're not breaking any new ground
9 here. The Commission has done this very same thing to Mr.
10 Hartman before.

11 In Case 8078 and Order No. R-
12 7525, a case very much like this case, the Commission, at a
13 full Commission hearing, restricted Mr. Hartman to an allow-
14 able that was in proportion to the acreage offsetting him.

15 In that instance he had a 480-
16 acre proration unit; he was allowed to produce no more than
17 one-third of that assigned allowable from the offending
18 well.

19 We have a precedent and we sug-
20 gest that it's appropriate to use that in this case.

21 Mr. Carr would have you believe
22 that there's nothing wrong in this. We contend that it's
23 very obvious that there is something wrong.

24 You ought not to do this.
25 We've suggested a solution, a remedy, that protects everyone
26 and allows Mr. Hartman to hold his acreage, to produce his

1
2 gas, but only in relationship to his ability not to take our
3 gas.

4 Thank you.

5 MR. QUINTANA: Mr. Carr?

6 MR. CARR: Mr. Quintana, Mr
7 Hartman is before you here today seeking approval of a non-
8 standard 400-acre unit in a pool that's spaced 640 acres.

9 He's seeking approval of two
10 unorthodox locations and a simultaneous dedication of a num-
11 ber of wells in that unit. The evidence presented here to-
12 day shows that when Mr. Hartman started to proceed with fur-
13 ther development of a 320-acre unit he discovered that be-
14 cause of various problems there was an 80-acre tract carved
15 out of the center of it and dedicated, in fact, to two
16 wells, and he has had to now come up with a plan to correct
17 the problem that he did not create, that he was confronted
18 with.

19 Mr. Antweil, who's surrounded
20 on three sides by the unit with a producing well, he's not
21 here opposing it, but Mr. Burleson is, and Mr. Burleson is
22 here seeking allowable limitations that would in fact not
23 equalize things but give him an advantage over Mr. Hartman.

24 He's concerned about drainage.
25 He's concerned about drainage from a tract that Mr. Hartman
has expended the money to properly develop; drainage from a

1 tract on which he could drill an additional well, a tract
2 upon which he had no plans to do that.
3

4 He came before you today and he
5 presented a cross section, a straight up and down
6 north/south cross section. He presented no testimony and
7 constructed no cross section showing you what happens when
8 we look at what happens in this area as we move from west to
9 east, but he gave you an opinion that a part of the acreage
to the east was nonproductive.

10 If you compare his Exhibit One
11 and the line he drew on our Exhibit Six it shows the width
12 of a 40-acre tract off even in his testimony here today, and
13 yet he comes in with only one cross section, only looking up
14 and down, and contends that the acreage on the eastern part
15 of this proration unit will not contribute productive gas
16 reserves to it, in the face of a Commission order, incident-
17 ally, that's already determined that the entire south half
of Section 22 will contribute to the old El Paso well.

18 He comes in and he says, oh,
19 yes, it's watered out. But the testimony shows you that the
20 Alpha 21 Well, when it was abandoned was producing approxi-
21 mately 40 MCF a day. I suggest you compare that with the
22 figures on Exhibit One. That wasn't a poor well in the area
23 and we submit to you that the water costs were too great and
24 that's what the testimony showed here today and that that
25

1 well can in fact be returned to commercial production.

2 We look at the well locations.
3 We're talking here today, or Mr. Kellahin is, about drainage
4 and not being able to offset it with counter-drainage.
5

6 He seems to be thinking that
7 drainage offset by counter-drainage means you drill exactly
8 at the same location across the same lease line and that's
9 not the case. You can have wells that don't exactly offset
10 one another but because of their proximity to the offsetting
11 tract do work out to offset drainage with counter-drainage,
12 and that's in essence what we have here.

13 The fact of the matter is if we
14 still want to think about it as Mr. Kellahin would like us
15 to, offsetting exactly the same distance from the same lease
16 line at the same position, we submit Mr. Burleson could do
17 that by drilling an additional well on this Hadfield lease.
18 That's not, however, what he proposes.

19 Mr. Kellahin comes before you
20 and he says, oh, yes, Hartman wants to throw some garbage
21 acreage in because he has a good well in the west half of
22 the southwest quarter of Section 22.

23 Mr. Hartman is also here before
24 you today proposing to drill a well almost in the center of
25 the entire 400-acre proration unit and I submit to you if
you'd like to take a look at the proration schedules, Mr.

1
2 Hartman doesn't drill garbage wells and he doesn't dedicate
3 garbage acreage. He has more nonmarginal factors in this
4 pool than anybody and the well he proposes to drill in the
5 center of this proration unit is going to be drilled because
6 he has looked at the evidence that Mr. Aycock prepared and
7 he has concluded, as the evidence shows, that this proration
8 unit is capable of contributing reserves throughout to that
9 well as well as to the other wells on the unit.

10 Now Mr. Kellahin says, of
11 course we have a precedent here, and he cites the Winningham
12 situation as an example; makes me wonder if maybe all non-
13 standard units look the same to Tom. Now that was a unit
14 that was a mile and a half long and had one well in the ex-
15 treme northern portion of it.

16 Here we have three to five
17 wells that will be producing from the unit.

18 Mr. Burleson comes in and he
19 has an interesting penalty he would like you to impose on
20 production on the well that Mr. Hartman recently completed
21 in Section 22; one-fifth of the allowable. That means that
22 if the unit as a whole remains nonmarginal forever, it gets
23 an 80-acre allowable. If it ever as a whole becomes nonmar-
24 ginal, it has less than an 80-acre allowable.

25 So if we look at that 80 acres
we have at best an 80-acre allowable, very likely and

1
2 through the long part of its producing life, less than an
3 80-acre allowable, and Mr. Burleson gets to offset it with
4 wells producing 120-acre allowable. That's how we protect,
5 according to Mr. Burleson and his attorney, Mr. Burleson's
6 correlative rights.

7 Well, I think this draws us to
8 a point where we have to look at what correlative rights
9 means. It doesn't mean Mr. Burleson has to produce the same
10 as Mr. Hartman or Mr. Hartman the same as Mr. Burleson.

11 It means that each of these
12 operators has the opportunity to produce his just and fair
13 share of the reserves and I submit what we have here today
14 is one operator who's incurred the cost of developing his
15 acreage and is prepared to go forward with the necessary and
16 -- and make the necessary investment to continue and finish
17 developing his 400-acre proration unit, and we have an indi-
18 vidual who won't come in and fully develop his own, and he
19 says the way to protect his correlative rights is to deny
20 the other operator the opportunity to develop his tract and
21 produce his.

22 We submit to you the only pos-
23 sible way that correlative rights as defined in our statutes
24 can be protected is to grant the application of Mr. Hartman
25 as it appears before you in the amended application which we
filed.

1
2 MR. QUINTANA: Thank you, Mr.
3 Carr.

4 I have no further questions of
5 the witness.

6 Are there other questions of
7 the witness? Further statements? Further -- anything else?

8 MR. KELLAHIN: We would like to
9 take the opportunity, Mr. Quintana, to submit a proposed or-
10 der for entry by the Division in this case.

11 MR. QUINTANA: I was just about
12 to ask that, Mr. Kellahin.

13 Mr. Carr, if you'd like to do
14 the same thing.

15 MR. CARR: Yes, we will do the
16 same thing.

17 MR. QUINTANA: If there is
18 nothing further in Case 8690, it will be taken under advise-
19 ment.

20
21
22
23
24
25
(Hearing concluded.)

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY
CERTIFY that the foregoing Transcript of Hearing before the
Oil Conservation Division (Commission) was reported by me;
that the said transcript is a full, true, and correct record
of the hearing, prepared by me to the best of my ability.

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. _____
heard by me on _____ 19____.

_____, Examiner
Oil Conservation Division