

STATE OF NEW MEXICO  
ENERGY AND MINERALS DEPARTMENT  
OIL CONSERVATION DIVISION  
STATE LAND OFFICE BLDG.  
SANTA FE, NEW MEXICO

9 April 1986

COMMISSION HEARING

IN THE MATTER OF:

Application of Monsanto Company for      CASE  
an unorthodox gas well location,      8758  
dual completion, and simultaneous  
dedication, Eddy County, New Mexico.

BEFORE; Richard L. Stamets, Chairman  
Ed Kelley, Commissioner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Oil Conservation      Jeff Taylor  
Division:      Legal Counsel to the Division  
Oil Conservation Division  
State Land Office Bldg.  
Santa Fe, New Mexico 87501

For the Applicant:      Owen M. Lopez  
Attorney at Law  
HINKLE LAW FIRM  
P. O. Box 2068  
Santa Fe, New Mexico 87501

For the State Land      Louhannah M. Walker  
Office:      New Mexico State Land Office  
P. O. Box 1148  
Santa Fe, New Mexico 87504-1148

## A P P E A R A N C E S

For Amoco Production: William F. Carr  
Attorney at Law  
CAMPBELL & BLACK P. A.  
P. O. BOX 2208  
Santa Fe, New Mexico 87501

## I N D E X

STATEMENT BY MR. LOPEZ 8

KEVIN T. PFISTER

Direct Examination by Mr. Lopez 9

Cross Examination by Mr. Carr 13

WILLIAM J. MORRIS

Direct Examination by Mr. Lopez 14

Cross Examination by Mr. Carr 20

Questions by Mr. Lyon 29

Cross Examination by Mr. Stamets 31

Redirect Examination by Mr. Lopez 33

Recross Examination by Mr. Carr 34

## I N D E X CONT'D

## JESSE ROBERTS

Direct Examination by Mr. Lopez	35
Cross Examination by Mr. Stamets	49
Cross Examination by Mr. Carr	52
Recross Examination by Mr. Stamets	61
Questions by Mr. Lyon	62

## ERNEST SZABO

Direct Examination by Ms. Walker	64
Cross Examination by Mr. Carr	71
Questions by Mr. Lyon	72
Cross Examination by Mr. Lopez	74
Cross Examination by Mr. Stamets	75
Recross Examination by Mr. Carr	76

## P. BRUCE STOCKTON

Direct Examination by Ms. Walker	77
Cross Examination by Mr. Carr	86
Questions by Mr. Lyon	90
Cross Examination by Mr. Stamets	91
Recross Examination by Mr. Carr	93
Cross Examination by Mr. Taylor	93

## I N D E X CONT'D

## STEPHEN P. SCHEFFLER

Direct Examination by Mr. Carr	95
Cross Examination by Mr. Stamets	114
Cross Examination by Mr. Lopez	114
Recross Examination by Mr. Stamets	125
Cross Examination by Mr. Taylor	137

## P. BRUCE STOCKTON (RECALLED)

Redirect Examination by Ms. Walker	137
Recross Examination by Mr. Stamets	140

STATEMENT BY MR. CARR	140
-----------------------	-----

STATEMENT BY MS. WALKER	145
-------------------------	-----

STATEMENT BY MR. LOPEZ	149
------------------------	-----

## E X H I B I T S

Monsanto Exhibit One, Land Map	11
Monsanto Exhibit Two, Structure Map	16
Monsanto Exhibit Three, Cross Section	17
Monsanto Exhibit Four, Isopach	17

## E X H I B I T S CONT'D

1		
2		
3	Monsanto Exhibit Five, Structure Map	18
4	Monsanto Exhibit Six, Production History	37
5	Monsanto Exhibit Seven, Graph	37
6	Monsanto Exhibit Eight, Tabulation	40
7	Monsanto Exhibit Nine, Tabulation	40
8	Monsanto Exhibit Ten, P/z Plot	41
9	Monsanto Exhibit Eleven, Map	43
10	Monsanto Exhibit Twelve, Map	44
11	Monsanto Exhibit Thirteen, C-107	46
12		
13	SLO Exhibit One, Map	66
14	SLO Exhibit Two, Map	67
15	SLO Exhibit Three, Map	68
16	SLO Exhibit Four, Map	69
17	SLO Exhibit Five, Decline Curves	79
18	SLO Exhibit Six, Summary	81
19	SLO Exhibit Seven, Calculation	84
20	SLO Exhibit Eight, Calculation	85
21	SLO Exhibit Nine, Comparison	138
22		
23	Amoco Exhibit One, Area Map	97
24	Amoco Exhibit Two, Structure Map	101
25		

## E X H I B I T S CONT'D

Amoco Exhibit Three, Document	103
Amoco Exhibit Four, Plat	103
Amoco Exhibit Five, Calculations	106
Amoco Exhibit Six, Structure Map	107
Amoco Exhibit Seven, Tabulation	108
Amoco Exhibit Eight, Calculation	110

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MR. STAMETS: We'll call Case 8758, application de novo Monsanto Company for an unorthodox gas well location, dual completion, and simultaneous dedication, Eddy County, New Mexico.

We'll call for appearances in this case.

MR. LOPEZ: Mr. Chairman, may it please the Commission, my name is Owen Lopez with the Hinkle Law Firm in Santa Fe, New Mexico, appearing on behalf of Monsanto Oil Company, and I have three witnesses to be sworn.

MS. WALKER: May it please the Commission, I'm Louhannah Walker. I represent the Commission of Public Lands, Santa Fe, New Mexico, and I have two witnesses to be sworn.

MR. CARR: May it please the Commission, my name is William F. Carr, with the law firm Campbell & Black, P. A., of Santa Fe.

We represent Amoco Production Company in opposition to the application of Monsanto, and we have one witness.

MR. STAMETS: Any other appearances in this case?

I'd like to have all of those

1 who are going to be witnesses stand and be sworn at this  
2 time, please.

3

4

(Witnesses sworn.)

5

6

7

8

9

10

11

MR. LOPEZ: Mr. Chairman, as a preliminary matter, I would like to call to the Commission's attention and for the record that as of March 31st Monsanto Oil Company amended its corporate title and with the Secretary of State of the State of Delaware, changing its name to BHP Petroleum Company, Inc..

12

MR. STAMETS: To who?

13

14

15

MR. LOPEZ: BHP Petroleum Company, Inc., which is a wholly owned subsidiary of Growth Infill Proprietary, Limited, an Australian corporation.

16

17

MR. STAMETS: Effective what date?

18

19

20

21

22

MR. LOPEZ: March 31st.

So if you feel this will need readvertisement, I'll leave that to the Commission, but the change in operator forms and all the rest have not begun to be in the process of transferring --

23

24

MR. STAMETS: Is what we have here simply a name change, still the same corporation?

25

MR. LOPEZ: It's still the same



1 corporation that belongs to a new company. (Not clearly  
2 audible.)

3 MR. STAMETS: I personally do  
4 not see any problem with that, so unless there is an objec-  
5 tion we will proceed.

6 MR. LOPEZ: And there's one  
7 other housekeeping matter, if it please the Commission.

8 The advertisement with respect  
9 to simultaneous dedication was incorrect and to the extent  
10 it's necessary we withdraw that because that's not an issue.

11 MR. STAMETS: Okay.

12  
13 KEVIN T. PFISTER,  
14 being called as a witness and being duly sworn upon his  
15 oath, testified as follows, to-wit:

16  
17 DIRECT EXAMINATION

18 BY MR. LOPEZ:

19 Q Would you please state your name and  
20 where you reside?

21 A Kevin T. Pfister. I reside at 3804 Will-  
22 ingham, Midland, Texas.

23 Q By whom are you employed and in what cap-  
24 acity?

25 A I'm employed by BHP Petroleum Company,

1 Inc., in Midland.

2 Q Have you previously testified before the  
3 Commission and had your credentials as an expert landman ac-  
4 cepted as a matter of record?

5 A I testified in the previous hearing on  
6 this case at the Examiner level.

7 Q Would you, then, briefly describe your  
8 educational background and work experience?

9 A All right. I have a Bachelor of Arts in  
10 zoology, which I obtained in 1975.

11 I also have a Bachelor of Science ob-  
12 tained in 1975 in education from the University of Wyoming.

13 In 1978 I received my law degree from the  
14 University of Wyoming.

15 In 1979 I began working as a landman for  
16 Cities Service in Tulsa and was transferred to Midland six  
17 months later.

18 I've been with Monsanto Oil Company now  
19 for close to six years, which is now BHP.

20 And I'm presently a Senior Landman with  
21 that company.

22 Q Are you familiar with the application of  
23 Monsanto in Case Number 8758?

24 A Yes, I am.

25 MR. LOPEZ: Are the witness'

1 qualifications acceptable?

2 MR. STAMETS: They are.

3 Q Mr. Pfister, I refer you to what's been  
4 marked Exhibit Number One and ask you to describe and ex-  
5 plain it.

6 A Exhibit Number One is a land plat which  
7 denotes the area that we'll be discussing today. Primary  
8 focus is directed into the southeast part of it; that's  
9 where we'll be primarily discussing today.

10 The map denotes a section which has been  
11 outlined in red, Section 36, Township 21 South, Range 23  
12 East. Within that section you'll note that there's a well  
13 there called the Lowe's State Well No. 1, which Monsanto is  
14 the operator of. That well has watered out.

15 In that section you'll see that there is  
16 some acreage that has been colored yellow. That acreage, as  
17 well as other acreage on the map which has been colored yel-  
18 low, that's basically Monsanto's lease and it's a rather  
19 spread out lease and that's -- that's why the plat is so big  
20 here.

21 The other lease is a Maralo lease and,  
22 like I said, we are the operator of the unit.

23 Also on the map you'll see a red arrow.  
24 That denotes the location for our proposed replacement well,  
25 the Lowe State Well No. 2. That well is to be located 330

1 feet from the south line and 330 feet from the west line.

2 The second area I want to discuss is the  
3 acreage which lies around Section 36.

4 In Section 35, Township 21 South, Rang 23  
5 East, is a lease that Amoco is the operator of. On that  
6 lease is the Federal "CS" Well No. 1.

7 I might go back, Section 36 is a State-  
8 owned section.

9 Section 35 is a Federal, Federal acreage.

10 In Section 2, Township 22 South, Range 23  
11 East, there is a well located on the property called the  
12 Monsanto Conoco State Well No. 1. That unit consists of two  
13 State leases and in Section 1, Township 22 South, Range 23  
14 East, ARCO is the operator of that unit. It is called the  
15 Smith Federal well. That well has also watered out.

16 That acreage is also Federal acreage.

17 At this time I'd like to discuss the  
18 spacing and the standard location requirements under the  
19 rule.

20 The standard gas pool units in the Indian  
21 Morrow Gas Pool, the Indian Basin Upper Pennsylvanian Gas  
22 Pool, is 640 acres.

23 The standard location for any well drill-  
24 ed within these formations is 1650 feet from the lease  
25 lines and no closer than 330 feet to any governmental quar-

1 ter quarter section.

2 Q Does that conclude your testimony?

3 A Yes, it does.

4 Q Was Exhibit One prepared by you or under  
5 your supervision?

6 A Yes, it was.

7 MR. LOPEZ: Mr. Chairman, I  
8 tender Monsanto's Exhibit Number One.

9 MR. STAMETS: The exhibit will  
10 be admitted.

11 MR. LOPEZ: That concludes our  
12 questions of this witness.

13 MR. STAMETS: Are there ques-  
14 tions of the witness? Mr. Carr.

15

16 CROSS EXAMINATION

17 BY MR. CARR:

18 Q Mr. Pfister, what the two primary objec-  
19 tives in the proposed well?

20 A I think they're Morrow and Upper Pennsylv-  
21 anian.

22 Q And your testimony as to the spacing  
23 would apply to each of those pools.

24 A Yes.

25 Q If I understood your testimony, if we

1 look at the proposed location, it's offset to the west by a  
2 tract that's Federal acreage.

3 A Yes.

4 Q To the south by Federal acreage and to the  
5 southwest by State acreage.

6 A That's correct.

7 MR. CARR: I have no further  
8 questions.

9 MR. STAMETS: Any other ques-  
10 tions of the witness?

11 He may be excused.

12 MR. LOPEZ: Mr. Chairman, I now  
13 call Bill Morris.

14

15 WILLIAM J. MORRIS,  
16 being called as a witness and being duly sworn upon his  
17 oath, testified as follows, to-wit:

18

19 DIRECT EXAMINATION

20 BY MR. LOPEZ:

21 Q Will you please state your name and where  
22 you reside?

23 A My name is William J. Morris and I reside  
24 in Midland, Texas.

25 Q By whom are you employed and in what cap-

1 acity?

2 A I'm a petroleum geologist employed by BHP  
3 Petroleum Company.

4 Q Are you familiar with the application of  
5 Monsanto in Case Number 8758?

6 A Yes, sir, I am.

7 Q Would you briefly describe your educa-  
8 tional experience and work experience, as well?

9 A I have a Bachelor of Science in mathema-  
10 tics from Superior State College.

11 I have a Bachelor of Science and a Master  
12 of Science in geology from Michigan State University.

13 I have seven and a half years of exper-  
14 ience as a petroleum geologist, working in Midland, Texas,  
15 the last five years of which have been with Monsanto Oil  
16 Company.

17 Q Did you previously testify in the origi-  
18 nal hearing in this case and have your qualifications as an  
19 expert petroleum geologist accepted?

20 A Yes, sir, they were.

21 MR. LOPEZ: I offer Mr. Morris  
22 as an expert petroleum geologist.

23 MR. STAMETS: Without objection  
24 he's considered qualified.

25 Q Mr. Morris, I refer you to what's been

1 marked Monsanto's Exhibit Number Two and ask you to identify  
2 and explain it, please.

3 A Exhibit Number Two is a structure map on  
4 top of the Cisco formation in the area of the Indian Basin  
5 Field.

6 I'd like to point out that the field is  
7 defined by a fault marked with the dotted line on the wes-  
8 tern portion of the map. It is controlled by lateral facies  
9 changes from dolomite to limestone to the north and to the  
10 south, and it is controlled down dip by water production.

11 You can see on the map the two shaded  
12 portions, a blue area and a red area.

13 The blue area is that portion of the  
14 reservoir that was watered out prior to 1976 and the blue  
15 colored wells are the wells that control that information.

16 The red colored area is that area that  
17 has seen the water encroachment up to the first part of 1986  
18 and the red colored wells are those that have watered out  
19 prior to 1986, and the wells colored in green are those  
20 wells that are making currently better than 20 barrels of  
21 water per day and should be the next wells to water out.

22 I'd like to point out that the lease in  
23 question is colored in yellow. That is Section 36 of Town-  
24 ship 21 South, Range 23 East. On that section is the Mon-  
25 santo No. 1 Lowe State and Monsanto is applying for an



1 unorthodox location that's located 330 from the south and  
2 the west lines of that section to replace our current well.

3 This location is optimally located to re-  
4 cover the remaining reserves that exist under our lease and  
5 we are asking for the right to produce the reserves that are  
6 under our lease.

7 Q I now refer you to what's been marked Ex-  
8 hibit Number Three and ask you to identify and explain that.

9 A Okay. Exhibit Number Three is a north-  
10 east/southwest structural cross section that goes through  
11 Monsanto's lease and the center well in that cross section  
12 is the Monsanto No. 1 Lowe State.

13 You can see a red shaded portion on that  
14 cross section. This is the area that has been invaded by  
15 the water and the blue shaded portion of the cross section  
16 is that part of the reservoir that is still producing gas  
17 and has not been invaded by the water.

18 The original gas/water contact of -3750  
19 is shown by a red line that goes through the red portion of  
20 that cross section.

21 As you can see, the water has risen ap-  
22 proximately 200 feet within the reservoir.

23 Q Now I ask you to turn to what's been mar-  
24 ked Exhibit Number Four and explain and identify it.

25 A Exhibit Number Four is an Ispach map of

1 the Cisco reservoir. The parameters used to construct this  
2 map was a 3 percent porosity cutoff of all the footage with-  
3 in the reservoir above the original gas/water contact.

4 As you can see, Monsanto's well had 111  
5 feet of porosity better than 3 percent above the original  
6 gas/water contact.

7 The main purpose of this exhibit is that  
8 it was used by our Engineering Department to calculate volu-  
9 metric and reserve calculations.

10 Q Okay. I now ask you to refer to what's  
11 been marked Exhibit Number Five and identify and explain  
12 that.

13 A Okay. Exhibit Number Five is a structure  
14 map of the Morrow formation in the Indian Basin Field. Mon-  
15 santo's lease in Section 36 again is colored in yellow and  
16 all producing Morrow wells are colored green, with the cumu-  
17 lative production from each of these wells written in red  
18 and you can see Monsanto's well produced 1/2 of a BCF and  
19 1000 barrels of oil prior to being shut-in in 8 of 1984.

20 I would like to point out that the Morrow  
21 is the secondary objective in this application. If we were  
22 to -- a primary location for the Morrow here would be lo-  
23 cated on the eastern portion of Section 36 that would be  
24 closer to the Flag-Redfern well that made 3.1 BCF of gas.

25 As I mentioned, the Monsanto well is a

1 poor producer, having only 1/2 a BCF and we do not antici-  
2 pate making great reserves in the unorthodox location that  
3 we have proposed but would like to drill it to there and  
4 prevent any waste and produce the Morrow formation here.

5 If a good well is encountered, it will  
6 only help offsetting operators by proving up their acreage  
7 as well.

8 Q Do you have an opinion as a result with  
9 respect to what sort of penalty factor the Commission should  
10 consider for Morrow production in the event it approves your  
11 application for unorthodox well location?

12 A It's my opinion that the Morrow location  
13 -- the proposed location is very risky for Morrow and it  
14 really should be considered as a wildcat well and that if  
15 any penalty should be imposed, it should be imposed against  
16 statewide rules as opposed to field rules of the Indian  
17 Basin Pool.

18 Q Were Exhibits Two through Five prepared  
19 by you or under your supervision?

20 A Yes, sir, they were.

21 MR. LOPEZ: Mr. Chairman, I'd  
22 like to tender Monsanto's Exhibits Number Two through Five.

23 MR. STAMETS: Any objection?

24 MR. CARR: No objection.

25 MR. STAMETS: The exhibits will

1 be admitted.

2 Q Does this conclude your testimony, Mr.  
3 Morris?

4 A Yes, sir.

5 MR. LOPEZ: We have no further  
6 questions of this witness.

7 MR. STAMETS: Are there ques-  
8 tions of Mr. Morris?

9 Mr. Carr.

10

11 CROSS EXAMINATION

12 BY MR. CARR:

13 Q Mr. Morris, I would direct your attention  
14 first to your Exhibit Number Two. As I understand your tes-  
15 timony, the area shaded in red is the area that has watered  
16 out prior to 1986?

17 A Right; prior to the first portion of this  
18 year, so my information that I had available to me.

19 Q And this is your interpretation based on  
20 the data that you have available to you.

21 A Right; correct.

22 Q If we go to the well in Section 23, the  
23 well which is shaded in green, you have drawn the watered  
24 out area and your interpretation runs virtually through that  
25 well spot, is that correct?

1           A           That is correct.

2           Q           And that well as the present time is pro-  
3   ducing water.

4           A           Yes, it is.

5           Q           In fact, that well is producing about 58  
6   barrels of water a day, isn't that correct?

7           A           The information I have, that may be cor-  
8   rect, is 1730 barrels of water a month; that may calculate  
9   to the same number.

10          Q           So you've placed the -- your interpreta-  
11   tion places the oil/water contact, or gas/water contact, at  
12   that particular point.

13                    If we drop down to Section 6 to the south  
14   and east of the proposed location, there also is a well in  
15   that section that has been shaded green, is that correct?

16          A           That is correct.

17          Q           That well is also producing water, is it  
18   not?

19          A           Yes, it is.

20          Q           That well is making approximately how  
21   many barrels of water a day, if you know?

22          A           For November of 1985 that well made 982  
23   barrels in that month of water.

24          Q           Even though that well is producing 982  
25   barrels of water a month in November, you have decided to

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

place the contact substantially south of that.

A I wouldn't call that substantially south. It's -- you know, there is a little bit of room for interpretation in that; could put that water right through that area or closer to it, if you desired.

Q In essence, a different geologist with different -- with the same facts would construct a different interpretation.

A But basically this is not interpretation.

Q But some other geologist might read it differently.

A Perhaps a little bit differently, yes.

Q Now the proposed location is 330 feet from the common lease line separating Sections 35 and 36. That's approximately 80 percent closer to the lease line than is permitted by the special pool rules for the Cisco in this area, isn't it?

A I believe that is probably correct based on linear basis.

Q It also would be 80 percent too close to that common lease line in the Morrow formation, would it not?

A Yes.

Q By moving to this location Monsanto is

1 able to locate that well at virtually the highest structural  
2 point practical in Section 36.

3 A Based on my interpretation that is cor-  
4 rect; that would be the optimum location to recover any re-  
5 serves that remain on our lease.

6 Q Could we go now to your Exhibit Number  
7 Three, which is the cross section.

8 As I understand what you've done here, is  
9 the area that is shaded in red is that portion of the reser-  
10 voir in this area that has experienced -- well, let's see,  
11 there's a red line that shows the original gas/water contact  
12 and then the area above that shaded in red is the area that  
13 has experienced water encroachment.

14 A That is right.

15 Q And the top of the red is the current  
16 gas/water contact.

17 A Right.

18 Q And the red line in the center of the red  
19 section is the original gas/water contact.

20 A Correct.

21 Q Now on this log -- on this well -- on  
22 this cross section you have logs for the Amoco well in Sec-  
23 tion 35 and also the Monsanto well, old Monsanto well in  
24 Section 36. Have -- could you -- will you look at the qual-  
25 ity of the pay section in each of these two wells and in

1 terms of the quality of the zone itself, these zones are  
2 fairly comparable, are they not?

3 MR. STAMETS: Mr. Carr, my  
4 cross section, I don't believe has the well in 35.

5 MR. CARR: All right. All  
6 right.

7 Q Mr. Morris, have you reviewed the log on  
8 the Amoco well in Section 35?

9 A Yes, sir, I have.

10 Q And have you compared that to the Monsan-  
11 to well in Section 36, and the pay sections are fairly com-  
12 parable, are they not?

13 A Yes, they are.

14 Q How many feet of pay are there in the  
15 Monsanto well in Section 36?

16 A Based on a 3 percent cutoff, which is  
17 shown on the -- my, I believe it's Exhibit Number Four, the  
18 Cisco net pay Isopach, I have 111 feet of porosity, of net  
19 pay.

20 Q I'm sorry I couldn't hear you.

21 A 111 feet.

22 Q That is the Monsanto well.

23 A Right.

24 Q If we go again to Section 35 now and look  
25 at the feet of pay in the Amoco well, you have 264 feet of



1 pay, do you not?

2 A That is correct.

3 Q So you have a larger section over in Sec-  
4 tion 36 to -- I'm sorry in Section 35 than you do in Section  
5 36.

6 A Yes. I'd like to point out a couple of  
7 important facts concerning those two wells.

8 Based on a 3 percent cutoff above the net  
9 -- above the original gas/water contact, Amoco's well does  
10 have 264 feet of net pay and Monsanto's well in Section 36  
11 has 111 feet.

12 3 percent has generally been accepted by  
13 most operators in the field as the accepted cutoff value.

14 If one were to use a 6 percent cutoff in  
15 this field Amoco's well would have 59 feet of net pay above  
16 the original gas/water contact and Monsanto's well would  
17 have 70 feet above the gas/water contact, and the best poro-  
18 sity based on the sonic logs of these two wells, Amoco's  
19 best porosity is in the range of 8 to 10 percent and Monsan-  
20 to is in the range of 12 to 15 percent.

21 Q But the standard figure that is used by  
22 the industry, according to your testimony, is 3 percent.

23 A That has been generally what has been  
24 presented before the Commission, yes, sir.

25 Q Now, Mr. Morris, the Amoco well in Sec-

1 tion 35 is also at a structurally higher position than the  
2 Monsanto, is that not true?

3 A That is correct.

4 Q And it is farther away from water  
5 encroachment.

6 A Yes, that is correct.

7 Q Now if we looked at your Exhibit Number  
8 Four, which is your Isopach of the area, this is an Isopach  
9 above the original gas/water contact, the red line that runs  
10 through the center of the area shaded red on Exhibit Three.

11 A Correct.

12 Q Have you prepared an Isopach map, or map-  
13 ped the portion of the reservoir that is above the current  
14 gas/water contact?

15 A I have made one but I have not -- I do  
16 not have it at my disposal here.

17 Q There would be substantially less acreage  
18 or less substantially less reservoir above the current  
19 gas/water contact than above the original.

20 A That's right.

21 Q If we go to Exhibit Number Five, your  
22 structure map on the Morrow, you depicted a Morrow -- a  
23 fault traversing Section 36, crossing the northwest quarter  
24 of 36 and the southeast quartaer of 35.

25 Has any well in the area actually cut

1 this fault?

2 A Not to my knowledge.

3 Q This is your interpretation based on the  
4 general trends in the area as to the location of the fault.

5 A Right.

6 Q And it's possible that that fault might  
7 be further to the west or further to the east.

8 A That is correct. That is very subject to  
9 interpretation.

10 Q Is there any evidence that you have to  
11 show that this is in fact a sealing fault?

12 A No, sir, I do not.

13 Q Now, if we look at the Morrow reservoir,  
14 this is a -- would you characterize this as a homogeneous  
15 reservoir?

16 A The Morrow?

17 Q Yes.

18 A No, it consists of very thin lenses of  
19 sandstone that were deposited as delta sands and I would not  
20 consider them to be very continuous in this area.

21 Q In fact, if you get a Morrow well it de-  
22 pends on whether or not you're successful in intercepting  
23 one of those lenses, isn't it?

24 A That, as well as structural position, is  
25 -- both are very important factors.

1                   Q           It's possible that you can drill one Mor-  
2 row well and have a very poor producer and offset it with  
3 one that will be very good.

4                   A           That is very -- quite possible, yes.

5                   Q           It is a reservoir, therefore, that fluc-  
6 tuates substantially well by well.

7                   A           Yes, sir.

8                   Q           Now the spacing in the Morrow in this  
9 area under the special pool rules is one well per 640 acres.  
10 Do you think it would be wiser to treat this as a wildcat  
11 area?

12                  A           I do, since Monsanto's well is such a  
13 poor producer and it, I believe it was depleted in 1979, or  
14 essentially depleted.

15                  Q           Are there any other Morrow wells in the  
16 offsetting sections?

17                  A           Yes, sir, in Section 31, Flag-Redfern's  
18 well which was previously discussed.

19                  Q           So even though you'd like to treat this  
20 as a wildcat well, there is a Morrow well -- or wildcat  
21 area, there is a Morrow well on the offsetting spacing unit.

22                  A           Right; right. As you pointed out, the  
23 Morrow is a very risky type of reservoir and I feel that the  
24 closest well is a very poor and noneconomic well and I feel  
25 it should be considered as a wildcat venture.

1                   Q           If I also understand your testimony, you  
2 testified that it's possible to offset a poor well with a  
3 good well.

4                   A           That's true.

5                   Q           And if you drill and get a good well then  
6 there is no opportunity available to Amoco to come back and  
7 at that time seek a penalty, is there?

8                   A           I'm not familiar with the rule.

9                   Q           Thank you. That's all my questions.

10                               MR. STAMETS: Are there other  
11 questions of this witness?

12                               MR. LYON: I'd like to ask a  
13 question or two.

14                               MR. STAMETS: Mr. Lyon.

15

16 QUESTIONS BY MR. LYON:

17                   Q           Referring to your Exhibit Two showing the  
18 water encroachment in the Cisco, that encroachment does not  
19 seem to follow a uniform elevation, does it?

20                   A           Right. There's, perhaps, some slight  
21 tilting of the water table in there, but I think it's really  
22 affected by the gas withdrawals in the area, so each well it  
23 will come up structurally higher than in other areas.

24                   Q           And if -- if the contour which you show  
25 the gas/water contact, say, in Section 6, were followed

1 around here it would be commercially watered out. That's  
2 the --

3 A Yes, if that contour --

4 Q -- (not clearly understood) contour?

5 A Right. That is correct.

6 Q Do you think that this might indicate  
7 disproportionate withdrawals of gas?

8 A I don't know if it would or not; possibly  
9 could, I suppose.

10 Most of these have produced similar  
11 amounts of gas in the field, so, you know, it is a prorated  
12 gas field.

13 Q Referring then to your Exhibit Four, I  
14 believe that I heard you mention that you did not believe  
15 that the Morrow should receive a penalty for being --

16 A Well, I said I believe it's a wildcat  
17 type thing and if a penalty should be imposed, I would think  
18 that statewide rules would be more applicable than the field  
19 rules.

20 Q Well, I may not have heard your testimony  
21 on this point, but did you propose a penalty for the Cisco?

22 A No, I did not.

23 Q Why is that?

24 A I believe our engineer is going to pre-  
25

1 sent more detailed information on the Cisco and he'll be re-  
2 commending the penalty that our company --

3 Q So that will be discussed by a later wit-  
4 ness.

5 A Right.

6 Q All right. Now with regard to Exhibit  
7 Five, your fault in there that you show crossing the north-  
8 west portion of 36 and trending across Section 2, you have  
9 that State lease in Section 2, do you not?

10 A That is correct, yes.

11 Q Do you have plans to -- to drill a well  
12 in the eastern part of Section 2 if this well should be a  
13 good well in the Morrow?

14 A We have no current plans. We'd have to  
15 wait and see what the Morrow well does do.

16 We believe that the Morrow is going to  
17 be a sub-economic horizon here and we do not foresee drill-  
18 ing a Morrow well in Section 2.

19 Q All right, I believe that's all I have.

20

21 CROSS EXAMINATION

22 BY MR. STAMETS:

23 Q Mr. Morris, when you talk about any pen-  
24 alty for the Morrow being calculated on the statewide spac-  
25 ing, I presume you're talking about 320-acre spacing.

1           A           That's correct.

2           Q           And the footage location for a 320-acre  
3 drill site.

4           A           Right.

5           Q           And your real target here is the Cisco  
6 formation.

7           A           Right.

8           Q           And in the Cisco is there excellent  
9 drainage across the reservoir between wells?

10          A           The Cisco reservoir is pretty much con-  
11 sidered to be a very homogeneous type of reservoir, so you  
12 will be draining consistent drainage. Most of the wells  
13 should be in contact with each other.

14          Q           But the Morrow, I take it from your tes-  
15 timony, is not that way.

16          A           That is correct. You can see, these  
17 wells in 6 and 22 and 23 are very poor producers, and the  
18 well in 14, less than a mile away, has produced over 5 BCF  
19 of gas.

20                       So I think that shows right there that --  
21 the unpredictability of the Morrow.

22                       MR. STAMETS: Are there other  
23 questions of this witness?

24                       MR. LOPEZ: Mr. Chairman, I  
25 just have a couple on redirect.



## REDIRECT EXAMINATION

BY MR. LOPEZ:

Q Following up with Mr. Stamets, then, Mr. Morris, do you have an opinion with respect to what the capability of a down dip well is of greater reserves than an up-dip well offsetting?

A Well, I believe that a down dip well will not produce any gas that is -- well, it will only produce, or largely produce gas from the down dip direction within the Cisco formation.

Q And my second question is, in terms of a measurement of the producing performance of the wells in the Indian Basin in the Cisco formation, is it your opinion that a 6 percent cutoff is a more realistic (not understood) than a 3 percent, although a 3 percent, as you testified, is the commonly used one?

A I think 6 percent is -- breaks out the better quality of the -- the better quality of the reservoir.

I would like to say that all of the footage of the 3 percent map is not perforated. Generally it's just the upper portions of the Cisco formation that are perforated, and that's generally where your better quality of pay is at.

1 MR. LOPEZ: No further ques-  
2 tions.

3 MR. STAMETS: Mr. Carr.  
4

5 RECROSS EXAMINATION

6 BY MR. CARR:

7 Q Mr. Morris, you testified at the Examiner  
8 Hearing in this case, did you not?

9 A Yes, sir.

10 Q At that time your calculations were based  
11 on 3 percent cutoff, is that not correct?

12 A That is correct.

13 Q And you decided to move to a 6 percent  
14 figure when you started preparing for today's hearing.

15 A No, sir. I originally made a 6 percent  
16 map and then I went back and made a 3 percent map to conform  
17 with the past hearings.

18 Q And when did you originally make the 6  
19 percent map? For the last hearing?

20 A Yes, sir.

21 Q And so after looking at the 6 percent map  
22 and the 3 percent map, when you first presented your case  
23 you elected to use the 3 percent map.

24 A Because it was accepted by most of the  
25 operators in the field, yes.

1                   Q           Thank you.

2                               MR. STAMETS:   Any other ques-  
3 tions of the witness?

4                               He may be excused.

5                               Let's take a short recess.

6

7                               (Thereupon a recess was taken.)

8

9                               MR. STAMETS:   The hearing will  
10 come to order.

11                               Mr. Lopez?

12                               MR. LOPEZ:   Thank you, Mr.  
13 Chairman.

14

15                               JESSE ROBERTS,  
16 being called as a witness and being duly sworn upon his  
17 oath, testified as follows, to-wit:

18

19                               DIRECT EXAMINATION

20 BY MR. LOPEZ:

21                   Q           Would you please state your name and  
22 where you reside?

23                   A           My name is Jesse Roberts.   I reside in  
24 Odessa, Texas.

25                   Q           By whom are you employed and in what cap-

1 acity?

2 A I'm employed by BHP Petroleum. I would  
3 like to say Monsanto Oil Company but it's BHP, and my capa-  
4 city is Regional Production Engineer.

5 Q Have you previously testified before the  
6 Commission and had your qualifications accepted?

7 A No, I have not.

8 Q Are you familiar with the application of  
9 Monsanto in this Case No. 8758?

10 A Yes, I am.

11 Q Would you describe your educational back-  
12 ground and your work experience?

13 A I graduated from University of Texas at  
14 Austin in 1972 with a Bachelor's of Science degree in petro-  
15 leum engineering.

16 I went to work for Gulf Oil in West Texas  
17 and worked for them until 1975 at which time I worked for a  
18 small independent for about a year.

19 I went to work for Monsanto Oil Company  
20 in 1976 and have been with them since.

21 MR. LOPEZ: I tender Mr.  
22 Roberts as an expert petroleum engineer.

23 MR. CARR: No objection.

24 MR. STAMETS: He is considered  
25 qualified.

1           Q           Mr. Roberts, I refer you to what's been  
2 marked Exhibit Number Six and ask you to explain that exhibit.  
3

4           A           Exhibit Number Six is a production history,  
5 listed in chronological order of the Lowe State No. 1.

6                   The well was drilled in 1964 and was  
7 dually completed in the Cisco and the Morrow. Date of first  
8 production was in January of '66, and in 1979, early 1979,  
9 the perforations we had in the Cisco watered out after producing  
10 approximately 14.9 BCF and 135,000 barrels of oil.

11                   In September of 1979 the well was recom-  
12 pleted to upper perms within the Cisco section and the Morrow  
13 was acidized.

14                   In January of 1983 a compressor was installed  
15 on the well.

16                   In August of 1984 the Morrow finally depleted  
17 after producing a total of about 1/2 a BCF and 2000  
18 barrels of oil.

19                   In May of 1985 the upper perforations  
20 within the Cisco section watered out after producing an additional  
21 2.1 BCF and 6000 barrels.

22                   The total cumulative from the Cisco is 17  
23 BCF and 141,000 barrels.

24           Q           I now refer you to what's been marked Exhibit  
25 Number Seven and ask you to explain it.

1           A           Exhibit Number Seven is a graphical  
2 representation of the gas production history of the Lowe  
3 State No. 1 Well and a water/gas ratio. The gas on this  
4 graph is expressed in millions of cubic feet per month and  
5 the water/gas ratio is expressed in barrels of water per  
6 million cubic feet of production.

7                   You can see from the date of -- of --  
8 well, essentially 1970 through 1974 the well produced ap-  
9 proximately 120,000,000 cubic feet per month.

10                   Beginning the first part of 1975 the gas  
11 production began to decline, which was also reflected and  
12 was caused by the increase in water production. Water pro-  
13 duction prior to 1974 was essentially zero. Beginning in  
14 1975 the water/gas ratio increased from approximately one  
15 barrel per million to over 100 barrels per million in 1979.

16                   In 1979 the well was shut in several  
17 months while we evaluated a workover on the well.

18                   After the workover gas production essen-  
19 tially stabilized between 30 and 40 million feet per month  
20 while water production, although it was never completely  
21 shut off, essentially stabilized at 60 to 80 barrels per  
22 million cubic feet.

23                   Beginning in 1981 there was a slow, grad-  
24 ual increase in the water/gas ratio, which culminated in a  
25 ratio of approximately 300 in the later part of 19 -- well,

1 in the early part of 1985, after the well watered out.

2 Q I now refer you what's been marked Exhi-  
3 bit Number Eight and ask you to explain it.

4 A Exhibit Number Eight is a production tab-  
5 ulation from the Cisco and it essentially reflects the data  
6 that was on the previous exhibit, which was in graphical  
7 form.

8 Exhibit Number Eight shows production by  
9 year for the first nine years of life and thereafter it's  
10 production by month.

11 Gas sales are shown in MCF per month.  
12 Condensate production is shown in barrels per month. Water  
13 production in barrels per month, and then water/gas ratio is  
14 expressed in barrels of water per million cubic feet.

15 Q Okay, I now refer you to what has been  
16 marked Exhibit Number Nine and ask you to explain that.

17 A Exhibit Number Nine is a similar exhibit  
18 to what Exhibit Number Eight was. Exhibit Number Nine is a  
19 production tabulation of the Morrow formation listed by year  
20 from 1966 through 1985.

21 Shown on this exhibit are gas sales in  
22 MCF and condensate production in barrels.

23 The Morrow has produced approximately  
24 500,000 -- or excuse me, approximately 1/2 BCF and 1788 bar-  
25 rels of condensate.

1           Q           You've heard Mr. Morris' testimony. What  
2 is your opinion about a replacement well having any greater  
3 prospects of encountering greater reserves or production  
4 capability?

5           A           We -- we feel that essentially the Morrow  
6 is a fairly risky location at the location that our replace-  
7 ment well would be drilled at. There's always a possibility  
8 that we could get a very good Morrow well in that location  
9 but that is strictly a guesswork estimation.

10                   Just based on what we see in this section  
11 so far, which is 1/2 BCF well, we would estimate that the  
12 No. 2 Lowe State would probably be no better than the No. 1  
13 Lowe State, which only produced 1/2 BCF.

14           Q           Referring you to Exhibit Number Ten, I'd  
15 ask you to now explain it.

16           A           Exhibit Number Ten is what's commonly re-  
17 ferred to as a BHP/z versus cumulative production plot.  
18 This is a graphical representation of a material balance of  
19 the gas reservoir.

20                   The scales on this are on the Y axis  
21 shut-in bottom hole pressure divided by the Z factor and on  
22 the X axis the original gas in place.

23                   This type of plot is commonly used to  
24 project reserves for a particular gas well and it can also  
25 be used to project the original gas in place that that gas



1 well is -- is draining.

2 This particular exhibit shows that the  
3 original gas in place within our Lowe State No. 1 lease, or  
4 drainage area, is 32 BCF. The character of this curve is a  
5 straight line which projected downward through an original  
6 gas in place of 32 BCF. I believe in past literature the  
7 field has been described as a water drive or partial water  
8 drive. We feel that it is a very weak water drive and per-  
9 haps the water that is being produced within the field is as  
10 a result of water encroachment rather than a strong water  
11 drive, as such.

12 The 32 BCF figure of original gas in  
13 place, of course, is a material balance estimate.

14 We also did a volumetric estimate where  
15 we took the reservoir characteristics, such as porosity,  
16 pressure, and temperature, and projected a volumetric origi-  
17 nal gas in place.

18 Volumetrically we arrived at approximate-  
19 ly 36 BCF, which compares to the 32 BCF through the material  
20 balance.

21 We've presently produced 17 BCF within  
22 this drainage area and subtracting out the 17 BCF from  
23 either the 32, which gives 15 BCF, or subtracting the 17 BCF  
24 from the 36 volumetric original gas in place, which gives 14  
25 BCF, we would estimate that there's between 11 and 14 BCF of

1 gas remaining within this drainage area.

2 Q Okay. I now refer you to what's been  
3 marked Exhibit Number Eleven and ask you to explain and  
4 identify it.

5 A Exhibit Number Eleven is a map showing  
6 the Indian Basin Field. Our Lowe State lease is outlined in  
7 yellow, the key in this particular map. If we would refer  
8 to the well in Section 35, which is just to the west of our  
9 Section 36 well, beside that Amoco well there are several  
10 numbers. The number 27.2 represents the cumulative produc-  
11 tion from that well in BCF of gas as of January the 1st,  
12 1986.

13 The 179 represents the condensate cumula-  
14 tive as of 1-1-75, 179,000 barrels in this case.

15 The 4.3 below the 27.2 represents the  
16 flow rate, and this is more or less an average flow rate in  
17 December of that particular well, 4.3 being 4.3 million  
18 cubic feet per day.

19 The 14 beside the 4.3 represents the oil  
20 or condensate production in that well, also in terms of --  
21 in terms of barrels of oil per day, and then the zero repre-  
22 sents the barrels of water per day production from that par-  
23 ticular well.

24 You can see from this particular exhibit  
25 the wells in Section 6 just to the southeast of our section,

1 the well in Section 1 to the south of our section, the well  
2 in Section 2 southwest of our section, the well in Section  
3 35 to the west of our section, and the well in Section 26,  
4 to the northwest of our section have all produced in the  
5 range of 24 to 27 BCF.

6 Our well, by contrast, has produced ap-  
7 proximately 17 BCF.

8 Most of the wells to the west of us and  
9 to the north and to the south of us, with the exception of  
10 the well in Section 1, are still producing at rates of 4-to-  
11 5-million per day.

12 Q I now refer you to what's been marked Ex-  
13 hibit Number Twelve and ask you to explain it.

14 A Exhibit Number Twelve is a similar map to  
15 what Exhibit Number Eleven was.

16 Again in Exhibit Number Twelve the Lowe  
17 State acreage is shown in yellow with the replacement well  
18 shown by an arrow in Section 36.

19 Exhibit Number Twelve represents the cum-  
20 ulatives both in terms of gas and oil as of January, 1975,  
21 the time at which the Lowe State No. 1 Well began to produce  
22 water.

23 The main conclusion to be drawn from this  
24 particular exhibit is that for the most part wells as of  
25 this particular time frame had produced 11 to 12 BCF on a

1 very consistent basis.

2 For example, our Lowe State had a -- had  
3 a cumulative at this time period of 11.3 BCF.

4 The well just to the east of our section,  
5 11.2; the well to the southeast, 12.1; the well just to the  
6 south, 12.4; the southwest offset, 11.9; the northwest off-  
7 set, 11.8; the well to the north in Section 25 had a cumula-  
8 tive of only 7 BCF at this time frame; however, that was  
9 never quite the well's -- it was never quite the caliber of  
10 well that the other wells within the main body of the field  
11 were. It's a fringe well and just didn't appear to have the  
12 producing capability.

13 The main purpose of showing this exhibit  
14 is that we would like to point out that as of 1-1-75 our  
15 well had fared very well competitively compared to the rest  
16 of the wells in the immediate area. They all had the same  
17 cums; however, comparing back to the previous exhibit, you  
18 can see that over the 10-year period between '75 and '85,  
19 our well, the Lowe State No. 1, had -- had dropped off as  
20 far as its competitive characteristics were concerned, this  
21 being due to the water production.

22 Q Okay. In connection with this applica-  
23 tion you request a dual completion and I refer you to what's  
24 been marked Exhibit Number Thirteen and ask you to explain  
25 what it shows.

1                   A                   Exhibit Number Thirteen is a Form C-107,  
2 Application for Multiple Completion, and attached to that is  
3 a wellbore sketch of our proposed Lowe State No. 2  
4 replacement well for the Lowe State No. 1.

5                   Referring to the sketch, what we propose  
6 to do with the Lowe State No. 2 is pretty much a standard  
7 program as far as the way a dual completion normally would  
8 -- would be made.

9                   We would propose to perforate the Morrow  
10 and the Cisco, of course, and separate the two zones with a  
11 permanent packer, which would be located at approximately  
12 9170 feet. Each zone would be produced out of a separate  
13 string of tubing and there would be a dual packer set at  
14 7280 feet.

15                  Behind the dual packer, or between the  
16 dual packer and the surface, we would have packer fluid,  
17 which would be fluid which is corrosion inhibited and we  
18 would also have pressure gauges at the surface on, of  
19 course, all strings of tubing, in addition to the annulus  
20 between the 5-1/2 inch and the strings of casing to monitor  
21 any potential tubing leak or packer leak.

22                  We would -- we would think that this is a  
23 very standard procedure industry-wide for a dual completion,  
24 and in fact this is the -- the type of completion we have in  
25 our Lowe State No. 1 Well.

1                   Q                   Were Exhibits Six through thirteen pre-  
2                   pared by you or under your supervision?

3                   A                   Yes, sir, they were.

4                   Q                   Mr. Roberts, I think you -- I believe you  
5                   testified in your opinion there remain approximately 11-to-  
6                   14 BCF of remaining recoverable reserves underlying Monsan-  
7                   to's acreage.

8                                       Based on the penalty received at the ini-  
9                   tial hearing in this case, what is your estimate of what  
10                  that penalty would allow Monsanto to recover?

11                  A                   Our original penalty was assessed at 36  
12                  percent allowable factor, or 64 percent penalty.

13                                      The 36 percent factor would allow us to  
14                  recover somewhere between 4 and 5 BCF of the reserves, the  
15                  remaining reserves that we have on our lease.

16                                      I arrived at that by multiplying .36  
17                  times 11 BCF or .36 times 14 BCF.

18                  Q                   Are there other factors that concern you  
19                  with respect to drilling this replacement well, such as the  
20                  water encroachment factor we discussed and the current  
21                  depressed condition of the gas market?

22                  A                   The -- the replacement well which we  
23                  have proposed, we -- we have spotted in what we feel is the  
24                  optimum location within our existing lease. Knowing that  
25                  gas markets currently are very bad, we feel that if we're to  
                  have any -- any type of chance whatsoever to produce the re-

1 serves on this lease, we feel that we must be in an optimum  
2 position and the 330 location from the south and west cor-  
3 ners represent that location.

4 Q Do you have an opinion as to what, if  
5 any, penalty should be applied and how it should be calcu-  
6 lated?

7 A We feel that the penalty should be based  
8 strictly on productive acreage within our Lowe State lease.

9 Planimetering the watered out portion of  
10 our lease from Bill Morris' previous exhibit, we arrived at  
11 approximately 400 acres that we feel are still productive on  
12 the lease and we feel that a penalty based on the 400 pro-  
13 ductive acres divided by the original 640 acres on the lease  
14 would be what we feel the maximum penalty that should be as-  
15 sessed in this particular case. That penalty would repre-  
16 sent 37 percent, which would leave us a 63 percent factor,  
17 allowable factor.

18 Q Is it your opinion that the granting of  
19 this application subject to not greater than the penalty  
20 you've just (not clearly understood) is in the interest of  
21 the prevention of waste and protection of correlative  
22 rights?

23 A Would you restate that, please?

24 Q Is it your opinion that the granting of  
25 this application for an unorthodox well location and ap-

1     plying no greater than the penalty you just recommended is  
2     in the interest of the protection of correlative rights and  
3     the prevention of waste?

4             A             Yes, that's my opinion.

5             Q             Do you have anything further to offer?

6             A             No, sir.

7                             MR. STAMETS: Would you like to  
8     offer your exhibits?

9                             MR. LOPEZ: Oh, yes, please. We  
10    want to enter Exhibits Six through Thirteen.

11                            MR. STAMETS: Without objection  
12    they will be admitted.

13

14

#### CROSS EXAMINATION

15   BY MR. STAMETS:

16             Q             Mr. Roberts, let me ask you a few ques-  
17    tions.

18                            Now you made some volumetric calculations  
19    as to the original gas in place based on original condi-  
20    tions.

21                            Have you made any calculations as to the  
22    gas in place under Section 36 at current pressures, the net  
23    acre feet of pay above the water contact, at this time?

24             A             No, sir, we haven't. We've considered  
25    doing that, but we -- we decided to use the original condi-



1        tions because in that particular case we would have a common  
2        denominator with our material balance.

3                Q                I presume then you've done no similar  
4        current calculations for the acreage which offsets Monsan-  
5        to's acreage to the south and to the west.

6                A                No, sir, we haven't.

7                Q                So at this time you could not tell the  
8        Commission how much gas there is under your tract as com-  
9        pared to how much gas there is the offsetting tracts.

10              A                No, sir, I haven't made those calcula-  
11        tions.

12              Q                In your Exhibit Number Ten, does that ex-  
13        hibit compensate in any way for the water encroachment?

14              A                No. This -- this exhibit here would sim-  
15        ply indicate that -- that the well is behaving on a volumet-  
16        ric fashion with no water drive or water encroachment af-  
17        fecting the points whatsoever.

18              Q                Mr. Roberts, do you have any information  
19        as to the percentage of gas which is recovered from the In-  
20        dian Basin Pool under a typical well?

21              A                In utilizing cumulative production or an  
22        ultimate production basis?

23              Q                Under normal operation how much of the  
24        gas you expect to recover, 85 percent, 90 percent, 95 per-  
25        cent?



1 questions of this witness?

2 Mr. Carr.

3

4 CROSS EXAMINATION

5 BY MR. CARR:

6 Q Mr. Roberts, if we go to Exhibit Number  
7 Six, it indicates that the Lowe State No. 1 Well was drilled  
8 in the second half of 1964, is that correct?

9 A That's correct.

10 Q By whom was that well drilled?

11 A That was drilled by Monsanto.

12 Q And if you've operated that spacing unit  
13 since 1964.

14 A Yes.

15 Q Now you were here when Mr. Morris testi-  
16 fied that in his opinion that drainage for the well at this  
17 location would come from primarily acreage down dip to the  
18 well, do you agree with that?

19 A I think that is a factor. There are --  
20 there are a number of factors that I believe play in where  
21 drainage actually occurs in this field.

22 There is dip and there is water encroach-  
23 ment, so utilizing those two knowns that we do know about  
24 this field, I do feel that for the most part drainage would  
25 occur around this wellbore and most likely would not come

1 from, say, down dip; however, there is some radial drainage  
2 involved, also.

3 Q Most likely would not come from down dip?

4 A I'm sorry, up dip. There is radial  
5 drainage involved also and this radial drainage, I feel, is  
6 as a result of the homogeneity of the reservoir. I really  
7 believe we have both factors in play here.

8 Q The fact that there would be a substan-  
9 tial down dip drainage would mean that once the hydrocarbon  
10 goes past the well location it's more difficult to recover.

11 A Yes.

12 Q This isn't a new theory --

13 A No.

14 Q -- not something we devised for the hear-  
15 ing today.

16 A No.

17 Q Now you encountered water problems start-  
18 ing back in 1974 in this well, didn't you?

19 A Yes.

20 Q And in the past twelve years you haven't  
21 considered drilling another well to protect your acreage  
22 from the migration of gas to adjoining properties.

23 A Prior to -- prior to watering out in 1985  
24 this was an economical well. We have been able to do a  
25 workover on the well and we had been able to install a com-

1 sor on the well to keep it going; however, in 1985 it became  
2 increasingly difficult.

3 One complication that we have in this  
4 particular field is that all the produced water has gone  
5 through a produced water system to Marathon and they have a  
6 salt water disposal well near their plant, which is only a  
7 mile or two to the west of our well, and that salt water  
8 disposal well only has a certain amount of capacity and Mar-  
9 athon tends to shut wells in when they start producing ex-  
10 cessive amounts of water.

11 So until 1985 it was an economical ven-  
12 ture to continue producing this well.

13 Q Whether or not it was economical prior to  
14 1985, the reservoir was functioning just like it has since  
15 1985 and hydrocarbons were moving basically from northeast  
16 to southwest due to water influx.

17 A Yes.

18 Q And Marathon did not until the other well  
19 was shut in, consider doing anything to protect this parti-  
20 cular acreage from this reservoir factor that was moving  
21 against -- no, I'm sorry --

22 A Monsanto?

23 Q -- Monsanto, I'm sorry, moving the hydro-  
24 carbons in a southwesterly direction.

25 A That's correct.

1           Q           Now if we look at your Exhibits Seven and  
2 Eight, those are production figures and basically what they  
3 show, in '74, if I understand them, is in '74 you started  
4 producing water in your Lowe State No. 1 and that the well  
5 watered out in 1985.

6           A           That's correct.

7           Q           And Exhibit Number Nine shows that the  
8 Morrow has ceased to produce.

9           A           Yes.

10          Q           Now if we go to Exhibit Number Ten, I'll  
11 try to follow up on some things that Mr. Stamets asked but  
12 not duplicate those.

13                      If I understand your testimony, you said  
14 looking -- when talking about testifying from Exhibit Ten,  
15 that there were, and I believe this is what you said, 11-to-  
16 14 BCF remaining within the drainage area.

17                      What did you mean by drainage area? Did  
18 you mean on your lease or within the acreage that would be  
19 drained by that well?

20          A           In this particular case I think the two  
21 are virtually the same. I indicated that 640 acres seemed  
22 to be a good figure for a drainage area and that coincided  
23 with the spacing in the field.

24          Q           If we look at the proposed well today, is  
25 it your testimony that it would drain 640 acres?

1           A           The No. 2 Well?

2           Q           Yes, sir.

3                       MR. STAMETS:    Could we go off  
4 the record, please, I've --

5

6                       (Thereupon a discussion was had off the record.)

7

8                       MR. STAMETS:    I'm sorry for the  
9 interruption, Mr. Carr, you may proceed.

10           Q           Mr. Roberts, we were talking about your  
11 testifying that there were 11 to 14 BCF of gas remaining  
12 within the drainage area, and my question was were you talk-  
13 ing about within Section 36 or were you talking within the  
14 drainage area, an area that will be drained by the No. 2  
15 Well?

16           A           I would say Section 36. That's -- excuse  
17 me, that's what my volumetrics were based on.

18           Q           Your volumetrics are based on original  
19 recoverable reserves.

20           A           Yes.

21           Q           And the substantial amount of water in-  
22 flux has occurred since you first drilled the well and en-  
23 countered original reservoir conditions.

24           A           That's true.

25           Q           And because of this encroachment there  
would be less than 11 to 14 BCF remaining there today.

          A           Yes.

1           Q           Now, if I understand your Exhibit Number  
2 Eleven, Exhibit Number Eleven shows the cumulative produc-  
3 tion in a number of wells in the area.

4                       Then we talked about Exhibit Number  
5 Twelve and, Mr. Roberts, I may not have understood your tes-  
6 timony, when you were going through wells on Exhibit 12  
7 there was a well in Section 25 just to the north of the sec-  
8 tion we're talking about. Did you somehow consider this a  
9 typical well or not a typical well for the reservoir?

10           A           I consider that to be a poor quality well.

11           Q           And what's that based on, a review of the  
12 logs?

13           A           It's based on its production history.

14           Q           And so -- but it has produced 9-1/2 BCF.

15           A           Yes.

16           Q           And you're passing judgment on that only  
17 on the volumes that have been produced by that well.

18           A           Yes, sir, that's true.

19           Q           If we go to Section 30 and we look at the  
20 well in Section 30, we find that that well has only produced  
21 15.4 BCF. Is that also not a typical well for the pool?

22           A           That well probably had the capability of  
23 being a typical well for the pool; however, it lies in the  
24 northeast direction and a down dip direction, and I feel  
25 that the reason that that well never has produced the 23 or



1 27 BCF that's typical for the rest of the well, the reason  
2 for that is the fact that it is closer to the water table.

3 Q Did you come up with an average cumula-  
4 tive production for the wells in this general area?

5 A I don't have an average number, as such,  
6 just a range.

7 Q And what would the range be?

8 A Under current conditions 23 to 28 BCF.

9 Q And you have disallowed in setting that  
10 range the wells that produce less than that to the north of  
11 the subject acreage.

12 A Yes.

13 Q And you're recommending that a penalty be  
14 imposed on the well based only on the productive acres which  
15 according to your interpretation remain in Section 36.

16 A Yes.

17 Q And the penalty that you're recommending  
18 would not in any way take into account any drainage that  
19 might be occurring from offsetting properties.

20 A No, it wouldn't.

21 Q And I believe you testified to this --

22 A Yes.

23 Q -- but it is your opinion, is it not,  
24 that a Cisco well in the area has a good opportunity, it's  
25 likely that it can drain 640 acres?

1           A           Yes.

2           Q           And with the Morrow can you make that  
3 same statement?

4           A           No, I really can't with the Morrow.

5           Q           It depends pretty much on the well.

6           A           Yes.

7           Q           Even though you anticipate that a well  
8 330 feet out of the corner of Section 36 will basically  
9 drain reserves that are on 36, in a homogeneous reservoir of  
10 this nature you would really expect there to be drainage  
11 from offsetting properties, would you not?

12          A           There, yes, there would, there would be  
13 interference.

14          Q           If I look at your -- and I don't know the  
15 number, it's your BHP/z -- Exhibit Number Ten, you've got  
16 basically a straight line here. Doesn't that indicate real-  
17 ly that you don't have a waterdrive situation, that the  
18 water is not pressuring up the formation? It's more of an  
19 encroachment situation?

20          A           I think that's probably a true statement.  
21 If it is a waterdrive, it's a fairly poor waterdrive, a weak  
22 waterdrive.

23          Q           In this situation with the information  
24 you have on the reservoir, are you aware of anything that  
25 really disputes a basically radial drainage pattern in this

1 (not clearly understood) homogeneous reservoir?

2 A Not particularly, unless -- unless this  
3 weak waterdrive does have some effect.

4 Q Would you -- you may have said this also,  
5 to calculate the recoverable reserves you used an 80 percent  
6 recovery factor. Is that what you testified to?

7 A Excuse me. I used a 500 pound -- let's  
8 see. I used a 500 pound abandonment pressure in my volumet-  
9 ric calculation.

10 Q So you're assuming that you'll be able to  
11 produce the well until you get to 500 pounds.

12 A Yes.

13 Q And you're assuming, therefore, that you  
14 won't have water encroachment prior to that time?

15 A Yes.

16 Q If you're unable to get an order with a  
17 penalty that in your judgment permits you to develop the ac-  
18 reage, do you have any other plans for it? Do you have  
19 plans for the Lowe No. 1?

20 A The Lowe No. 1 we have considered as a  
21 potential salt water disposal well. Other than that, I  
22 really have no -- no conception what the Lowe No. 1 would be  
23 used for.

24 Q Will you consider using it for a disposal  
25 well whether or not the application is granted today with an  
acceptable penalty?

1           A           Possibly, yes.

2           Q           What zone would you dispose into?

3           A           We really haven't even gotten that far  
4 with it yet.

5           Q           Would you consider the Cisco?

6           A           That, that's a difficult question. We just  
7 really haven't examined the well to the extent that we  
8 should in order to actually apply for a disposal permit.

9           Q           Both the Cisco and the Morrow in this  
10 area are governed by special pool rules, are they not?

11          A           Yes.

12          Q           Both are prorated?

13          A           Yes.

14                       MR. CARR: I have no further  
15 questions.

16

17                       RE CROSS EXAMINATION

18          Q           Mr. Roberts, I've got one other question  
19 on the Morrow formation, if that well were located on the  
20 southwest corner of the section, right smack dab on the  
21 line, and if there was radial drainage, how much of the gas  
22 would be coming off of the Monsanto tract?

23          A           Of course the sections are staggered just  
24 a little bit right here, but I'd say approximately a fourth  
25 of it.

1           Q           Would that sort of an analysis, perhaps,  
2 provide us another method of looking at a Morrow penalty,  
3 to, perhaps, draw a line from the nearest standard location  
4 to that section corner and -- and slide the scale from 100  
5 percent allowable down to whatever it would turn out to be  
6 with the far left point being a 25 percent allowable?

7           A           It could be, yes.

8                       MR. STAMETS: Any other ques-  
9 tions of the witness?

10                      Mr. Lyon?

11                      MR. LYON: I'd like to ask a  
12 question or two.

13

14 QUESTIONS BY MR. LYON:

15           Q           Mr. Roberts, referring to Exhibit Ten,  
16 that seems to be much discussed (not clearly understood),  
17 I'm having a little trouble with my arithmetic.

18                       As I read your scale, well, first let me  
19 mention that that exhibit does not identify the formation  
20 that you are --

21           A           No, it doesn't.

22           Q           This does apply to the Pennsylvanian, is  
23 that right?

24           A           Pennsylvanian, yes, sir.

25           Q           Now, your extrapolation indicates a re

1     serve of 32 BCF, is that right?

2             A             Yes.

3             Q             And you said that you had conducted volu-  
4     metric evaluations that indicate, did I understand, 36 BCF?

5             A             Yes, sir.

6             Q             And you've produced 17 BCF?

7             A             Yes, sir. Yes.

8             Q             Then what would be your estimated remain-  
9     ing reserves?

10            A            Just utilizing strictly Exhibit Number Ten  
11     with 500 psi abandonment pressure, which gives you 28 BCF,  
12     less the 17 BCF cum, that would give 11 BCF remaining re-  
13     serves.

14            Q            I see, so you based your -- your recover-  
15     able reserves at (not clearly understood)?

16            A            Yes, sir, at 500 psi.

17            Q            Okay, that's what I understood.

18                           MR. LYON: I believe that's all  
19     I have.

20                           MR. STAMETS: Any other ques-  
21     tions of this witness?

22                           He may be excused.

23                           We will recess the hearing un-  
24     til 1:00 o'clock.

25

(Thereupon the noon recess was taken.)

1 MR. STAMETS: The hearing will  
2 please come to order.

3  
4 ERNEST SZABO,  
5 being called as a witness and being duly sworn upon his  
6 oath, testified as follows, to-wit:

7  
8 DIRECT EXAMINATION

9 BY MS. WALKER:

10 Q Would you please state your name and  
11 where you reside?

12 A I'm Ernest Szabo. I reside in Albuquerque,  
13 New Mexico.

14 Q What is your occupation and by whom are  
15 you employed?

16 A I am a petroleum geologist employed by  
17 the State Land Office, Oil and Gas Division.

18 Q Are you familiar with the application of  
19 Monsanto Oil Company in Case Number 8758?

20 A Yes, ma'am.

21 Q Have you previously testified before the  
22 Commission and had your credentials as an expert petroleum  
23 geologist accepted as a matter of record?

24 A No, ma'am, I have not.

25 Q Would you please state your educational

2                   A                   My academic background consists of a  
3 Bachelor of Science in geology in 1950; a Master of Science  
4 in 1953; and a PhD awarded in 1968 at the University of New  
5 Mexico.

My professional background begins in 1953 with employment by the Sinclair Oil and Gas Company as an exploration geologist. I left Sinclair in 1965 as Staff Geologist and went back to the University of New Mexico for a PhD.

11 In '69 I accepted a position in Odessa as  
12 a Professor of Geology; left that position in 1974 as a  
13 tenured professor.

14 In 1974 I went back to industry and began  
15 my work in the Permian Basin area; had a two-year stint  
16 overseas on the Sahara Platform in Algeria; came back and  
17 again was gainfully employed in Midland, working the Permian  
18 Basin.

19 For a short period I was transferred to  
20 Denver by Great Western Drilling Company to work the over-  
21 thrust belt and then transferred back to Midland as a dis-  
22 trict geologist, which position I held until 1985 when I ac-  
23 cepted employment at the State.

24 Q Thank you.

**25** MS. WALKER: I tender the wit-





1 proposed Monsanto well to show its relationship to wells  
2 which surround it.

3 The base map is one we borrowed from Mon-  
4 santo, doubled their scale and used their structure contours  
5 which provide a background. The structure contours are on  
6 the Cisco. The map is on a scale of one inch equals 1000  
7 feet. Contouring is on 20-foot intervals with 100 foot (not  
8 clearly understood.)

9 Q Could you explain why you have two cir-  
10 cles colored in green, Dr. Szabo?

11 A Yes, ma'am. The concern of the State Land  
12 Office, in my opinion, is in the tracts which Monsanto has  
13 drilled and they're colored in green to show that they are  
14 essentially State tracts. And Marathon is colored blue;  
15 Amoco is colored yellow.

16 Q Okay. Would you please refer to what has  
17 been marked as State Land Office Exhibit Number Two, ident-  
18 ify the exhibit and explain it to us?

19 A State Land Office Exhibit Number Two is  
20 intended to show as best we can project with information at  
21 hand, the position of an oil/water contact in the producing  
22 area and also show the current active wells in the area.

23 The active producing wells are not  
24 colored and form a scalloped western margin. The water in-  
25 cursion is estimated to be along the 3530- contour.

Q I would ask you to refer to what has been marked State Land Office Exhibit Number Three, identify this exhibit and explain that exhibit to us.

The part that would fall upon what we consider possibly isolated or bypassed producing area, which has been colored in red, is shaded in a deeper pink color to show it's position over the reservoir.

In this case it would seem that the proposed well would recover possibly 50 to 55 percent of the producible reserves; however, it's my opinion that depletion is not a factor in the ultimate life of this well, but rather the encroachment of water.

This would not drain the entire area re-

1 presented in pink but would represent significant reduction.  
2 There would be large areas that would be outside the drain-  
3 age capabilities of this well circle.

4 Q Is it your opinion that the proposed Mon-  
5 santo well would drain gas from the pool that would other-  
6 wise remain unproduced?

7 A It would be my opinion, yes.

8 Q I will now ask you to refer to what has  
9 been marked as State Land Office Exhibit Number Four, iden-  
10 tify this exhibit, and explain the exhibit to us.

11 A Exhibit Number Four is intended to show  
12 the overlaps between the wells in the area and the proposed  
13 Monsanto well.

14 It was of interest to note that the Mara-  
15 thon well and the Lowe State well overlap each other signi-  
16 ficantly and yet they were part of a legal location. The  
17 overlap computed to approximately 150 acres or about 23-1/2  
18 percent of a 640-acre circle.

19 Looking at other areas, we note that it's  
20 quite common to find overlaps between producing circles.

21 In the case of the Lowe State Well and  
22 the Amoco Trigg we note the segment which is lettered A.  
23 This segment computed to 16 acres or about 2-1/2 percent of  
24 a producing area.

25 This segment would be abandoned to Amoco

1 if the Monsanto Lowe State Well is flooded; therefore it be-  
2 comes part of the producing or uncontested producing area of  
3 the Amoco Trigg.

4 In addition, we look to the south and we  
5 find the Monsanto Conoco State and its relationship to the  
6 Amoco Trigg with another overlapping area, labeled B.

7 Now this overlap computed to approximate-  
8 ly 20 acres, or roughly 3.1 percent of a 640-acre area.

9 Now we note also that there is a new  
10 factor introduced into the picture, which is the proposed  
11 well.

12 The proposed well, of course, we ignored  
13 the old Lowe State Well because it's to be abandoned if the  
14 new well is permitted, therefore there's no effect; however,  
15 the new well would overlap other production.

16 In one instance it would overlap the Mon-  
17 santo Conoco State by a total of 156 acres or roughly 24  
18 percent of the producing circle, and it would overlap the  
19 Amoco Trigg by 30 acres or 4-1/2, roughly 5 percent.

20 MS. WALKER: I now offer State  
21 Land Office Exhibits One through Four into evidence.

22 MR. STAMETS: These exhibits  
23 will be admitted.

24 Any questions of the witness?  
25 Mr. Carr.

## CROSS EXAMINATION

BY MR. CARR:

Q Dr. Szabo, will the Land Office call another witness who will talk about imposition of a penalty?

A Yes, or it will be suggested. There are certain reservations I have regarding the qualifications to recommend penalties.

Q As I look at your Exhibit Number Four, you've testified that a certain drainage area would be abandoned to Amoco.

A Yes, sir.

Q I didn't see what acreage you were identifying.

A That would have been labeled A.

Q That's labeled A on Exhibit 35. Without that -- without the new well A is going to be abandoned to Amoco? Is that what you're saying?

A If the Monsanto well is plugged, A would be essentially abandoned to Amoco.

Q And all of Section A is on the Amoco lease.

A That's true.

Q Okay. Now, you've drawn certain circles on -- depicting 640-acre drainage around various wells. Did

1 you draw a drainage circle around the nearest standard loca-  
2 tion that Monsanto could locate a well on and develop in  
3 Section 36?

4 A No, because that was not part of the ap-  
5 plication.

6 Q If I look at the way you have interpreted  
7 the water, the gas/water contact on your Exhibit Number Two,  
8 it appears to me that based on your interpretation of the  
9 placement of the water, that there would be a standard loca-  
10 tion 1650/1650 out of the southeast corner of Section 36  
11 available for a well to be drilled.

12 A Essentially that would be true, yes.

13 Q Thank you. I have nothing further.

14 MR. STAMETS: Any other ques-  
15 tions of this witness?

16 MR. LYON: Yes, sir.

17 MR. STAMETS: Mr. Lyon.

18

19 QUESTIONS BY MR. LYON:

20 A Referring to your Exhibit Four, you show  
21 three areas of overlapping arcs, Area A, Area B, and Area C.

22 Area B is bounded by a circle drawn  
23 around the Amoco Trigg Well, our proposed well, and by the  
24 No. 1 Conoco State.

25 Is the No. 1 Conoco State being abandoned

1           A           No, there was no intent to show the No. 1  
2 Conoco State abandoned. It is an active producer worthy of  
3 continued production for an unknown length of time.

4                   The Area B, which is circumscribed is  
5 part of the original scene in the field where the Conoco  
6 State is present, the Amoco Trigg Federal is present, but  
7 the proposed well is not there. In other words, Area B is  
8 an overlap between Conoco State and the Trigg Federal.

9           Q           Right, and there's none of that area that  
10 is exclusively drawn around the proposed location.

11           A           Eventually, if the proposed location is  
12 permitted, the eastern part of the circumference of the pro-  
13 posed well would overlap in this Area B.

14           Q           But since the area that's colored for  
15 Area B is strictly an overlap of the Trigg Federal Well and  
16 Conoco State Well, then I fail to see that there's any sig-  
17 nificance in relation to this proposed well.

18           A           There isn't until the proposed well is  
19 drilled, at which time it will overlap to the producing area  
20 again.

21           Q           But that area in that -- the area in Area  
22 B would not be lost to -- would not be forfeited by failure  
23 to drill that well, isn't that right?

24           A           No.

25           Q           You mean that's right.



1           A           Yes, you're correct in your statement;  
2 no, it would not be lost.

3           Q           All right, that's all I have. Thank you.

4                       MR. STAMETS: Any other ques-  
5 tions of the witness?

6                       MR. LOPEZ: If I may, just a  
7 couple of questions.

8

9                               CROSS EXAMINATION

10 BY MR. LOPEZ:

11           Q           Dr. Szabo, if I understand Exhibit Two,  
12 the area you've drawn as pink is the area that you computed  
13 that would not be drained by any of the existing wells.

14           A           Subscribing to the idea of radial drain-  
15 age the area in pink would be beyond the drainage reach of  
16 the actively producing wells and certainly would be beyond  
17 the capabilities of the shut-in wells because water  
18 encroachment would not predict -- permit up-lifting gas pro-  
19 duction.

20           Q           So then as I understand Exhibit Two with  
21 relation to Exhibit Three, unless the Monsanto proposed well  
22 is drilled, substantial waste could occur, again subscribing  
23 to the theory of radial drainage as shown on Exhibit Three,  
24 I guess.

25           A           That would be my interpretation, yes.

1 MR. LOPEZ: No further  
2 questions.

3  
4 RECROSS EXAMINATION

5 BY MR. STAMETS:

6 Q Dr. Szabo, why is the Land Office inter-  
7 ested in this application?

8 A First, of course, our interest is in pro-  
9 tecting the rights of the State, which -- we are landowners  
10 under the section in question.

11 We derive a certain income for the bene-  
12 ficiaries of the State from production derived from this  
13 section.

14 If we don't get the most efficient and  
15 maximum production out of the section, we are depriving the  
16 beneficiaries of the maximum income which could be derived  
17 from this, and at the same time we're, you might say,  
18 encouraging waste.

19 Q So the Land Office is interested in  
20 seeing the well is drilled in order for them to receive roy-  
21 alties from gas which underlies the section.

22 A The Land Office is interested in recover-  
23 ing the producable hydrocarbons under its section.

24 Q If the well were not drilled at all,  
25 would that gas migrate to other producing wells in the pool?

1           A           It is my opinion, yes, it would migrate  
2 up dip and be produced elsewhere, thus representing a signi-  
3 ficant loss to the State and its beneficiaries.

4           Q           So we're talking about more a correlative  
5 rights issue here than a waste issue.

6           A           Without waste or without correlative  
7 rights we can't consider waste and without waste we can't  
8 consider correlative rights.

9                       We are concerned with correlative rights,  
10 yes, as we know them.

11                       MR. STAMETS: Are there other  
12 questions of the witness?

13                       Mr. Carr.

14

15                       RE CROSS EXAMINATION

16 BY MR. CARR:

17           Q           Dr. Szabo, just to be sure I understand,  
18 you have been, as you've been constructing these models, as-  
19 suming we have a homogeneous reservoir and radial drainage  
20 particularly.

21           A           I think there's general agreement that  
22 the reservoir is homogeneous being a carbonate type of  
23 reservoir, yes.

24                       Radial drainage we assume as a factor in  
25 considering production allotments, allocations, and what

1 have you.

2 Q And your exhibits are based on the as-  
3 sumption of radial drainage?

4 A I would say 95 percent so, yes. There  
5 would be other background considerations, but we would as-  
6 sume that we are all draining 640 acres.

7 Q Thank you.

8 MR. STAMETS: Any other ques-  
9 tions of the witness?

10 He may be excused.

11 MS. WALKER: The State calls  
12 Bruce Stockton.

13  
14 BRUCE STOCKTON,  
15 being called as a witness and being duly sworn upon his  
16 oath, testified as follows, to-wit:

17  
18 DIRECT EXAMINATION

19 BY MS. WALKER:

20 Q Would you please state your name and  
21 where you reside?

22 A My name is Bruce Stockton. I reside in  
23 Santa Fe, New Mexico.

24 Q What is your occupation and by whom are  
25 you currently employed?

1           A           I am a petroleum engineer currently em-  
2     ployed by New Mexico State Land Office as such.

3           Q           Are you familiar with the application of  
4     Monsanto Oil Company in Case Number 8758?

5           A           Yes, I am.

6           Q           Have you previously testified before the  
7     Commission and had credentials --

8           A           No --

9           Q           -- as an expert petroleum engineer accep-  
10    ted as a matter of record?

11          A           No, I have not.

12          Q           Would you please state your educational  
13    and your work background?

14          A           Education, I hold a Bachelor of Science  
15    degree from the New Mexico Institute of Mining and Technol-  
16    ogy in engineering and an MBA degree from New Mexico State  
17    University.

18                      I am a Registered Professional Petroleum  
19    Engineer, registered in New Mexico.

20                      And experience, upon graduation from New  
21    Mexico Tech I spent three years as a reservoir production  
22    engineer with Texaco, Incorporated, two years as General  
23    Manager of a company called Corod, Incorporated, in Odessa,  
24    Texas; three years with Kaiser Steel Corporation as an eng-  
25    ineer; returning to obtain an MBA at New Mexico State Uni-

1       versity, I worked concurrently as an energy Research Asso-  
2       ciate at New Mexico State, and before coming to the Land Of-  
3       fice spent five years in New Mexico Energy and Minerals De-  
4       partment as an Energy Consultant.

5                               MS. WALKER:    Are the witness'  
6       qualifications accepted?

7                               MR. STAMETS:   Mr. Stockton, in  
8       what was your BS in?

9               A               The degree itself was in metallurgical  
10      engineering.

11                              MR. STAMETS:   So your exper-  
12      ience has been in petroleum engineering and you -- you are  
13      registered as a petroleum engineer?

14              A               Yes, I am a registered petroleum --

15                              MR. STAMETS:   Any questions?  
16      The witness is considered qualified.

17              Q               Mr. Stockton, I'll now ask you to refer  
18      to what has been marked as State Land Office Exhibits Five  
19      through Eight. Were these exhibits prepared by you or under  
20      your direction?

21              A               Yes, they were.

22              Q               Will you please refer to State Land Of-  
23      fice Exhibit Number Five, identify the exhibit, and explain  
24      it for us?

25              A               State Land Office Exhibit Five is -- con-

1 consists of four production decline curves, representing the  
2 wells which are found in Sections 35 and 36, Township 21,  
3 Range 23 East, and Sections 1 and 2, Township 22 South, 23  
4 East.

5 Just briefly, these curves indicate the  
6 production history of the four wells. As you can see by  
7 starting with the production curve for the Amoco Federal No.  
8 1 in Section 35, to date it has shown no discernable decline  
9 in hydrocarbon production and water production has held rel-  
10 atively stable.

11 I think that the -- the drop in oil pro-  
12 duction to zero in 1982 may be a data, mistake in the data,  
13 which <sup>is</sup> available to me.

14 Going on to the Monsanto Conoco State  
15 Well in Section 2, it too shows no discernable decline in  
16 production and water production is holding stable.

17 In the ARCO Smith Federal No. 1 Well,  
18 production decline started beginning about 1975 or '76, and  
19 water production began to increase during the same time  
20 period until in -- sometime in '85 water production became  
21 such that the well was apparently shut in.

22 In the Monsanto Lowe State Gas Com No. 1  
23 in Section 36, hydrocarbon production began its decline in  
24 1975 with an increase in water production.

25 In 1979 there's a decrease in production

1 indicating that the well was shut in while a workover was  
2 done, I presume in an attempt to shut off some of the water  
3 production.

4 As can be seen from this, from the water  
5 production subsequent to this workover, the attempt was not  
6 very successful and late this year, late last year, 1985,  
7 the well was shut in.

8 These curves, I think, indicate that in  
9 the western part of this four section area we have two good  
10 producing wells at this time. In the eastern part we have  
11 two wells which began decline and were eventually overcome  
12 by water.

13 They also indicate that, apparently, all  
14 the wells in this area do produce water.

15 Q Mr. Stockton, please refer to what's been  
16 marked as State Land Office Exhibit Number Six and I'll ask  
17 you to identify the exhibit and explain it.

18 A State Land Office Exhibit Number Six is a  
19 summary of the recoverable reserves in the four section area  
20 previously discussed, as well as their totals.

21 Attached to the summary, which is on top,  
22 are material balance calculations, the bottom hole pressure  
23 over z versus cumulative curve, and the Isopachous map which  
24 was used to do volumetric calculations for these four sec-  
25 tions.



Rows 1 and 2 indicate the recoverable in place reserves by both the volumetric and material balance methods for the four sections being discussed.

A            These are in place, original in place re-  
coverable reserves.

Rows 4 and 5 indicate the total remaining recoverable reserves for each of the four wells, as well as the total. The recoverable reserves in this case were estimated by subtracting from the original in place recoverable reserves the cumulative production.

By the volumetric method the total is 13.95 billion cubic feet, or BCF.

Rows 8 and 9 indicate the maximum amount

1 of gas that could be lost without additional drilling in  
2 this area. Once again for both volumetric and material bal-  
3 ance methods, Rows 8 and 9 are arrived at simply by sub-  
4 tracting Rows 6 and 7 from Rows 4 and 5.

5 Rows 10 and 11 indicate the expected re-  
6 covery that I believe the Monsanto well could achieve.  
7 These are based on both volumetric and material balance cal-  
8 culations.

9 The volumetric calculations are arrived  
10 from the figures above while the material balance sumw as  
11 arrived at by doing a separate bottom hole pressure over gas  
12 deviation factor z curve versus cumulative for that well,  
13 using what I believe to be the estimated bottom hole pres-  
14 sure and the decline in pressure that that well would exper-  
15 ience.

16 Let me discuss just briefly the -- how I  
17 arrived at the volumetric expected recovery of the Monsanto  
18 proposed well.

19 From the Amoco Section 35 I estimated  
20 that this well would recover no more than one quarter of its  
21 total remaining reserves, total remaining recoverable re-  
22 serves, or in other words, 9.97, from Row 4, divided by 4.

23 I estimated that their well will recover  
24 all the recoverable reserves in Section 36 and Section 1 and  
25 would recover no more than one quarter of the reserves found  
in Monsanto's Section 2, or .99 BCF. The total of these is

1 19.82 BCF.

2                   These figures, of course, are based on --  
3 on a pressure decline all the way down to approximately 500  
4 psi.

5                   Q           Mr. Stockton, please refer to State Land  
6 Office Exhibit Number Seven, identify it and explain it.

7                   A           Exhibit Number Seven is some of the same  
8 information that you found in the summary table of Exhibit  
9 Number Six. This is a volumetric calculation of the les-  
10 sees' reserves for the four sections in question and an es-  
11 timation of those which would be drained by the Monsanto un-  
12 orthodox location.

13                               Schematically represented here are the  
14 four sections. Within each section I have summarized the  
15 recoverable reserves in place, the cumulative reserves, and  
16 the remaining recoverable reserves, all in billions of cubic  
17 feet.

18                               Going to the bottom of this exhibit,  
19 I have taken the expected recovery using the volumetric ap-  
20 proach for the Monsanto proposed well, of 19.82 BCF, and  
21 from that calculated what I believe might be a production  
22 penalty that could be applied to this proposed well.

23                               This well could be expected to recover nor  
24 more than one quarter of the reserves from Amoco's Section  
25 35, or 9.97 BCF divided by 4.

1                   Using that figure, 2.49 BCF and dividing  
2 it by the expected recovery of the Monsanto well results in  
3 a suggested penalty of approximately 12.6 percent.

4                   Q           Please refer to State Land Office Exhibit  
5 Numer Eight and explain that.

6                   A           State Land Office Exhibit Number Eight is  
7 essentially the same as Exhibit Number Seven with the excep-  
8 tion that these calculations are based on the material bal-  
9 ance reserve calculations.

10                   Once again schematically presented are  
11 the recoverable reserves in place, the cumulatives and the  
12 remaining recoverable reserves.

13                   A suggested penalty using this method  
14 could be calculated by taking 20.83 BCF remaining recover-  
15 able reserves in Monsanto's -- I'm sorry, in Amoco's Section  
16 35, dividing that by 4 and then dividing that result by the  
17 Monsanto well recovery of 14.14 BCF, which would give a sug-  
18 gested penalty of 6.8 percent.

19                   MS. WALKER: I offer State Land  
20 Office Exhibits Five through Eight into evidence.

21                   MR. STAMETS: Without objection  
22 they will be admitted.

23                   Mr. Carr.

24

25

## CROSS EXAMINATION

BY MR. CARR:

Q Mr. Stockton, if we go to, first, Exhibit Number Five, what you have here are some production graphs on four wells in the area of the proposed Monsanto well.

A Yes.

Q And each of the wells that you have included a decline curve on, or a production curve on, is structurally up dip from the existing Lowe State No. 1 Well, the old Monsanto well.

A The wells in Section 2 and Section 35 are up dip. I am not sure about the well in Section 1.

Q In Section 1 the Land Office Exhibit Number Four shows it at a depth of -3517 and the well in 36 is at -3538, so it would be up dip from that as well, would it not?

A By 19 feet?

Q 19 feet.

A Yes.

Q All right. In fact all of these being up dip you would expect them to still be producing without having -- because a gas/water contact hasn't gotten to them, has it?

A The two in Section 2 and Section 35 I would expect to still be producing.

1           Q           The gas/water contact, though, has not  
2 reached any of the wells depicted in Exhibit Number Five,  
3 has it?

4           A           I don't think one can say that for cer-  
5 tain on the well in Section 1.

6           Q           Section 1, it may be there?

7           A           It may be there.

8           Q           So your -- the Land Office interpretation  
9 might be different from that presented by Monsanto earlier  
10 that showed it not to that well.

11          A           That's possible. We are basing the facts  
12 here, of course, on -- on the fact that the well was shut in  
13 according to the latest C-115s filed. I think it was shut  
14 in in November or December of 1985, and that should be more  
15 recent information than is available generally.

16          Q           Based on the best data available to you.  
17                       If we look at your Exhibit Number Six,  
18 and we go to the first set of figures, In Place Recoverable  
19 Reserves, and go to the Monsanto well in Section 36, you  
20 show a figure for the original recoverable reserves of 24.96  
21 BCF. That's the original figure.

22          A           By the volumetric method, yes, that's  
23 correct.

24          Q           Then we have Cumulative Production to  
25 Date a couple of lines down of 17.98 BCF.

1           A           Uh-huh.

2           Q           And so you then have remaining recover-  
3     able reserves, volumetric -- using the volumetric approach  
4     of 7.88 BCF.

5           A           Yes.

6           Q           These figures do not take into account  
7     any water encroachment, do they?

8           A           To some extent they do. They're not  
9     going to take into account gas which may be entrapped by  
10    water encroachment.

11          Q           If we take the total that you started  
12    with, we subtract the production to date, we get the exact  
13    number that you've submitted as being in place. There's no  
14    room in there for the water encroachment that has been  
15    depicted, is there? You're talking about original reservoir  
16    conditions.

17          A           This is all based on original reservoir  
18    conditions, that is correct.

19          Q           You haven't Isopached the net pay inter-  
20    val above the present gas/water contact, have you?

21          A           No, because I do not have that informa-  
22    tion.

23          Q           Now in developing these figures concern-  
24    ing drainage, have you been assuming the wells will only  
25    drain 640 acres?

1           A           No, I have not assumed that a well will  
2 drain anything, as far as acreage is concerned.

3           Q           So --

4           A           These figures are based on the fact that  
5 a lessee of record has the right to drain the section that  
6 he has leased.

7           Q           And then you've attached some BHP/z  
8 curves and you've taken these all down to a (not understood)  
9 of 500 pounds, and that's abandonment pressure in your  
10 opinion?

11          A           That's the abandonment BHP/z pressure,  
12 yes.

13          Q           And in fact many of these wells may ex-  
14 perience water encroachment long before they get there.

15          A           I will readily concede that.

16          Q           Now if we look at Exhibit Number Seven,  
17 again what we have is a method of computing a penalty where  
18 we have taken reserves in place, subtracted cumulative pro-  
19 duction and come up with a remaining reserve figure.

20                      Again this penalty is based on original  
21 reservoir conditions.

22          A           Yes, it is.

23          Q           And again Exhibit Eight would be based on  
24 original reservoir conditions.

25          A           Yes, it is.



1 MR. CARR: I have no further  
2 questions.

3 MR. STAMETS: Other questions  
4 of Mr. Stockton?

5  
6 QUESTIONS BY MR. LYON:

7 Q Mr. Stockton, referring to Exhibit Six,  
8 I'm still a little bit foggy about the last row of numbers  
9 there where you have Expected Recovery of Monsanto proposed  
10 well from each Section.

11 The figure under Amoco's Section 35 well,  
12 how -- how does this -- how do you arrive at that figure?

13 A Okay, that was by assuming that the pro-  
14 posed location will drain no more than one quarter of Sec-  
15 tion 35, or the remaining reserves in Section 35. So I took  
16 the remaining reserves in Section 35, which is the first  
17 column, Row 4, divided by 4. That will give you 2.49.

18 Q What is the basis for your assumption  
19 that it will drain only 25 percent?

20 A Well, I'm assuming the reservoir is -- is  
21 fairly homogeneous; that the pressure will decline uniformly  
22 amongst the wells found in the reservoir, which history also  
23 shows to be true; and that there's just no way that you  
24 could have more than one quarter flow down dip to this well.  
25 In my opinion it would probably drain less than one quarter.

1           Q           Well, how about the ARCO well in Section  
2 1, you don't discount that remaining reserves, is that  
3 right?

4           A           That's because I'm assuming that the ARCO  
5 well is not going to produce any more. All those reserves,  
6 or almost all those reserves could be drained by this well.  
7 That again, I think, is a very conservative estimate. It  
8 may never drain that much.

9           Q           Well then, do I interpret this to say  
10 that the figure over on the right total of 19.82 is to be  
11 recovered by the proposed well and that that gas that is  
12 coming off these other wells that you have listed?

13          A           That's -- that's a maximum recovery that  
14 I think one could expect for the proposed well.

15          Q           But you do expect those reserves to be  
16 recovered by the proposed well rather than the wells you  
17 have it listed, is that right?

18          A           That's right.

19          Q           Okay. Thank you.

20

21                               CROSS EXAMINATION

22 BY MR. STAMETS:

23          Q           Mr. Stockton, the material balance calcu-  
24 lations that you've made on Exhibit Six, I'm not clear but  
25 does this reflect current conditions?

1           A           Yes, those are -- well, up to current  
2 conditions. Those are a result of using bottom hole pres-  
3 sures over the life of the wells.

4           Q           The material balance in Row 5, is that  
5 derived using BHP/z plots?

6           A           Yes.

7           Q           So you've not gone in and made a volumet-  
8 ric calculation based on current pressures and net acre feet  
9 of pay under these tracts.

10          A           Because I do not have available to me the  
11 information to do that.

12                   This -- this data is based on the best  
13 available information we have available.

14          Q           So -- okay. Columns 4 -- or in Rows 4  
15 and 5 under the Monsanto Section 36, you give a range based  
16 upon your calculations of remaining recoverable reserves,  
17 say, roughly, 8 to 10 BCF. Do you think it would be appro-  
18 priate, if those figures were correct, for the Commission to  
19 enter an order which would allow no more than 8 to 10 BCF to  
20 be produced from that well and once that volume had been  
21 produced it should be shut in?

22          A           Theoretically I think that would be very  
23 appropriate. I -- I would like to be around to see how the  
24 Director of the Oil Conservation Division is going to handle  
25 that when the well reaches that figure and is still produc-

1 ing, but I do believe that would be very appropriate.

2 MR. STAMETS: Any other  
3 questions of the witness?

4  
5 RECROSS EXAMINATION

6 BY MR. CARR:

7 Q Mr. Stockton, one thing I forgot to ask  
8 you, if we look at Exhibits Seven and Eight, these contain  
9 penalty recommendations from the Commissioner of Public  
10 Lands, or methods of computing of a penalty on production  
11 from the subject well from the Cisco, is that correct?

12 A Yes, that's correct.

13 Q Now, if Atlantic Richfield in Section 1  
14 were to come before this Division and propose to locate a  
15 well 330 feet out of the northeast quarter -- northwest  
16 quarter of Section 1, would the Commissioner of Public Lands  
17 be willing to stipulate that this was the appropriate method  
18 of imposing a penalty on that well?

19 A Yes.

20 Q Thank you.

21  
22 CROSS EXAMINATION

23 BY MR. TAYLOR:

24 Q Mr. Stockton, on your Exhibits Six,  
25 Seven, and Eight, I'd like -- first of all, is the Land Of

1     fice recommending a production penalty of -- of either 12.6  
2     or 36.8, or something between the two?

3             A             Yes. The Land Office is recommending, if  
4     the Commission sees fit, a production penalty in that range,  
5     or I think, more importantly, the Land Office is urging the  
6     Commission to consider a methodology similar to this to ar-  
7     rive at a penalty rather than methodologies that have been  
8     used in the past.

9             Q             What is -- what's the difference between  
10    the two numbers you come up here with? Is it the fact that  
11    the material balance method shows a higher amount oif -- or  
12    a larger amount of gas in place and therefore you have a  
13    larger penalty, or why are those so much different?

14            A            Well, yes, that -- it's -- what you said  
15    is slightly reversed. The material balance method shows a  
16    larger amount of gas in place; therefore the denominator in  
17    calculating the penalty is smaller -- or larger, making the  
18    penalty smaller, as opposed to the volumetric.

19            Q            Essentially, would each of these penal-  
20    ties result in the same amount of production from the well  
21    or would they -- over the total life of the well or would --  
22    would one of the penalties because they differ on the amount  
23    of volume in place that they're based on?

24            A            No, the penalty would be -- the amount of  
25    production from the well would be different from the two

1 penalties, or the way I understand it, that it would be ap-  
2 plied.

3 Q Thank you.

4 MR. STAMETS: Any other ques-  
5 tions of this witness?

6 He may be excused.

7 MR. CARR: At this time we'd  
8 call Steve Scheffler.

9  
10 STEPHEN P. SCHEFFLER,  
11 being called as a witness and being duly sworn upon his  
12 oath, testified as follows, to-wit:

13  
14 DIRECT EXAMINATION

15 BY MR. CARR:

16 Q Would you state your full name and place  
17 of residence?

18 A My name is Stephen Paul Scheffler. I re-  
19 side in Houston, Texas.

20 Q Mr. Scheffler, by whom are you employed  
21 and in what capacity?

22 A I'm employed by Amoco Production Company  
23 in Houston as a Senior Staff Petroleum Engineer.

24 Q Have you previously testified before this  
25 Commission and had your credentials as a petroleum engineer

1 accepted and made a matter of record?

2 A Yes, sir, I have.

3 Q Are you familiar with the application  
4 filed in this case on behalf of Monsanto?

5 A Yes, sir.

6 Q Are you familiar with the subject area  
7 and the proposed well?

8 A Yes, sir.

9 MR. CARR: We tender Mr. Scheff-  
10 fler as an expert witness in petroleum engineering.

11 MR. STAMETS: He's considered  
12 qualified.

13 Q Mr. Scheffler, please state what Amoco  
14 seeks in this hearing today.

15 A We seek the imposition of a penalty on  
16 the proposed well location that Monsanto has made applica-  
17 tion for here today should that well be drilled at that lo-  
18 cation.

19 Q What are the spacing and well location  
20 requirements in the two pools which have been identified as  
21 the subject of today's hearing?

22 A In both the Indian Basin Upper Penn hori-  
23 zon and the Indian Basin Morrow, the existing field rules  
24 call for 640-acre spacing, which allows for wells to be  
25 drilled 650 feet off the proration unit line.

1                   Q                   How close to Amoco's proration unit line  
2 is the proposed well location?

3                   A                   330 feet.

4                   Q                   On an east/west axis?

5                   A                   Yes, sir.

6                   Q                   And what percentage does that compute to  
7 be in advantage they're gaining over standard location?

8                   A                   That would be 80 percent too close.

9                   Q                   Are they also 80 percent too close to the  
10 outside boundary of their proration unit based on a  
11 north/south axis?

12                  A                   Yes, sir.

13                  Q                   Would you generally describe the nature  
14 of the reservoir we're talking about?

15                  A                   With regard to the Canyon Cisco the in-  
16 formation I have is that it is a very homogeneous reservoir,  
17 that it produces from a lithology that is dolomite in na-  
18 ture; that it has very fractured and vugular available pore  
19 space for the transmissibility of the gas.

20                  Q                   And both pools that we're talking about  
21 today are prorated pools?

22                  A                   They are, yes.

23                  Q                   Would you now go to Exhibit Number One,  
24 identify this, and review the information that's contained  
25 on this exhibit?



1           A           My Exhibit Number One is simply a map of  
2 a portion of the Indian Basin Upper Penn Pool.

3                   On this exhibit I've attempted to simi-  
4 larly show the -- with the same sort of colors, wells that  
5 are currently shut-in in the field as a result of those  
6 wells encountering water encroachment and subsequently being  
7 shut-in. Those wells are highlighted with the pink dots.

8                   I've also shown wells in the field area  
9 that are currently producing at rates of 20 barrels of water  
10 per day or more. Those are wells that are identified by a  
11 green hatched circle, which there are three, or rather four,  
12 I should say, and the green dots that you see on the well  
13 locations off to the west are wells that are producing es-  
14 sentially water free in the Indian Basin Upper Penn Field.

15                  All these wells are producing from the --  
16 have been or are currently producing from the Indian Basin  
17 Penn Pool.

18                  Also on this exhibit I've identified  
19 dates for those wells that are identified by the pink dots,  
20 dates which show the time the well was shut in.

21                  Beneath -- let me say one more thing.  
22 The numerator that I've identified beneath wells that are  
23 currently producing, those being the green dotted wells and  
24 those with green hatched circles, represent the average ac-  
25 tual daily production on a producing day basis for the month

1 of November of 1985. That is gas in MCFD with the next nu-  
2 meral being condensate production in barrels of condensate  
3 per day; the last number representing water production in  
4 barrels of water per day.

5 Beneath that information I have shown the  
6 cumulative production as of 12-1-85; that is cumulative pro-  
7 duction for gas as well as condensate.

8 Q In the last several months several wells  
9 have been shut in due to water production, is that correct?

10 A Yes, that is true.

11 Q Can you identify the three most recent?

12 A Yes, sir. Since the last hearing, wells  
13 that at that time were identified as producing 20 barrels of  
14 water per day or more and have since been shut in, I have --  
15 I would point out now as being one of those wells, the well  
16 in Section 1 of Township 22 South, Range 24 East. That's  
17 the ARCO Smith Federal No. 1 Well. It was shut in in Novem-  
18 ber of '85.

19 Another well, moving up to Section 31 of  
20 21, 24, is the Flag-Redfern Winston gas well. It was shut  
21 in in November of '85, and the last well which was  
22 identified in the previous hearing as producing at 20  
23 barrels of water per day is the Getty Oil, or rather Texaco  
24 now, Getty 1 B-32, located in Section 32 of 21, 24. That  
25 well was never put on -- tied to a gathering system. It was

1 a marginal well. It is cutting, in my understanding in  
2 talking to Texaco, excessive amounts of water, something  
3 around 100 barrels a day. They anticipate the well will be  
4 plugged.

5 MR. STAMETS: What was the lo-  
6 cation of the last well, please?

7 A It's in the southwesterly portion of Sec-  
8 tion 32 of Township 21 South, Range 24 East. It would be  
9 the well, Mr. Commissioner, that is identified by the aster-  
10 isk right next to the dry hole symbol.

11 MR. STAMETS: Okay, thank you.

12 Q Mr. Scheffler, in preparing for today's  
13 hearing did you review the data, the technical information  
14 available on the Cisco formation in this area?

15 A Yes.

16 Q In your opinion do we have a water drive  
17 reservoir here?

18 A The way I would describe the producing  
19 mechanism in this reservoir is a gas expansion mechanism  
20 with water influx.

21 Q As a result of this study did you  
22 discover anything that would tend you to believe that the  
23 drainage pattern for any of these wells would be other than  
24 radial?

25 A No, sir, I believe that drainage patterns

1 out here are radial.

2 Q If we look at the proposed location  
3 330/330 out of the southwest corner of Section 36, in your  
4 opinion would it be feasible or practical for Amoco to at-  
5 tempt to offset that well equidistant from the common boun-  
6 dary between the two leases?

7 A No, sir, I don't think it would be feas-  
8 ible.

9 Q Would you now go to Amoco Exhibit Number  
10 Two, identify this and review it for the Commission?

11 A Exhibit Number Two is the base map, the  
12 base structure map that was presented today by Monsanto, the  
13 structure identified as the top of the Cisco.

14 On this structure I have transferred all  
15 those wells that were shown on Exhibit Number One as having  
16 been shut-in as a result of water encroachment to this exhi-  
17 bit. I've identified them again by the pink dots.

18 With this information I have described  
19 what I believe to be a representative existing gas/water  
20 contact in the field at this time.

21 Q And this is your interpretation placed  
22 upon the original map offered in the Examiner Hearing by  
23 Monsanto?

24 A Yes, sir.

25 Q And how many acres, productive acres, in

1 Section 36 did you come up with?

2 A Planimetering the productive areas, the  
3 surface acres that lies within Monsanto Section 36 I arrived  
4 at a number of approximately 233 acres.

5 Q Now this is not as optimistic a picture  
6 was ~~was~~ presented by Monsanto. Do you believe this is a  
7 pessimistic picture of where the gas/water contact should be  
8 placed?

9 A I would call this an optimistic presenta-  
10 tion myself.

11 Q And why is that?

12 A If we look at -- if we look at the well  
13 that's down in Section 6, the Amoco Federal B No. 1 that  
14 I've identified with a green hatch mark, that well is at a  
15 subsea datum of minus -- the top of the Cisco there is iden-  
16 tified as being a datum of -3474 feet, I've honored that  
17 contour, or that subsea level, on the Monsanto lease as the  
18 point in the southeastern portion of that lease I believe  
19 the contact is.

20 I further could very well have honored  
21 that same ~~contour~~ line significantly further over to the  
22 west and then brought it up on the western edge of the Mon-  
23 sonto lease and still been consistent, I believe, with a rep-  
24 resentative location of the gas/water contact on that lease.  
25 Had I done that, I would have received -- or seen much less

1 productive pay in Section 36 than I've shown here now.

2 Q And when we look at the well in Section  
3 6, that is the well that Mr. Stockton in his testimony said  
4 might have (not understood) watered out. Is that not cor-  
5 rect?

6 A I'm sorry, sir, in Section --

7 Q In Section --

8 A 6?

9 Q Yes.

10 A Yes.

11 Q Now I'd like to direct your attention to  
12 Exhibit Number Three and ask you to review that, please.

13 A I'm sorry, looking back up, Mr. Carr --

14 Q All right.

15 A It may have been the well in Section 1  
16 that we were talking about that may have been watered out.

17 Q Mr. Scheffler, now will you go to Exhibit  
18 Number Three?

19 Will you identify that for the Commission  
20 and review how you have calculated the penalty based on pro-  
21 ductive acres?

22 A Yes, sir, this is my proposed method by  
23 which one could calculate a penalty to be imposed upon the  
24 well that Monsanto is proposing to drill at the unorthodox  
25 or the nonstandard -- unorthodox location, using a ratio of

1 productive acreage to -- or the nonproductive acreage to the  
2 total acreage available in the proration unit.

3 I've shown here the method by which I've  
4 calculated the proposed production limitation factor for the  
5 Monsanto unorthodox well location.

6 I've first shown that the nonproductive  
7 Monsanto acreage in Section 36 is some 407 acres; that the  
8 acres in that stand-up proration unit are in fact 640;  
9 therefore I would say the recommended penalty with 407 acres  
10 of the 640 being considered nonproductive should be a ratio  
11 of the 64 percent restriction of the unorthodox well's pro-  
12 duction, or 36 percent production limitation factor applied  
13 against the well's monthly allowable as set by the Division.

14 Q And this factor is determined simply by  
15 using the productive acres as you have interpreted them to  
16 be in Section 36?

17 A Yes, sir.

18 Q Would you now go to what has been marked  
19 as Amoco Exhibit Number Four and review that for the Commis-  
20 sion?

21 A Amoco Exhibit Number Four is a plat of the Sec-  
22 tion 36 and surrounding sections with wells on them that  
23 exist in the Indian Basin Upper Penn Field area.

24 On this exhibit in Section 36 I've shown  
25 the location of Monsanto's existing Lowe State No. 1 Well.

1 I've also shown the location at a 1650  
2 location off the western and southern boundaries of that  
3 640-acre proration unit of a standard location.

4 Q Is that the nearest standard location to  
5 the southwest corner of Section 36?

6 A Yes, sir, it is. That's the well with a  
7 red dot. I've shown the proposed location that Monsanto is  
8 making application for here today, which is 330 feet off the  
9 westernmost proration unit boundary line and the southern-  
10 most proration unit boundary line.

11 Q Would you identify the area which is in-  
12 dicated by the cross hatching on this exhibit?

13 A Yes, sir, that area describes the net en-  
14 croachment that I've identified that would exist if one  
15 were to compare the difference in encroachment that would  
16 exist if you had a 640-acre drainage area around the regular  
17 location I've shown at 1650 on Section 36 versus the pro-  
18 posed unorthodox location at 330 feet off the west and  
19 southernmost proration unit boundaries.

20 Q This is the additional drainage area  
21 gained on all offsetting properties.

22 A Yes, sir.

23 Q What percent of a standard drainage area  
24 does this 210 acres represent?

25 A That would represent a 33 percent net



1 area of encroachment on offset acreage of a 640-acre drain-  
2 age area.

3 Q Would you now refer to Exhibit Number  
4 Five and review the calculations set forth thereon?

5 A Yes, sir. Exhibit Number Five is the  
6 proposed production limitation factor for the Monsanto  
7 unorthodox well location, using the method I've discussed in  
8 Section 5 -- or rather on Exhibit Number Four.

9 I've shown a variation from standard lo-  
10 cation in a north/south direction to be 80 percent of the  
11 1650 location.

12 I've also shown the net acres of  
13 encroachment on offset acreage to be 210 acres, or 33 per-  
14 cent of a 640-acre drainage area.

15 I would recommend that a penalty be im-  
16 posed with 80 percent east/west factor and 80 percent  
17 north/south factor and a 33 percent net acre factor, which  
18 would yield an average of a 64 percent restriction of the  
19 unorthodox well's production.

20 Q Now, Mr. Scheffler, you presented two  
21 different approaches here of assessing a penalty. Do you  
22 believe that the Division should use either of these ap-  
23 proaches or what is it that you recommend?

24 A I would say that either one of these  
25 methods of imposing a penalty on the applicant would be a

1 means by which to -- to adequately -- or begin, perhaps, to  
2 protect the correlative rights of those that are going to be  
3 seeing drainage from their offsetting sections; however, a  
4 more appropriate means would be actually combine the two and  
5 perhaps apply a 36 percent allowable limitation factor to  
6 the -- that would be based upon productive acreage, as well  
7 as a 36 percent allowable or production limitation factor  
8 based upon the calculation I've shown in Exhibit Number  
9 Five, which is based upon 640-acre radial drainage.

10 Q If you did that, what would you do, mul-  
11 tiply the two factors?

12 A Yes, sir.

13 Q And what penalty would you come up with?

14 A Approximately 13 percent.

15 Q And if you came up with a 13 percent  
16 penalty, as you've recommended, it would account for addi-  
17 tional drainage off -- outside the unit as well as the fact  
18 that there are nonproductive acres within the unit.

19 A Yes, sir. It would not be a 13 percent  
20 penalty. It would be a 13 percent production limitation  
21 factor and it would take care of our concerns.

22 Q Now, would you now go to what has been  
23 marked as Amoco Exhibit Number Six, again identify this, and  
24 review it for the Commission?

25 A On Exhibit Number Six again I've utilized

1 Monsanto's structure map for the top of the Cisco and with  
2 this exhibit I have identified a contour interval of 20  
3 feet; I've shaded it in brown.

4 If you'll note, the Monsanto Lowe State  
5 No. 1 lies approximately in the center of that -- those two  
6 contours that bound that location.

7 The purpose of this exhibit is to show  
8 that wells that are consistent, fairly consistent, with the  
9 structural location of the Monsanto well have behaved very  
10 similarly to the Monsanto well from the standpoint of ultimate  
11 recoveries. That is to say that structurally comparable  
12 wells in the area that I have identified and I've noted  
13 by the pink dots, have not behaved significantly different  
14 from the Monsanto well. I would expect the Monsanto well to  
15 have recovered reserves consistent with the wells that I've  
16 shown by the pink dots, not necessarily by wells located off  
17 to the west.

18 Q So what you're saying is by taking wells  
19 that are located in a similar structural position their cumulative  
20 production is consistent with the Lowe State No. 1  
21 Well.

22 A Yes.

23 Q Would you go to Exhibit Number Seven and  
24 review that, please?

25 A On Exhibit Number Seven I've listed the

1 wells that I have shown here on this exhibit, identified by  
2 either the pink dots or those that have the hatched in green  
3 circle around them, the first one being the Indian Basin Gas  
4 Com No. 1, which is located up in Section 23 of 21 South, 23  
5 East. I've identified the top of the Cisco for that well.  
6 The net H is indicated by Monsanto on their, I believe it is  
7 Exhibit Number 5, their Isopach map, and the cumulative re-  
8 covery that I believe that well will ultimately realize.

9 I've done the same sort of an analysis  
10 for each of the wells, a total of six, not including the  
11 Monsanto well.

12 When I average the subsea datum to the  
13 top of the Cisco I come up with an average top of the Cisco  
14 of -3533 feet, an average H of 129 feet, and a cumulative  
15 recovery of about 17.7 BCF.

16 When comparing this to the Lowe State Gas  
17 Com No. 1, I get very similar numbers from the standpoint of  
18 comparable subsea datums and ultimate recoveries. In fact,  
19 I find that I might say the Lowe State Gas Com has done very  
20 well considering it has less pay, that is 111 feet, than the  
21 average pay that is exhibited by these wells that are com-  
22 parable structurally, that being about an average of 129  
23 feet.

24 There's only been some 1.2 BCF less cum  
25 by the Lowe State Gas Com No. 1.

1           Q           Mr. Scheffler, will you now go to Exhibit  
2 Number Eight, identify this, and review the calculations  
3 contained on this exhibit for the Examiner.

4           A           This is an exhibit on which I have  
5 attempted to describe the existing gas in place above the  
6 existing gas/water contact as described by Monsanto in their  
7 previous hearing.

8                       What this is is a gas in place calcula-  
9 tion for gross acre feet above existing gas/water contact  
10 described by Monsanto, the gas/water contact being at -3528  
11 feet, that's the average, in Section 36 of Township 21  
12 South, Range 23 East. Again, that gas/water contact is rel-  
13 ative to the previous hearing.

14                      I've shown the gross pay above the orig-  
15 inal gas/water contact described by Monsanto, that original  
16 gas/water contact being at -3750 feet, to be some 151,098  
17 acre feet. I obtained that number by planimetering the  
18 structure map that Monsanto presented in this hearing and  
19 determining the total gross pay above the original gas/water  
20 contact and I've shown that number as I've indicated.

21                      I then defined the gross pay remaining  
22 above the existing average gas/water contact described by  
23 Monsanto at -3528 feet. Again that is relative to the pre-  
24 vious hearing. I planimetered the, what I'll call remaining  
25 gross acre feet above the existing gas/water contact at that

1 subsea datum and came up with an acre feet of 16,438. Again  
2 Monsanto's estimate of original oil in place by pore volume  
3 is some 36.2 BCF.

4 Taking these three factors and also tak-  
5 ing some reservoir conditions, that is, an initial formation  
6 volume factor, excuse me, a formation volume factor that --  
7 a formation volume factor that would be described for the  
8 original reservoir conditions of .005 reservoir cubic feet,  
9 cubic feet per standard cubic feet, a reservoir temperature  
10 of 146 degrees Fahrenheit, a current reservoir pressure of  
11 1700 psi, and this was obtained from the P/z curve that Mon-  
12 santo presented, and a current z factor of some .86.

13 I've used all these data, pieces of data  
14 here to come up with a method of calculating what I believe  
15 to be a representative original gas in place figure that  
16 currently exists above the existing average gas/water con-  
17 tact of -3528 feet.

18 That number I've shown here is some 2.3  
19 BCF.

20 Q Now this 2.3 BCF figure, is that the to-  
21 tal reserves or is that the recoverable reserves?

22 A That would be reserves that I would de-  
23 fine as being -- well, I wouldn't define that as being re-  
24 serves. What those are are the original amount of -- the  
25 original amount of gas in place that would exist given the

1 current pressure conditions above the existing gas/water  
2 contact.

3 Q Now, to that figure if you're trying to  
4 estimate what will be produced from a well at the proposed  
5 location, would you apply a recovery factor?

6 A I could apply a recovery factor if I used  
7 Monsanto's recovery factor of 80 percent. You would get  
8 something significantly -- well, not significantly, but  
9 something more than that in terms of recoverable reserves.

10 Q So your recoverable reserves would be  
11 less than 2 BCF.

12 A Yes, sir.

13 Q Mr. Scheffler, you've heard Monsanto's  
14 recommendations concerning the Morrow formation, attempting  
15 a well in the Morrow formation. How would you recommend  
16 that the penalty be imposed on any production from the Mor-  
17 row?

18 A I would recommend that the penalty be  
19 based upon the existing rules that are in place for that  
20 particular horizon; that is, the 640-acre spacing with 1650  
21 distances prescribed for regular locations off the boundary  
22 line of the proration unit.

23 I would utilize the same approach for the  
24 Morrow that I have shown by the radial drainage technique  
25 for the Cisco.

1           Q           If in fact a good Morrow well was encoun-  
2   tered or was completed by Monsanto at that location, at that  
3   time are you aware of any way Amoco could seek to have a  
4   penalty imposed on that production (not understood)?

5           A           No. sir.

6           Q           Now you've recommended that certain pen-  
7   alties be imposed on production from the proposed well in  
8   each -- in the Cisco and in the Morrow formations. Against  
9   what do you recommend that penalty be applied?

10          A           I would apply that penalty against the --  
11   the allowable that will be assigned by the Division on a  
12   monthly basis because this is a prorated gas pool.

13          Q           In your opinion would that imposition of  
14   the penalty you've recommended be fair to Monsanto?

15          A           Yes, sir, I feel it would be more than  
16   fair.

17          Q           In your opinion will granting the appli-  
18   cation of Monsanto but imposing the penalty recommended by  
19   Amoco protect correlative rights, be in the best interest of  
20   conservation and the prevention of waste?

21          A           Yes, sir.

22          Q           Were Exhibits One through Eight prepared  
23   by you or compiled under your direction and supervision?

24          A           Yes, sir.

25                           MR. CARR: At this time, Mr.



1 Stamets, we would offer into evidence Amoco Exhibits One  
2 through Eight.

3 MR. STAMETS: Without objection  
4 the exhibits will be admitted.

5 MR. CARR: That concludes my  
6 direct examination of Mr. Scheffler.

7

8 CROSS EXAMINATION

9 BY MR. STAMETS:

10 Q Mr. Scheffler, did you make any calcula-  
11 tions of how much gas remains to be produced under the Amoco  
12 acreage in Section 35?

13 A No, I have not.

14 MR. STAMETS: Are there ques-  
15 tions of the witness?

16 MR. LOPEZ: Yes, Mr. Chairman.

17

18 CROSS EXAMINATION

19 BY MR. LOPEZ:

20 Q Mr. Scheffler, you're the same witness  
21 that testified for Amoco in the original hearing in this  
22 case, are you not?

23 A Yes, sir.

24 Q And if I have the exhibit marked correct-  
25 ly, your Exhibit Number Four is the method by which you sug-

1       gested a penalty be applied in the original hearing and in  
2       fact was applied, is that correct?

3               A               Yes, sir.

4               Q               With respect to this formulation, I'd  
5       like to examine with you your reasons for justifying such an  
6       approach.

7                               First of all, as I understand it, you  
8       have initially calculated the percentage by which the pro-  
9       posed location differs from a standard location in the sub-  
10      ject section, is that correct?

11              A              With regard to distances.

12              Q              From the lease line.

13              A              Yes, sir.

14              Q              And that's a feet distance calculation,  
15      is that correct?

16              A              Yes, sir.

17              Q              Then -- and I understand that that's both  
18      from the west line and the south line.

19              A              Yes, sir.

20              Q              Now Amoco's acreage lies to the west and  
21      therefore that I can understand.

22                               What is your justification for Amoco's  
23      arguing ARCO's case who is the operator of the section lying  
24      to the south of the subject section?

25              A              Drainage.

1           Q           How would drainage of that section affect  
2 Amoco? My question is how would Monsanto's drainage of the  
3 ARCO section affect a penalty which should be applied  
4 against Amoco and your well?

5           A           I don't believe the penalty should be a  
6 function of ownership around that location, nor should it be  
7 a function of the people that protest and do not protest, so  
8 to my mind it should be a function of the radial drainage  
9 that will occur at the new or proposed location and the  
10 amount of net acre feet that will result due to that pro-  
11 posed location encroaching on the surrounding acreage.

12          Q           Isn't this a matter of correlative rights  
13 and isn't the argument between the correlative rights of  
14 Amoco and the correlative rights of Monsanto to recover the  
15 remaining reserves in the section, and if your correlative  
16 rights are not affected by drainage occurring in Section 1,  
17 how can you justify complaining?

18          A           By the fact that that well's going to re-  
19 cover reserves in a radial pattern.

20          Q           Right, but if the part of the radius that  
21 will be occurring affects ARCO and not you, how are your  
22 correlative rights being affected if ARCO's correlative  
23 rights are being affected, and should that be taken as a  
24 consideration in making a determination as to the affect on  
25 correlative rights?

1           A           If it's a correlative rights question I  
2 think the correlative rights should be considered all around  
3 that lease acreage. Correlative rights are not limited by,  
4 again, operators.

5           Q           So is it your testimony here today that  
6 in any case before the Commission that the Commission take  
7 into account whatever correlative rights that are going to  
8 be affected in the universe and not those affected by the  
9 complaining parties?

10          A           I would limit my correlative rights con-  
11 cern to not -- to something less than the universe. I would  
12 consider only that area that's going to be affected by the  
13 radial drainage of the well.

14          Q           Well, okay, I understand. Continuing  
15 this line of questioning, as I understand it, still refer-  
16 ring to this Exhibit Four, in formulating your approach, you  
17 then went on to consider the amount of acreage, and I think  
18 it's referred to in another one of the exhibits -- the ex-  
19 hibit I was referring to -- well, let me correct the record.

20                      The exhibit I've been referring to has  
21 been marked in this case as Exhibit Five. I've been refer-  
22 ring to it as Exhibit Four.

23                      Then referring to what is in this case  
24 Exhibit Four, I believe the acreage penalty of 33 percent  
25 has been added to your calculation in Exhibit Five, where

1 you arrived at this 64 percent number.

2 A Yes, sir.

3 Q My question to you is what justification  
4 is there to both (not clearly understood) combine an  
5 acreage factor overlap of what you say is 210 acres, for 33  
6 percent, which is a feet times feet calculation in a formula  
7 and combine it with straight feet distance calculations?  
8 Isn't that mixing apples and oranges?

9 A No, sir.

10 Q Why not? How if feet squared -- how can  
11 a feet squared formula be combined with a straight feet  
12 formula?

13 A I don't understand the feet squared  
14 concept.

15 What I've done is taken a simple 8  
16 percent of the 1650 foot location and from both the south  
17 line and the west line and added that together along with  
18 the 33 percent net acre foot encroachment, and averaged that  
19 and come up with my penalty of 64 percent, which inversely  
20 equates to a 36 percent production limitation factor.

21 Q Doesn't this in fact have -- constitute a  
22 double dipping? Not only have you penalized the applicant  
23 on the basis of distance from lease lines but then on top of  
24 it you take a p squared ratio of encroachment by overlap and  
25 add that to it.

1           A           No, sir. I think that Monsanto has a  
2 perfect right to encroach at a 1650 foot location as per the  
3 existing field rules. Once they move beyond that, you have  
4 to take into consideration additional encroachment, and you  
5 have to take into consideration that you're going beyond the  
6 1650 provided for spacing in the field rules.

7           Q           Again, and with respect to your Exhibit  
8 Four, the overlapped acreage, I notice that much of the  
9 overlap lies in Sections 1 and 2 in which Amoco has no  
10 interest, is that correct?

11          A           Yes, sir.

12          Q           And again I assume your same answer, but  
13 what is your answer for complaining about encroachment in  
14 areas where the parties affected aren't complaining?

15          A           I don't think the parties affected has  
16 anything to do with this.

17          Q           So you think that --

18          A           I'm sorry.

19          Q           -- correlative rights is a universal is-  
20 sue and not --

21                       MR. CARR: I object. May it  
22 please the Commission, this has been asked and answered ten  
23 times.

24                       MR. LOPEZ: Well --

25                       MR. CARR: We have said it

1 isn't a universal situation. We're talking about a factor  
2 that includes additional drainage area that is gained on  
3 offsetting properties by virtue of the unorthodox location  
4 and we've said that two or three times and we can talk about  
5 it all afternoon if you want to talk about one point over  
6 and over again. It's been asked and it's been answered.

7 MR. STAMETS: Sustain the ob-  
8 jection.

9 Q Mr. Scheffler, if I understand correctly,  
10 the well in Section 1 has now been shut in due to water en-  
11 croachment.

12 A Section 1?

13 Q The ARCO well?

14 A The ARCO, yes, sir.

15 Q And with respect to your Section 4 and  
16 your hatched mark in the overlap area, I notice a portion of  
17 that (not understood) Section 1.

18 A Yes, sir.

19 Q Assuming that the -- ARCO does not seek  
20 to replace the existing well, and, as I understand it, your  
21 testimony is that the field is subject to radial drainage,  
22 how would that cross hatched area indicated under Exhibit  
23 Four in Section 1 be recovered?

24 A Monsanto is going to be, if they drill  
25 this well at 330 feet, will be -- will have a penalty im-

1 posed on their production. That penalty is not going to  
2 keep radial drainage from occurring.

3 Q Now I don't think you answered my ques-  
4 tion.

5 Assuming that -- well, let's back up a  
6 minute.

7 Your calculation based on your last exhi-  
8 bit shows that optimistically there are 2.3 BCF remaining  
9 for Monsanto to recover.

10 A Yes, sir.

11 Q If that's the case, why should there be  
12 any penalty or not? In your opinion will the well at the  
13 proposed location with that kind of optimistic recovery be  
14 economically justified?

15 A A well at your proposed location is going  
16 to recover significantly more than 2.3 BCF.

17 What I'm identifying for you is remaining  
18 reserves above the existing gas/water contact that remain on  
19 your lease in terms of original -- those are not reserves,  
20 excuse me, in terms of original -- or gas in place above the  
21 gas/water contact.

22 You're going to recover, if you drill  
23 your well at that proposed location, likely significantly  
24 more than that; that's the reason for your penalty, because  
25 you're going to be draining offset acreage, and you're going



1 to be draining the area you're referring to in Section 1  
2 that's not yet watered out by Atlantic Richfield.

3 That's the reason for the penalty.

4 Q Well, would you agree with me that if the  
5 well is not drilled at the proposed location that there  
6 would be a significant waste with respect to regaining the  
7 recoverable reserves in Section 1?

8 A No, sir.

9 Q Why not?

10 A If -- you're saying if you do not drill  
11 the well --

12 Q Yes.

13 A -- at the proposed location?

14 Q Right.

15 A You're saying if you don't drill any well  
16 at all there --

17 Q Correct.

18 A -- would there be waste at that loca-  
19 tion? I think that that's a question that in my mind would  
20 have to be answered by -- by ARCO. I don't know how many  
21 reserves are remaining there but I think that you're again,  
22 you're not necessarily talking about waste occurring, be-  
23 cause if we're talking about an advancing movement of water,  
24 that gas is going to be moved.

25 I don't think waste is going to neces-

1 sarily occur.

2 Q Then in your opinion the gas would  
3 migrate up dip to the up dip well.

4 A It very well could.

5 Q If there are only 2.3 BCF underlying --  
6 remaining underlying the Monsanto tract, would you oppose  
7 the penalty that was suggested earlier by Mr. Stamets,  
8 whereby Monsanto would be allowed to recover 8 to 10 BCF and  
9 then production stop?

10 A I certainly would.

11 Q Now referring to what you introduced as  
12 your Exhibit Number Two, and I refer you to the area you've  
13 colored in with respect to the Section 36 and the subject of  
14 this hearing with respect to Monsanto's application.

15 A Yes, sir.

16 Q And ask you to explain why you've ex-  
17 tended the line to the south covering several contour lines.

18 A There are two data points that lead me to  
19 believe that that's an accurate depiction. As I said ear-  
20 lier, it may be an optimistic depiction of the presence of  
21 the existing gas/water contact.

22 The first data point being the Amoco's  
23 Federal D No. 1 located in the northwest corner of Section  
24 6, that well is currently cutting water which leads me to  
25 believe that the water contact is in close proximity, con-

1       sistent with, if we move around along that contour, that  
2       would basically identify -- be identified by the red line  
3       I've drawn there.

4                       We have a new data point, the Flag Red-  
5       fern well that watered out, I believe I said in November of  
6       '85, which would draw that water contact down. So in honor-  
7       ing that data point, the Flag Redfern well and Amoco Federal  
8       D No. 1, I feel very comfortable with the location of the  
9       contact I've drawn in the lower portion of Section 36.

10               Q               As a matter of fact, though, isn't it  
11       true that where you contour lines with respect to water en-  
12       croachment is subject to varying and wide interpretation?

13               A               Subject to interpretation but the inter-  
14       pretation can be combined with accurate data.

15               Q               At the original hearing in this case Amo-  
16       co did not present any penalty formula based on acreage, re-  
17       maining acreage reserves, did it?

18               A               No, sir, I don't believe it did.

19               Q               Doesn't it strike you as surprisingly  
20       coincidental that based on your interpretation of the re-  
21       mainng acreage underlying 36 on your acreage calculations  
22       that it in fact exactly coincides with your interpretation  
23       of your -- of the penalty 80 percent, of 80 percent plus 32  
24       percent divided by 3 equally 64 percent?

25               A               No, sir, I just knew where it was. I

1 used the data that was available to me, and when I drew it I  
2 got that contact, and when I planimetered it I got 233 acres  
3 considered to be productive.

4 I did not try to back into a contact. I  
5 drew the contact and then planimetered the acreage.

6 MR. LOPEZ: Could I have just a  
7 minute?

8 No further questions.

9  
10 RECROSS EXAMINATION

11 BY MR. STAMETS:

12 Q Mr. Scheffler, in looking at your Exhibit  
13 Number One and Exhibit Number Two, it's not clear to me why  
14 you've drawn the water line where you did. That well only  
15 watered out last September -- last June.

16 A I'm sorry, sir, Mr. Commissioner. Could  
17 you reference the location you're looking at?

18 Q Okay. We're looking at the Monsanto well  
19 in Section 36.

20 A Yes, sir.

21 Q And that was shut in last June and I pre-  
22 sume that's basically when it watered out.

23 A Yes, sir.

24 Q You show the contact, then, several feet,  
25 and my eyeballs aren't good enough to measure that out, but

1 say 100 or 200 feet west of that well rather than running  
2 the line right through it, and I'm not sure what your jus-  
3 tification is for having a line that far west of the well at  
4 this time.

5 A Okay, the line, as I've drawn it, through  
6 the Monsanto or in the proximity of the Monsanto off to the  
7 west, is about, I'd say, structurally maybe 15 feet up  
8 structure.

9 Q Is there any justification? What is the  
10 justification for that?

11 A My justification would be that in tying  
12 back to a gas/water contact, a gas/water contact that is  
13 drawn through the well that's currently cutting water up in  
14 Section 23, I feel that I would want to move that gas/water  
15 contact perhaps just beyond the contour line that the well  
16 in Section 23 is located on, simply because the Monsanto  
17 well has watered out; the well in Section 23 is still pro-  
18 ducing.

19 Q If a line were drawn through the Monsanto  
20 well instead of to the west of it, that would change, then,  
21 the amount of productive acres in that section, would it  
22 not?

23 A If I drew it through the Monsanto well?

24 Q Yes.

25 A Yes, sir, if I drew it through the Mon

1   santo well it would change the number of productive acreage  
2   -- acres; however, I feel that, you know, in order to be  
3   consistent with the method, that again, this same method and  
4   approach was used by Monsanto, and that I've honored their  
5   contour line through that producing well in Section 23, but  
6   if I were to draw it through the Monsanto well, I would be  
7   inconsistent with that approach; as well, I would be incon-  
8   sistent with the fact that I've drawn a line through the  
9   well in Section 6 that is currently still producing gas but  
10  cutting water.

11           Q           Okay. Do you have any disagreement that  
12  producable reserves still underlie Section 36?

13           A           There are producable reserves underlying  
14  Section 36 and I have tried to quantify those, at least  
15  quantify the number of in-place -- the amount of in-place  
16  gas above the existing gas/water contact, and whatever re-  
17  covery efficiency one wants to apply to that, would be the  
18  reserves that remain in Section 36.

19           Q           Is it possible to calculate the reserves  
20  under Section 36 and also under Amoco's Section 35?

21           A           To do that properly one would have to  
22  Isopach the remaining pay above the existing gas/water con-  
23  tact for this entire area in order to get a good Isopach  
24  map, and then to planimeter that acreage in each of those  
25  sections above that gas/water contact, which would give you

1 then the net pay that exists the existing gas/water contact  
2 and apply a calculation to that that would give you some  
3 estimate of the number of remaining reserves above that  
4 gas/water contact.

5 I think that to do it right, one would  
6 have to have some idea -- well, one would have to practical-  
7 ly model this reservoir so that you could get a true recov-  
8 ery efficiency that you might expect with this water  
9 encroachment, so that you would basically know just what in  
10 terms of gas recovery you've realized when you compare  
11 what's ahead of the -- above the gas/water contact versus  
12 what is below it when it has risen, a fractional flow curve  
13 approach, I guess, is what I --

14 Q Your answer is yes, it is possible.

15 A Yes, sir, it would be possible with some  
16 work.

17 Q Okay.

18 A It certainly would, with some work.

19 Q If such calculations, for example, showed  
20 that the remaining reserves under Section 36 were half of  
21 those under Section 35, and this pool being prorated on an  
22 acreage basis, if the allowable assigned to a well in Sec-  
23 tion 36 were 50 percent of an allowable in Section 35, under  
24 those conditions would Amoco's correlative rights be vio-  
25 lated with this well at the proposed unorthodox location?

1           A           Could you repeat that one time, Mr. Com-  
2   missioner?

3           Q           I hope so.

4           A           Okay, one more time.

5           Q           Make one assumption here.

6           A           Okay.

7           Q           And that assumption is that the reserves,  
8   remaining reserves under Section 36 are one-half of the re-  
9   maining reserves under Section 35. We do know that this  
10   pool is prorated on a straight acreage basis, so if we as-  
11   sign the well a the proposed unorthodox location in Section  
12   36 50 percent of a regular allowable, while Amoco's well re-  
13   ceives 100 percent of a regular allowable, would be be pro-  
14   tecting Amoco's correlative rights?

15          A           No, sir, I don't think so.

16          Q           In what respect?

17          A           I don't think you -- well, again, if we  
18   make that assumption, I guess I -- well, let me back up  
19   here.

20                    I guess I have a problem with the assump-  
21   tion but I --

22          Q           I appreciate that.

23          A           It seems to me that if you're going to be  
24   talking about imposing a penalty based upon some kind of re-  
25   maining reserve number, then that reserve number is going to



1 have to be accurately determined. That's why the approach  
2 we've used here is to show you that in fact the number of  
3 reserves that we estimate that --

4 Q Mr. Scheffler, you're answering me with a  
5 different set of circumstances. I wish you'd go back and  
6 answer the question that I asked with the assumptions, and  
7 I'm assuming that the assumptions are 100 percent correct in  
8 my assumption.

9 A Okay. Well, given this is a prorated  
10 field and if you want to assume that 50 percent of the gas  
11 remaining to be recovered, or the gas remaining to be  
12 recovered in 36 is 50 percent of what's in 35, I guess that  
13 would be an approach, yes, sir.

14 Q All right. Now, am I correct, you've sat  
15 in on this whole hearing, am I correct in stating that no  
16 one has presented any calculations of remaining producible  
17 reserves under Section 36, under Section 35, under Section 1  
18 at this point.

19 A Yes, sir. No one's shown anything for  
20 35, 2, and 1, you're right.

21 Q I also, I wish -- I'd like for you to  
22 answer this question for me.

23 Do you believe that of the evidence that  
24 we've got at this point, that's been presented in this case,  
25 that Monsanto's Exhibit Number Four, which is their Isopach

1 map --

2 A Yes, sir.

3 Q -- would be the closest thing that we  
4 have to work with in attempting to determine the relative  
5 reserves under these tracts.

6 A It might be the closest thing you have  
7 but it's completely incorrect, I think, for the purposes you  
8 would try to use it for.

9 Q I also assume that Amoco did have the op-  
10 portunity to present something that they thought was more  
11 correct.

12 A What I would say is that we've been talk-  
13 ing all day about -- we had the opportunity, yes, sir.

14 Q Thank you.

15 A What I would say, though, is that we've  
16 been talking all day about reserves that exist above the  
17 original gas/water contact -- or above the existing  
18 gas/water contact. We have been, that is Amoco. Monsanto  
19 again has been talking about reserves above the original  
20 gas/water contact; entirely different things and I think  
21 we're talking apples and oranges there when we try to mix  
22 the two and come up with a remaining reserve number.

23 MR. STAMETS: Are there other  
24 questions of this witness?

25

## CROSS EXAMINATION

BY MR. TAYLOR:

Q Mr. Scheffler, what was your -- did I understand you to say finally in your testimony that you would recommend a 13 percent production limitation factor? What were you talking about?

A What I said there is if one is to consider both the penalty that we recommended utilizing the radial drainage circle approach, we came up with an allowable limitation penalty there of 36 percent to be imposed upon the allowable for the well.

Then if you go and you look at the penalty to impose -- to be imposed based upon productive acreage ratio to total acreage in the unit, you get a 36 percent allowable limitation factor.

What I was saying is that actually instead of taking one or the other, it seems that it could very well be considered appropriate to apply the 36 percent that was determined from the drainage area analysis to the 36 percent penalty that we came up with by utilizing identification of productive acreage, which would result in basically multiplying one penalty times the other and giving you a 13 percent production limitation factor.

Q And the meaning of that is that the well would be able to produce 13 percent of its --

1 A Allowable.

2 Q -- of its allowable.

3 In looking at your various penalties,  
4 what overlaps in drainage did you use --

5 A I'm sorry --

6 Q -- for the various wells?

7 A Can you repeat that, please?

8 Q When you look -- when you determine a  
9 penalty, don't you look at wells in the area and how much  
10 they -- how much the application well overlaps their ac-  
11 reage?

12 A Well, I consider the offset acreage, yes,  
13 sir.

14 Q Which ones did you look at?

15 A I looked at Section -- well, I looked at  
16 the overlap that occurred onto Amoco's Section 35, the Mon-  
17 santo acreage in Section 2, and then the acreage that was  
18 encroached upon in Section 1 of, whatever that is, 22, 23, I  
19 believe.

20 Q Is that ARCO?

21 A Yes, sir.

22 Q Did ARCO object to this application?

23 A I -- no, sir, I have not seen anyone from  
24 ARCO.

25 Q Did Monsanto object to it?

1           A           No, sir.

2           Q           So you're -- so Amoco is objecting to the  
3 overlap of the drainage of this well for the other parties  
4 or for the other potential parties in this case that didn't  
5 come in.

6           A           Well, we're taking the approach that  
7 drainage is going to occur radially and it just so happens  
8 that when that happens it's going to occur on these other  
9 tracts surrounding that location, and so therefore there  
10 will be a violation of correlative rights.

11          Q           If no one objects to an application for  
12 unorthodox locations does the Division have a duty to deter-  
13 mine what drainage will occur and assess a penalty on every  
14 unorthodox application?

15          A           If no one objects, then I don't think  
16 there's a need for one to assess a penalty. If one person  
17 objects to the location of a well, then I think a penalty  
18 ought to be imposed given a complete picture as far as what  
19 correlative rights violations will occur.

20          Q           Why shouldn't the penalty affect only the  
21 drainage to Amoco rather than the drainage to the parties  
22 that are not objecting?

23          A           Again, I don't think that those who ob-  
24 ject or who don't object, that the penalty should be a basis  
25 for that. In this case we have one objection, that's Amoco.

1 Our identification of the prevention of correlative rights  
2 -- or the protection of correlative rights that should occur  
3 here, I think, would be enough for the Commission to go for-  
4 ward and set a penalty that would take care of the preven-  
5 tion of those, or the protection of those correlative  
6 rights.

7 Q How much overlap or drainage would there  
8 be to Amoco's acreage alone?

9 A I haven't really calculated that number.

10 Q You don't know -- you don't know how much  
11 the overlap is there?

12 A No, sir, I don't. I haven't --

13 Q You accept for purposes of -- or for --  
14 to be correct the exhibit of the State Land Office No. 4,  
15 which seems to show 30 acres?

16 A I'd say probably more on the line of 40  
17 acres -- 80 acres, I'm sorry.

18 Q There's 80 acres overlap between the  
19 proposed location and Amoco's existing well.

20 A Estimating it, possibly. I'd have to  
21 actually work it out to determine that acreage.

22 Q What is the difference in the penalty  
23 that would be assessed if you looked only at Amoco's acreage  
24 versus the acreage that you've been considering, which  
25 includes Monsanto and ARCO?

1           A           It would be reduced.

2           Q           To what degree?

3           A           The penalty would be reduced from a 36  
4 percent production limitation factor to about a 42, 42 per-  
5 cent production limitation factor.

6           Q           Considering only Amoco's acreage there  
7 would be a 42 percent limitation factor, would you explain  
8 how my arrived at that?

9                       It looks to me just looking at the map  
10 that the acreage that's overlapped is not Amoco acreage.

11          A           Well, let me run through the calculations  
12 one more time to make sure they're right.

13                       80 acres, as the only area of encroach-  
14 ment that we would consider and define what portion that  
15 would be of a 640-acre drainage area, then I get a ratio  
16 there, 80 acres represents -- 80 acres would represent about  
17 12.5 percent of a 640-acre drainage area.

18                       If I then take that 12.5 percent net acre  
19 encroachment and add it to the 80 percent east/west factor  
20 and 80 percent north/south factor, 172 divided by 3, which  
21 gives me 57.5 percent restriction of an unorthodox well's  
22 location, or 42 percent production limitation factor.

23          Q           So, if we're looking only at Amoco's ob-  
24 jective in this case, the penalty would more like a little  
25 less than half, based upon your findings and not Monsanto's.

1                   A                   If you consider just Amoco's acreage,  
2                   yes, sir.

3                                   MR. TAYLOR:   That's all the  
4                   questions I have.

5                                   MR. STAMETS:   Any other ques-  
6                   tions of this witness?

7                                   He may be excused.

8                                   Does anyone have anything fur-  
9                   ther they wish to add in this case?

10                                  MS. WALKER:   Mr. Commissioner,  
11                   with your permission I would like to recall Mr. Stockton for  
12                   a very, very brief observation.

13                                  MR. STAMETS:   You may recall  
14                   your witness, Ms. Walker.

15  
16                                  BRUCE STOCKTON,  
17                   being recalled as a witness and being previously sworn upon  
18                   his oath, testified as follows, to-wit:

19  
20                                  REDIRECT EXAMINATION

21                   BY MS. WALKER:

22                                  Q                   Mr. Scheffler recommended a production  
23                   penalty of 64 percent based on a formula that includes per-  
24                   centage deviation from a standard location as well as an ac-  
25                   reage amount, is that correct?



1           A           Yes. That is correct.

2           Q           And do you have an opinion as to the  
3 reliability of such a formula?

4           A           Yes, I do.

5           Q           I would ask you to refer to what has been  
6 marked as State Land Office Exhibit Nine. Was this exhibit  
7 prepared by you or under your direction?

8           A           Yes, it was.

9           Q           Would you please explain this exhibit to  
10 us?

11          A           This exhibit is a calculation of several  
12 examples of a possible penalty using a method which -- which  
13 has been presented before, taking the ratio of length,  
14 length and area and then dividing them by 3.

15                   I submit to the Commission that this  
16 method is not valid and if the Commission wished to indulge  
17 in a rather lengthy theoretical discussion, I can prove this  
18 mathematically, but for purposes here I thought that it  
19 would be a little quicker to present a few examples.

20                   If you will refer to the exhibit, the  
21 first example, 330 from the west, 330 from the south, is the  
22 same as the Monsanto unorthodox location. We calculate the  
23 north/south penalty as 80 percent, the east/west penalty as  
24 80 percent, the area penalty is 36.43 percent. The area  
25 penalty, by the way, is identical to the area drained by the

1 unorthodox location from offsetting sections.

2 The total penalty is 65.48 percent. I've  
3 put in a few more examples here so one can see what happens  
4 as the area changes in relation to the total penalty.

5 Let's look, for example, at the third  
6 one. Hypothetically I've said we'd drill a well one foot  
7 from the west line, 1650 from the south. In that case we  
8 end up with a total penalty of even less than the 330/330  
9 one.

10 Or look at the last example. In this case  
11 we're drilling a well -330 feet from the west line, drilling  
12 in the adjoining section 1320 from the south line. We're  
13 draining an acreage of 291 acres, roughly, from adjoining  
14 sections and yet the penalty calculates to be less than the  
15 total penalty on the 330/330 location.

16 Q Mr. Stockton, in your opinion is the for-  
17 mula recommended by Mr. Scheffler a reliable formula on  
18 which to base a production penalty?

19 A No, it is not.

20 Q Thank you.

21 MS. WALKER: I would offer State  
22 Land Office Exhibit Number Nine into evidence, and I have  
23 nothing further.

24

25

## 1 RECROSS EXAMINATION

2 BY MR. STAMETS:

3 Q Mr. Stockton, do you believe the Commis-  
4 sion would authorize a well to be located in an adjoining  
5 section?

6 A I certainly hope not.

7 Q One foot from the line?

8 A I certainly hope not.

9 Q Thank you.

10 MR. STAMETS: Any other ques-  
11 tions of the witness?

12 I would suggest for those who  
13 are interested that they might wish to dig out the order re-  
14 sulting from the de novo hearing involving Yates Petroleum  
15 Company, which was heard in January of this year, and I be-  
16 lieve that that order is quite instructive as to various and  
17 sundry factors which the Commission has and is currently  
18 utilizing in assigning penalties in cases such as this.

19 Does anyone have anything fur-  
20 ther they wish to add in this case?

21 Mr. Carr?

22 MR. CARR: I have a closing  
23 statement.

24 May it please the Commission,  
25 Monsanto is before you today seeking your authority to lo-

1 cate a gas well at a nonstandard location for both the Cisco  
2 and Morrow formations.

3 In the subject acreage both of  
4 these formations are on 160-acre spacing units and the tes-  
5 timony today -- I'm sorry, 640-acre spacing units, and the  
6 testimony here today shows that at least in the Cisco a well  
7 will probably drain an entire section.

8 The special pool rules for  
9 these pools provide for a setback of 1650 feet from the ad-  
10 joining propertys and Monsanto is seeking permission to lo-  
11 cate a well 80 percent closer to the property of the offset-  
12 ting interest owners at a location 330 feet away, and so  
13 they gain an advantage on Amoco.

14 The basic question before you  
15 today actually involves correlative rights. Correlative  
16 rights, as you are aware, are defined not as guaranteeing  
17 to each interest owner that he can produce the reserves  
18 under his tract today or in 1964 or tomorrow, but it is  
19 defined as the opportunity afforded to permit an operator to  
20 produce these reserves without waste and he is then given an  
21 opportunity to produce the reserves that are underneath his  
22 property, but if you engage today in an exercise which  
23 results in an order whereby you say Monsanto you have 50  
24 percent remaining reserves under your tract; Amoco you have  
25 twice that much and we're going to lock those in to

1 guarantee you that you can produce those, I suggest you're  
2 departing from the definition of correlative rights and  
3 you're taking on a new course of action which will result in  
4 every time I'm ever before you again with an unorthodox well  
5 location, I'm going to say we have X reserves under this  
6 property and we want you to set up a penalty for us where we  
7 can produce that amount, what we can show you today.

8                   It's inconsistent with the  
9 definition. What you're to do is afford Monsanto an oppor-  
10 tunity through your rules to produce its just and fair share  
11 of those reserves, the reserves under the property.

12                   Monsanto has been sitting here  
13 since 1964 aware of what goes on in that reservoir. They  
14 have known that reserves are moving from the southeast --  
15 from the northeast to the southwest in Section 35 and they  
16 don't do one thing about it until their existing well is  
17 shut in and now they want to come and get 80 percent too  
18 close to us and at something in the neighborhood of a penal-  
19 ty between 12 and 50 percent. That's absurd, because you  
20 are here directed to and authorized to impose a penalty on  
21 that well because of the advantage it's gained, and you've  
22 done that through the years.

23                   If you look at the order you  
24 cited, you'd note that in Order R-8025-A, which you issued  
25 in February, that you traditionally have imposed a penalty

1 and you've used a number of formulas in doing that. You've  
2 tried to impose a penalty that will be effective to protect  
3 the guy who's being harmed because somebody else is gaining  
4 an advantage on his property.

5                   You've used a number of ap-  
6 proaches, and, certainly we've explored every possible ap-  
7 proach here today. The bottom line is we are asking you to  
8 impose a penalty that is effective, a penalty that is mean-  
9 ingful, and a penalty that today gives them an opportunity  
10 to produce their just and fair share but protects us from  
11 drainage which results from advancing on us by 80 percent.

12                   I don't know of any more  
13 garbled (not understood) than suggesting that when you im-  
14 pose a penalty, you base that on the number of people who  
15 protest. I think that entirely misses the mark. If I have  
16 one acre of land in the extreme southeast corner of Section  
17 36 and Monsanto wanted to drill 10 feet away, assuming, and  
18 let's assume for my argument that I'm 100 percent correct,  
19 that you let them do that, and I have that one acre offset-  
20 ting them 10 feet away and I'm the only person who objects,  
21 you would say, well, because nobody else did, drain him, if  
22 that's the logic.

23                   The idea is that you set a pen-  
24 alty based on certain factors designed to protect somebody  
25 because of the advantage gained on them to drain them. It's

1 not keyed to ownership and it's not keyed to how many people  
2 come in and protest and if you take that approach, then  
3 let's forget the whole thing because a penalty will be abso-  
4 lutely a farce.

5                               There are facts before you  
6 today and they're simple. They are 80 percent too close to  
7 our lease line and they have produced this section for  
8 years; 640-acres is the presumed drainage radius. We have  
9 in this pool radial drainage. We cannot economically offset  
10 drainage with counter drainage unless we want to come in,  
11 cozy down in there with another unnecessary well 330 feet  
12 from that lease line and we are going to drain it, and when  
13 you look at what's happening to us, the drainage is keyed to  
14 two things. We're being drained because of the proximity to  
15 us. They are 80 percent too close. We're also being  
16 drained, because the new well which could drain 640 acres  
17 has a lot of acreage that's been watered out.

18                               I can't help it, they can't  
19 help it, their acreage is down structure. Their acreage has  
20 been watered out. The pay is thinner in their acreage, and  
21 when you look at this whole mess that's been dumped in your  
22 lap here today, all we're asking is that you take the fac-  
23 tors that have been presented to you, you come up with a  
24 formula based on the advantage they gain, not on how many  
25 people are lined up on either side of the room, but the ad-

1     vantage they gained on us.

2                     As to the Morrow, their own  
3     testimony is they may get a good well. It's a risk but a  
4     Morrow well is a risk, and they may get a good well, and we  
5     ask that you come in and impose a penalty using the formula  
6     that you have traditionally used, using the two circles, and  
7     that you penalize production in the Morrow.

8                     I don't think it is reasonable  
9     to ask you to treat this as a wildcat prospect when is a  
10    well on the section that has been completed in the Morrow.  
11    There's a well on the adjoining property that has been com-  
12    pleted in the Morrow. This isn't a collateral attack on  
13    pool rules. What we are doing here today is dealing with  
14    the rules for the Morrow in this area and we submit that  
15    when you calculate and impose a penalty on that, you should  
16    use 640-acre spacing. If you don't come in and you don't  
17    enter a penalty which is meaningful to protect us because  
18    someone wants to be 80 percent closer to us than the rules  
19    provide, the rules which you have promulgated, we submit you  
20    will fail in your duty to protect correlative rights and you  
21    will have failed to carry out your statutory duty.

22                     MR. STAMETS: Ms. Walker?

23                     MS. WALKER: Yes. May it  
24    please the Commission, the State has presented expert geol-  
25    ogical and engineering testimony that shows that the pro-



1 posed unorthodox location is necessary in order for Monsanto  
2 to recover its just an equitable share of the gas from the  
3 pool.

4                               The State's evidence has also  
5 shown that the proposed well will increase recovery from the  
6 pool and insure the production of gas that might otherwise  
7 be lost.

8                               If the Commission grants Mon-  
9 santo's application for an unorthodox well location, it  
10 would protect correlative rights and prevent waste.

11                              It is the State's position that  
12 if the application for the unorthodox location is granted,  
13 any production penalty in excess of 36.8 percent that might  
14 be imposed could not really be justified. The only purpose  
15 of a production penalty is to offset any advantage obtained  
16 over other producers by reason of the unorthodox location.  
17 It is not the penalty's purpose to punish a producer who has  
18 been granted an exception location.

19                              The State's geological and en-  
20 gineering evidence shows that any advantage gained by Mon-  
21 santo over the producing wells in the area as a result of  
22 the unorthodox location would fall somewhere in a range be-  
23 tween 4.5 percent and 36.8 percent. On an acreage basis the  
24 drainage area for Monsanto's proposed well overlaps the  
25 drainage area of the producing Amoco well by only 4.5

1 percent.

2 A volumetric calculation of the  
3 reserves in the Amoco well that might be drained by the pro-  
4 posed Monsanto well indicate that only about 12.6 of Amoco's  
5 production would be drained by the proposed Monsanto well.

6 A material balance calculation  
7 of reserves for the Amoco well that would be drained by the  
8 proposed Monsanto well indicate that approximately 36.8 per-  
9 cent of Amoco's reserves would be affected by the proposed  
10 well.

11 It could reasonably be con-  
12 cluded that a production penalty in the amount of any part  
13 of these percentages would accurately reflect the advantage  
14 Monsanto might obtain by reason of the unorthodox location.  
15 A production penalty in excess of 36.8 percent, however,  
16 would not correspond to the advantage obtained by reason of  
17 the unorthodox location and could not be justified.

18 The State has also offered ex-  
19 pert testimony to show that the penalty formula urged by  
20 Amoco does not accomplish the intended purpose of offsetting  
21 an exception location advantage over other producers. The  
22 formula produced inconsistent results that bear no real re-  
23 lation to any advantage that might be obtained.

24 The formula's use of percentage  
25 deviation from a standard location is premised on the as-

1     sumption that the standard location was a better location  
2     and that the production should be increased for the degree  
3     of variation from that proposed better location.

4                     Such an assumption is false.  
5     Exception locations are granted precisely because they are  
6     preferable locations, since they more effectively prevent  
7     waste and protect correlative rights than the standard loca-  
8     tion. Percentage deviation factors in a penalty formula  
9     simply punish producers in direct proportion to the distance  
10    the well is removed from the standard location. There is no  
11    correlation between a percentage deviation and the advantage  
12    obtained by virtue of the exception location.

13                    As a consequence, production  
14    penalties derived by use of such a formula would be trans-  
15    formed from protective measures into punitive measures.

16                    The penalty formula proposed by  
17    Amoco should not be used.

18                    Because the exception well  
19    would prevent waste and protect correlative rights, we res-  
20    pectfully request the Commission grant Monsanto's applica-  
21    tion for the unorthodox well location.

22                    The State further requests that  
23    if the Commission should choose to impose a production pen-  
24    alty on the well, that such penalty be based on the advan-  
25    tage actually obtained by Monsanto as indicated by either

1 acreage overlap or the State's reserve calculation, and that  
2 such production penalty be limited to an absolute maximum of  
3 36.8 percent.

4 Thank you.

5 MR. STAMETS: Mr. Lopez.

6 MR. LOPEZ: Mr. Chairman, may  
7 it please the Commission, may I ask a question first? May  
8 we be allowed to submit requested findings and (not clear-  
9 ly understood)?

10 MR. STAMETS: If any party to  
11 this hearing so desires, they may do so. We're not requir-  
12 ing any party to do that, no.

13 MR. LOPEZ: Well, we'll be glad  
14 to take advantage of that offer and that will shorten my  
15 closing remarks.

16 I call to the Commission's at-  
17 tention the two basic principals which I believe are invol-  
18 ved in this order.

19 The first, that not only is  
20 Monsanto entitled to seek an unorthodox well location under  
21 the circumstances of this case but I submit Monsanto is ob-  
22 ligated to seek such an unorthodox location in order to pro-  
23 tect the rights of other working interest owners and royal-  
24 ty owners.

25 Second, I believe the law will

1 show that there is no simple algebraic or other mathematical  
2 formula which the Commission should adhere to that cases of  
3 unorthodox well locations, subject to allowable penalties,  
4 have to be weighed on a case by case basis within the dis-  
5 cretion of the Commission.

6                   The State Land Office has  
7 showed the absurdity of the mathematical approach urged by  
8 Amoco at the original hearing in this case and resubmitted  
9 today, and further buttressed by the acreage acreage  
10 formulation that Monsanto used in the first case, I believe  
11 we have shown that this is a reservoir where the gas is  
12 migrating westward and up dip. I think it's been further  
13 shown that there are additional significant reserves to be  
14 recovered under the subject tract.

15                   I believe that there is ample  
16 evidence to show that the quality of pay is better in the  
17 Monsanto tract than the Amoco tract.

18                   I think that under whatever  
19 formula you use, whether it be an acreage formula or whether  
20 it be on a volumetric or other basis, the range of penalty  
21 in order to allow Monsanto to protect its correlative rights  
22 and that of the other working interest owners should be no  
23 greater than 36.8 percent and could be as little as 4.8 per-  
24 cent at the discretion of the Commission.

25                   I think there is also ample

1 evidence to show that unless the subject well is granted  
2 with a reasonable penalty that significant waste can and  
3 will occur.

4 I also suggest to the Commis-  
5 sion unless a reasonable penalty is forthcoming that the  
6 correlative rights of Monsanto will be jeopardized in that  
7 reserves that it's entitled to recover under its tract will  
8 migrate up dip to Amoco, and I further suggest that this is  
9 the reason why Amoco has taken the extreme position of  
10 restricting the estimate of reserves under our tract and  
11 going so far as taking both their approaches and combining  
12 them together to do a double dip and getting the penalty to  
13 be as high as 86 percent.

14 MR. STAMETS: If there is no-  
15 thing further, this case will be taken under advisement.

16  
17 (Hearing concluded,)  
18  
19  
20  
21  
22  
23  
24  
25

## C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO  
HEREBY CERTIFY the foregoing Transcript of Hearing before  
the Oil Conservation Division (Commission) was reported by  
me; that the said transcript is a full, true, and correct  
record of the hearing, prepared by me to the best of my  
ability.

Sally W. Boyd CSR