

1 STATE OF NEW MEXICO  
2 ENERGY AND MINERALS DEPARTMENT  
3 OIL CONSERVATION DIVISION  
4 STATE LAND OFFICE BLDG.  
5 SANTA FE, NEW MEXICO

6 21 November 1985

7 EXAMINER HEARING

8 IN THE MATTER OF:

9 Application of Doyle Hartman for CASE  
10 compulsory pooling, Lea County, 8769  
11 New Mexico.

12  
13  
14 BEFORE: Michael E. Stogner, Examiner  
15

16 TRANSCRIPT OF HEARING  
17

18  
19 A P P E A R A N C E S

20 For the Division: Jeff Taylor  
21 Attorney at Law  
22 Legal Counsel to the Division  
23 Energy and Minerals Dept.  
Santa Fe, New Mexico 87501

24 For the Applicant: Willam F. Carr  
25 Attorney at Law  
CAMPBELL & BLACK P. A.  
P. O. Box 2208  
Santa Fe, New Mexico 87501

## I N D E X

## WILLIAM P. AYCOCK

Direct Examination by Mr. Carr 4

Cross Examination by Mr. Stogner 24

## RUTH SUTTON

Direct Examination by Mr. Carr 25

## ROBERT H. STRAND

Direct Examination by Mr. Carr 28

Cross Examination by Mr. Stogner 31

## E X H I B I T S

Hartman Exhibit One, Plat 5

Hartman Exhibit Two, Structure Map 20

Hartman Exhibit Three, Cross Section A-A' 12

Hartman Exhibit Four, Cross Section B-B' 13

Hartman Exhibit Five, Tabulation 16

Hartman Exhibit Six, Correspondence 26

Hartman Exhibit Seven, Letter 27

Hartman Exhibit Eight, Drilling Contract 30

1  
2 MR. STOGNER: The hearing will  
3 come to order.

4 Call next Case Number 8769,  
5 which is the application of Doyle Hartman for compulsory  
6 pooling, Lea County, New Mexico.

7 We will now call for appear-  
8 ances.

9 MR. CARR: May it please the  
10 Examiner, my name is William F. Carr, with the law firm  
11 Campbell & Black, P. A., of Santa Fe. We represent Mr.  
12 Hartman in this matter and have three witnesses.

13 MR. STOGNER: Are there any  
14 other appearances?

15 Will all three witnesses please  
16 stand and be sworn.

17  
18 (Witnesses sworn.)  
19

20 WILLIAM P. AYCOCK,  
21 being called as a witness and being duly sworn upon his  
22 oath, testified as follows, to-wit:  
23  
24  
25

## DIRECT EXAMINATION

1  
2 BY MR. CARR:

3 Q Will you please state your full name and  
4 present residence?

5 A William P. Aycock, Midland, Texas.

6 Q Mr. Aycock, by whom are you employed and  
7 in what capacity?

8 A By Doyle Hartman as a consulting petro-  
9 leum engineer in connection with Case 8769, Docket 36-85.

10 Q Have you previously testified before this  
11 Division and had your credentials as a petroleum engineer  
12 accepted and made a matter of record?

13 A I have.

14 Q Are you familiar with the application  
15 filed in this case on behalf of Mr. Hartman?

16 A I am.

17 Q Are you familiar with the subject ac-  
18 reage?

19 A I am.

20 MR. CARR: Are the witness'  
21 qualifications acceptable?

22 MR. STOGNER: They are.

23 Q Mr. Aycock, will you briefly state what  
24 Mr. Hartman seeks in this case?

25 A Mr. Hartman seeks an order pooling all

1 the mineral interest from the surface to the base of the  
2 Langlie Mattix Pool underlying the southeast quarter north-  
3 east quarter, which is Unit H, of Section 26, Township 25  
4 South, Range 37 East, to form a standard 40-acre oil spacing  
5 proration unit to be dedicated to a well to be drilled  
6 thereon.

7 Q Have you prepared certain exhibits for  
8 introduction in this case?

9 A I have.

10 Q Would you please refer to what has been  
11 marked for identification as Hartman Exhibit Number One,  
12 identify this, and review the information contained thereon?

13 A Exhibit Number One is an acreage owner-  
14 ship plat that shows the acreage in question that is des-  
15 cribed in the application. It shows the existing producing  
16 well, the Doyle Hartman Carlson Federal No. 2, located 1980  
17 feet from the north and 660 feet from the east lines of Sec-  
18 tion 26, Township 25 South, Range 37 East, which is a Lang-  
19 lie Mattix Pool producer that was temporarily abandoned in  
20 January of 1973, and it shows the proposed infill location,  
21 the Doyle Hartman Carlson Federal No. 5, to be located 1750  
22 feet from the north line and 990 feet from the east line of  
23 Section 26, Township 25 South, Range 37 East, and also to be  
24 completed in the Langlie Mattix Pool.

25 In addition, it shows the nearby produc-

1 ing wells that are consequent to this application as well as  
2 showing the pre-existing lease that was put on for the 40-  
3 acre proration unit that comprises the southeast quarter of  
4 the southeast quarter of Section 23, that includes a similar  
5 situation in which the original producer was the Doyle Hart-  
6 man Carlson Federal No. 3, located 660 feet from the south  
7 and east lines of Section 23, Township 25 South, Range 37  
8 East, in the Langlie Mattix Pool, and the infillo producer,  
9 the Doyle Hartman Carlson Federal -- Carlson No. 4, located  
10 990 from the south and 990 from the east line of Section 23,  
11 Township 25 South, Range 37 East, in the Langlie Mattix  
12 Pool, and a great deal of the testimony and the information  
13 that will be presented in today's case has previously been  
14 presented in that case and that case was Case --

15 MR. CARR: Mr. Examiner, that  
16 case was Case 8668, which was --

17 A Right.

18 MR. CARR: -- presented on July  
19 31st of this year, resulted in Order R-8031, which was en-  
20 tered on September 27, 1985.

21 We'd ask that you take adminis-  
22 trative note of that case. That case is actually, virtually  
23 identical to this one, inasmuch as it was to pool a 40-acre  
24 tract for an infill Langlie Mattix Well and the only inter-  
25 est owner being pooled in that case was Howard Olson, who is

1 the same individual being pooled in this case pursuant to  
2 the terms of the identical lease arrangement.

3 MR. STOGNER: I will take ad-  
4 ministrative note of Case Number 8668 and the subsequent Or-  
5 der R-8031.

6 Q Mr. Aycok, would you review the informa-  
7 tion on this exhibit as to the other wells in the immediate  
8 area, and here I'd ask that you focus on the future recover-  
9 ies that are estimated for these wells.

10 A If you will note that the original -- the  
11 8668 case is important as it establishes a predicate for the  
12 rest of the information that will be presented here, and you  
13 will note that the negative reciprocal slope of the graph of  
14 BHP/z as a function of cumulative gas production is 2.29  
15 MMCF per psi on the original well.

16 The reason that the Carlson Federal No. 4  
17 was drilled was because of that low number for reciprocated  
18 sign change, slope of the BHP/z curve as compared to the  
19 wells that basically offset both properties to the east and  
20 southeast.

21 Those properties are, with the indicated  
22 nature of reciprocal slope of the BHP/z as a function of  
23 cumulative gas (not understood) the Amerada Hess Ida Wimber-  
24 ly No. 11, located 1980 feet from the south and 660 feet  
25 from the west line of Section 24, Township 25 South, Range

1 East, in the Langlie Mattix Pool, located northeast of the  
2 current application, the reciprocated sign change slope of  
3 the BHP/z as a function of cum gas data give us 12.73 MMCF  
4 per psi.

5 The next well to the south is the --  
6 which is a diagonal north offset to the -- diagonal north-  
7 east offset to the section in which the application -- for  
8 which the application has been made, is the Amerada Hess Ida  
9 Wimberly No. 13, located 330 feet from the south and 330  
10 feet from the west line of Section 24, Township 25 South,  
11 Range 37 East, and the sign change reciprocated slope of the  
12 BHP/z as a function of cumulative gas graph is 16.16 MMCF  
13 per psi.

14 And then to the southeast we have the El  
15 Paso Natural Gas Company Carlson "A" Federal No. 2, located  
16 660 feet from the south and 660 feet from the west line of  
17 Section 25, Township 25 South, Range 37 East in the Langlie  
18 Mattix Pool, and the sign change reciprocated slope of the  
19 BHP/z as a function of cum gas graph is 10.3 MMCF per psi.

20 The reason for the drilling of both the  
21 Carlson Federal 4 and the proposed Carlson Federal No. 5,  
22 which is the subject of this application, is because the  
23 slopes of these curves and the fact that there is no produc-  
24 tion on the 40-acre tract that is the subject of the current  
25 application, there is no production and the well slope of



1 the curves for the wells to the southeast, east, and north-  
2 east of the subject tract indicate that there is substantial  
3 reserves still in the Langlie Mattix and, in fact, it is  
4 being drained by the production from these wells, that forms  
5 the predicate for the application.

6 Q Mr. Aycok, if the wells are not drilled  
7 will the correlative rights of the interest owners in those  
8 tracts be adversely affected?

9 A They will be because the reservoir pres-  
10 sure is low enough that unless timely development occurs the  
11 reservoir pressure will be to the point that there will be  
12 no remaining reserves or their recovery would be prolonged  
13 or impossible, so that if it's not done rather expeditious-  
14 ly, there's no sense in doing it at all.

15 Q Now I'd like to direct your attention to  
16 the prior pooling case and the acreage in the southeast  
17 quarter of the southeast quarter of Section 23.

18 The original Langlie Mattix well on that  
19 pool produced for some period of time, I believe.

20 A It did.

21 Q Do you have any idea what the prior pro-  
22 duction from that well was?

23 A Yes, I do, if you'll give me a moment to  
24 refer to the hearing file for that hearing, I can tell you.

25 As of May 1st, 1985, the cumulative pro-

1     duction for the Doyle Hartman Carlson Federal No. 3, which  
2     is located 660 from the south and 660 from the east line of  
3     Section 23, Township 25 South, Range 37 East, was 1,496  
4     MMCF, and it produced during the months of January through  
5     April of 1985 an average production of 36 MCF of gas per  
6     day.

7                   Q           Now, Mr. Aycock, has Mr. Hartman con-  
8     cluded the Carlson No. 4 on that 40-acre tract?

9                   A           Yes, he has.

10                  Q           And what kind of a well has he been able  
11     to make at that location?

12                  A           An attractive Langlie Mattix very commer-  
13     cial gas well.

14                  Q           Would you now refer to what has been mar-  
15     ked for identification as Hartman Exhibit Number Two and  
16     identify this and review it, please?

17                  A           Exhibit Number Two is a structure map on  
18     top of the Penrose Sand. As the Examiner is aware, the  
19     Langlie Mattix pool is composed of the Queen and Penrose  
20     zones and the top of the Penrose is adequate to depict the  
21     structural situation in the vicinity of the proposed loca-  
22     tion.

23                               The structure map shows the traces of two  
24     cross sections, which will be subsequently presented as ex-  
25     hibits. It shows that we have a small closure here that

1 trends either almost due north/south or slightly  
2 northwest/southeast on top of the Penrose Sand, and it shows  
3 that the tract that is the subject of this application lies  
4 near the southwestern side of that area and approximately  
5 125 feet above the original gas/oil contact, which is lo-  
6 cated to the west and the southwest.

7 In viewing this map you need to be aware  
8 that the potential development matrix in this area for the  
9 Langlie Mattix are twofold and both of these matters have  
10 been dwelt on in detail in the transcript of the previous  
11 hearing, and I will not impose upon the Examiner's time by  
12 reciting those, but I would request that he take particular  
13 note of the testimony in the -- in this previous case as to  
14 the risk factors.

15 They are water production due to water  
16 injection into the gas reservoirs in the vicinity of the  
17 gas/oil contact located to the west and southwest; and com-  
18 pletion problems with the low reservoir pressssures in both  
19 the subject zones, those being the Penrose Sand and the  
20 Queen Sand. All of these problems were discussed at some  
21 length in the previous case and there is also the possibil-  
22 ity in some of the wells that were drilled to the San Andres  
23 of having water flow, cross flow, up from the San Andres in-  
24 to any of these zones if they were not properly cemented or  
25 properly plugged.

1                   Q               Mr. Aycock, are you prepared to make a  
2 recommendation to Mr. Stogner as to the risk penalty that  
3 should be assessed against any interest owner who does not  
4 voluntarily participate in the drilling of this well?

5                   A               As was documented in Case 8668 and was  
6 approved by the Commission in the order, we recommend a 200  
7 percent risk penalty for nonjoining parties.

8                   Q               Now this exhibit also contains traces for  
9 your subsequent cross sections.

10                  A               It does.

11                  Q               Would you now go to Exhibit Three, your  
12 cross section A-A', and briefly review that for Mr. Stogner?

13                  A               Exhibit Three is cross section A-A',  
14 which is a north/south cross section, and if you will refer  
15 to Exhibit Two you will notice that it passes through the  
16 pre-existing well that's on the tract that is the subject of  
17 this application, and also includes both the pre-existing  
18 and infill wells that were drilled on the southeast quarter  
19 of the southeast quarter of Section 23 and were the subject  
20 of Case 8668.

21                               Without -- without going into great,  
22 tremendous detail as to the -- on -- on each well, the cross  
23 section substantiates beyond doubt that all of the Langlie  
24 Mattix zones were originally gas-bearing and would produce  
25 gas at attractive rates; and it shows that the Hartman Carl-

1 son Federal No. 4, which was completed in September 20th,  
2 1985, through perforations between depths of 2946 and 3161  
3 feet, had an initial flowing potential of 577 MCF per day,  
4 although it is located on the same proration unit with a  
5 well that was producing -- produced during the first four  
6 months of 1985 at about 36 to 38 MCF per day, so this well  
7 alone illustrates that the hypothesis that there are sub-  
8 stantial remaining commercially recoverable gas reserves in  
9 both the Penrose and Queen portions of the Langlie Mattix  
10 Pool within the area of this application can be documented.

11 The rest of the north/south cross section  
12 simply serves to show that all the gas had been produced at  
13 various rates from all of the wells and it has been quite  
14 attractive in the vicinity of the -- of the application well  
15 in the past.

16 I won't go into all the details because I  
17 think the Examiner is able to review this at his leisure,  
18 but I believe that it will document the fact that all of  
19 these zones did produce gas, are gas-bearing, and are cer-  
20 tainly able to produce gas at attractive, commercial rates  
21 upon development.

22 Q Will you now refer to Hartman Exhibit  
23 Number Four, your B-B' cross section, and discuss this for  
24 Mr. Stogner?

25 A Cross section B-B' is a northwest/south-

1 east cross section that ties into Exhibit Three, cross sec-  
2 tion A-A', at the previous producer on the application  
3 tract, that being the Doyle Hartman Carlson Federal No. 2,  
4 located 1980 feet from the north and 660 feet from the east  
5 line of Section 26, Township 25 South, Range 37 East.

6 We would ask the Examiner to note parti-  
7 cularly that the shut-in wellhead pressure of this well is  
8 64 psi at the present time.

9 Exhibit Four will serve to document simi-  
10 lar type information to what has been discussed for Exhibit  
11 Three, and that is that all of the wells for which the Lan-  
12 glie Mattix zones have been tested within the area have pro-  
13 ven to be productive of either gas or oil, depending upon  
14 the dates at which they were -- the wells to the northeast  
15 were back in the thirties and one of them was completed for  
16 a gas well and another was completed for an oil well, the  
17 first two on the cross section. The next two were completed  
18 as oil wells and the rest of them have been oil and gas, but  
19 you will find that basically in the area now that we're  
20 talking about, gas is the remaining recoverable hydrocarbon  
21 product in both of the Langlie Mattix zones.

22 This also shows that over a period of  
23 time that stretches from the thirties through the contempor-  
24 aneous (sic) time there has been, not continuous, but spora-  
25 dic development of these Langlie Mattix zones in response to

1 the varying economic factors.

2 Q Would you now just briefly summarize the  
3 conclusions you've reached concerning this proposal based on  
4 your study of the immediate area?

5 A The proposed location is on the flank of  
6 a small closure that is contained within a larger  
7 north/south trend. The indications are that the porosity  
8 and permeability of the zones are quite good when they're  
9 properly stimulated, because based upon the results that Mr.  
10 Hartman has achieved a half a mile north on his Carlson Fed-  
11 eral 4, he is able to complete a new well that would make  
12 577 MCF per day on potential when it's located on the same  
13 40-acre tract as a well that's producing 36 MCF per day from  
14 the same zones.

15 We know that there is -- that there is  
16 the risk of some water production in the area because of the  
17 injection that has taken place to the northeast, in particu-  
18 lar on, at or about the original gas/oil contact for the  
19 Langlie Mattix zones.

20 We know that the reservoir pressure is  
21 low, as we discussed, the shut-in wellhead pressure for the  
22 existing Carlson Federal No. 2 of 164 psi, and as we delve  
23 into at some length in the transcript of Case 8668, the pre-  
24 sence of low reservoir pressures can lead to significant  
25 risks in the drilling and completion of the wells.

1                   So my conclusion is the following:   That  
2   there are commercially recoverable gas reserves remaining in  
3   the Langlie Mattix Pool at the area of the application well;  
4   that these reserves cannot be recovered without redevelopment,  
5   based upon the experience a half a mile north with the  
6   previous Case 8668; that I would anticipate the probability  
7   that if a well is completed successfully in the Langlie Mattix,  
8   it will be an attractive producer, but there are risk  
9   factors associated with the production that have to do with  
10  the mechanics of drilling and completing wells in low pressure  
11  reservoirs and the fact that you cannot define exactly  
12  where the water that has been injected will go within these  
13  zones. It probably will not be at these locations but there  
14  is a possibility that you could produce significant water.

15                   And as a result of all this, I recommend  
16  a 200 percent risk factor for non-joining parties and believe  
17  that the well will, if completed, will lead to an attractive  
18  commercial well in the Langlie Mattix zones.

19                   Q           Mr. Aycok, would you now go to Hartman  
20  Exhibit Number Five, the production tabulation, and briefly  
21  review that for the examiner?

22                   A           Exhibit Number Five is composed of  
23  production tabulations with rate/time graphs and BHP/z as a  
24  function of cumulative gas graphs for wells that are located  
25  on the cross sections that are Exhibit Three and Exhibit



1 Four.

2 The first one that's presented is the  
3 Cities Service Dabbs No. 1, located in Unit B of Section  
4 23. As you will recall, it was the first -- the lefthand  
5 well on Exhibit -- on cross section B-B', which was Exhibit  
6 Four.

7 You'll notice that prior to it being con-  
8 verted to water injection as the Langlie Mattix Queen Unit  
9 No. 31, and deepened, that there is an apparent -- starting  
10 in 1953 there is an apparent reversal of the established --  
11 well, it's actually before that, there was -- there was a  
12 trend of low pressures and then slowly, over the years it  
13 built up until 195 -- we've got a skip here -- okay, the  
14 first one's that available was in 1949; it's 528 psi, and  
15 these are in reverse order is the way you have to view them,  
16 and the pressure did not decline very much and then it drop-  
17 ped rather rapidly, and the last one that was available was  
18 back in '69, and it was 128 psi at that time, and you can  
19 review the rate/time curve and you will notice that there  
20 is, since 1960, until it was -- until it ceased in 1969,  
21 with the exception of 1964, it was -- it was a somewhat er-  
22 ratic but fairly uniform rate/time curve and there is a  
23 pretty well established BHP/z trend that's -- that would in-  
24 dicate an extrapolated value of about somewhere in the  
25 vicinity of 6.5 to 6.7 BCF original gas in place.

1           The next one that's listed would be the  
2 Cities Service Dabbs No. 2, which is now the Mobil Langlie  
3 Mattix Queen Unit No. 35, and it's located in Unit E of Sec-  
4 tion 23, and it's also been converted to water injection.

5           And since it was an oil well, there are  
6 no pressures available and -- but the gas production is  
7 graphed from '59 through '68, and you'll notice a very grad-  
8 ual, fairly regular decline in gas productivity as would be  
9 anticipated.

10           The next well is the Carlson Federal No.  
11 3, the El Paso Carlson Federal No. 3, that is located in  
12 Section 23, also, and that well has accumulated approximate-  
13 ly 1.1 BCF of gas from initial time through June of 1985,  
14 and is producing at plus or minus 120 to 180 MCF per month.

15           It does not show much decline on the  
16 rate/time curve, and it shows a very gradual reciprocated  
17 slope of 4.3 MMCF per psi on the BHP/z as a function of cum  
18 gas curve.

19           The next well that's tabulated is the  
20 Hartman Carlson Federal No. 3, which is the pre-existing  
21 well that was -- that is located -- it's the third well from  
22 the right -- left side of cross section A-A', which is Exhi-  
23 bit Three, and you'll notice that that well, as of July 1st,  
24 1985, had produced approximately 1.5 BCF of gas and was pro-  
25 ducing at about a million cubic feet a month, or a little

1 over 30 MCF a day.

2 It's had an irregular but rather -- but  
3 it gyrates around approximately a million cubic feet per  
4 month and has since 1974, and as we previously stated, the  
5 reciprocated sign changed slope of the BHP/z as a function  
6 of cum gas, 2.15 MMCF per psi.

7 The next well would be the Ida Wimberly  
8 No. 16, which we've previously discussed.

9 The Ida Wimberly No. 16 is located in  
10 Section 25, Township 35 South, Range 37 East, and it has  
11 produced an accumulative production of 1.16 BCF as of July  
12 1st, 1985, and is producing at about 100 MCF per month; has  
13 a well defined decline trend on the rate -- gas rate/time  
14 and has a reciprocated sign change slope fo the BHP/z as a  
15 function of cumulative gas graph of 15.55 MMCF, indicating  
16 that although the rates are low it is ineffectively draining  
17 a large area.

18 The next well is the Amerada Hess Ida  
19 Wimberly No. 14, located in Section 25, Township 25 South,  
20 Range 37 East, in Unit G. It has accumulated approximately  
21 600-million cubic feet of gas as of July 1st, 1985, and is  
22 producing at about 900 -- producing between 900 and 1000, a  
23 million cubic feet per month, and the rate/time curve indi-  
24 cates a very regular, with the exception of the year 1983,  
25 it's been a very regular curve at about a million cubic feet

1 a month average, and the graph of BHP/z as a function of  
2 cumulative gas production yields a sign change reciprocated  
3 slope of 8.5 MMCF per psi, indicating once again that al-  
4 though it is declining at a low rate of decline, it is inef-  
5 fectively draining a rather large area.

6 The next well is the El Paso Natural Gas  
7 Company Carlson "A" Federal No. 2, located in Unit M of Sec-  
8 tion 25, Township 25 South, Range 37 East. It has accumu-  
9 lated approximately 2.2 BCF of gas production as of July  
10 1st, 1985, and was producing at about 3.2 million cubic feet  
11 per month.

12 The rate/time curve has an irregular  
13 downward, very gradual slope, and the slope of the BHP/z as  
14 a function of cumulative gas production when reciprocated  
15 and with the sign change, is 10.33 MMCF per psi, as we pre-  
16 viously testified.

17 Then we have the Amerada Hess Ida Wimber-  
18 ly No. 1, located in Unit A of Section 26, Township 25  
19 South, Range 37 East.

20 The cumulative gas production is low. We  
21 did not add it up. It's an erratic downward curve during  
22 the time it was on production as far as the rate/time is  
23 concerned and the BHP/z as a function of cumulative gas  
24 curve has a reciprocated sign change slope of only 3.96 MMCF  
25 per psi, indicating that it was not draining a very large

1 area and was ineffectively draining it, as well.

2           The Terra Carlson Federal No. 1 operated  
3 by Doyle Hartman is located in Unit C of Section 26, Town-  
4 ship 25 South, Range 37 East, and has a cumulated since ini-  
5 tial production approximately 2.9 BCF of gas and was produc-  
6 ing between -- has produced as high as 4-million cubic feet  
7 per month within the year prior to July 1st, 1985, and was  
8 producing approximately an average of around 3.3-million  
9 cubic feet per month; has a definite downward, defined down-  
10 ward trend on the rate/time curve and there is no BHP/z data  
11 available to plot a -- to determine the slope of that curve.

12           The Santa Fe Energy Carlson "B" 26 No. 4  
13 is located in 26-I, 25 South, 37 East. It has accumulated  
14 1.4 BCF of gas production as of July 1st of 1985. It is  
15 producing at between 560 and 720 MCF per month with a very  
16 slight downward trend to the rate/time curve and with a re-  
17 ciprocated sign change slope of the BHP/z as a function of  
18 cumulative gas curve of only 5.5 MMCF per psi, indicating  
19 once again that it is not draining a very large area and is  
20 not draining it very effectively.

21           Q           Mr. Aycok, what is the estimated cost of  
22 the proposed well?

23           A           We are using the same AFE for this as we  
24 did for Case 8668, which indicates the cost of a producing  
25 well at \$390,000 and a dry hole at \$142,000.

1 Q Are these --

2 A And that is with contingencies. With a  
3 routine well with no contingencies the drilling -- the com-  
4 pleted cost would be \$329,000.

5 Q And these costs are in line with the  
6 costs for other wells in the area?

7 A They're in line with Mr. Hartman's cur-  
8 rent experience as the most active operator in the Jalmat-  
9 Langlie Mattix trend at the present time.

10 Q Have you made an estimate of the overhead  
11 and administrative costs to be assessed while drilling this  
12 well and also while --

13 A Yes.

14 Q -- producing it?

15 A \$550 per month while producing and \$5500  
16 per month while drilling.

17 Q Are these the figures that were author-  
18 ized by the Commission in Order R- -- or in the prior order  
19 for the acreage to the north?

20 A For Case 8668, yes, they were.

21 Q And do you recommend that these figures  
22 be included in any order which results from today's hearing?

23 A I do.

24 Q Mr. Aycock, does Mr. Hartman request to  
25 be designated operator of the proposed unit and well?

1           A           He does.

2           Q           In your opinion will granting this appli-  
3 cation be in the best interest of conservation, the preven-  
4 tion of waste, and protection of correlative rights?

5           A           I believe it would.

6           Q           Will we call another witness to discuss  
7 land matters and efforts to obtain voluntary joinder?

8           A           Yes, we will.

9                       MR. CARR: At this time, Mr.  
10 Stogner, we would offer into evidence Hartman Exhibits One  
11 through Five.

12                      MR. STOGNER: Exhibits One  
13 through Five will be admitted into evidence.

14           Q           Mr. Aycock, when does Mr. Hartman plan to  
15 drill this well?

16           A           As soon as possible. We'd like to com-  
17 plete it before year end, if possible.

18           Q           And therefore do we request that the or-  
19 der be expedited?

20           A           We would appreciate it very much.

21                      MR. CARR: I have nothing fur-  
22 ther of Mr. Aycock.

23  
24  
25

## CROSS EXAMINATION

BY MR. STOGNER:

Q Mr. Aycock, on all the production summaries you've given me here, it would be easy to say this proposed well would be offsetting some pretty good producers, would it not?

A Yes.

Q Has Hartman in the past joined anybody else in overhead charges of \$5500 while drilling and \$550 while producing?

A I'm not aware that he has but the reason he hasn't, there just never has been an occasion to do it. Of all the things he's been associated with for about four of the six years that I've been doing work for him, the only ones that have been an exception to this have been deep wells; have been Morrow or Atoka wells, and those were, you know, that's -- that is five or six year old history.

Since that time he has not participated, to my knowledge, in any of these shallow wells with another operator. He's been the operator of everything that he's participated in.

MR. STOGNER: I have no further questions of Mr. Aycock.

Is there anything further of this witness?



1 MR. CARR: Nothing further.

2 MR. STOGNER: Mr. Aycock may be  
3 excused.

4 MR. CARR: At this time I'd  
5 call Miss Sutton.

6  
7 RUTH SUTTON,  
8 being called as a witness and being duly sworn upon her  
9 oath, testified as follows, to-wit:

10  
11 DIRECT EXAMINATION

12 BY MR. CARR:

13 Q Will you state your full name and place  
14 of residence?

15 A Ruth Sutton, Midland, Texas.

16 Q Miss Sutton, by whom are you employed and  
17 in what capacity?

18 A By Doyle Hartman as a landman.

19 Q Have you previously testified before this  
20 Division and had your credentials as a landman accepted and  
21 made a matter of record?

22 A Yes, I have.

23 Q Are you familiar with the application  
24 filed in this case on behalf of Mr. Hartman?

25 A Yes.

1                   Q           Are you familiar with the subject ac-  
2 reage?

3                   A           Yes.

4                               MR. CARR: Are the witness'  
5 qualifications acceptable?

6                               MR. STOGNER: They are.

7                   Q           Miss Sutton, would you refer to what has  
8 been marked for identification as Hartman Exhibit Number  
9 Six, identify this, and review it for Mr. Stogner?

10                  A           This is a packet of our correspondence  
11 with Mr. Olson, the other interest owner, between the dates  
12 of January 24th and October 4th, '85.

13                               This acreage in this lease is the same  
14 Federal lease as that in our Case 8668, which we've talked  
15 about earlier, and on July 30, the day before the hearing  
16 for that case, Mr. Olson called us and said he had decided  
17 to farmout but subsequent to that, before we could send an  
18 agreement, he decided to sell all of his interest to Mr.  
19 Hartman and in this packet is a partial assignment and Bill  
20 of Sale which was furnished to Mr. Olson on September 20th,  
21 '85; however, we still don't have that signed back, which  
22 is, of course, why we're here.

23                               Mr. Olson travels extensively and is fre-  
24 quently out of the country for long periods of time, so we  
25 don't have much contact. That's why we had to go ahead with

1 our hearing, because we do have this well for our year-end  
2 drilling plans and would like to drill it in (not under-  
3 stood).

4 Q And if an agreement is received back from  
5 Mr. Olson you would immediately advise the Division that the  
6 pooling order --

7 A Yes, sir.

8 Q -- was unnecessary.

9 In your opinion has Mr. Hartman  
10 made a good faith effort to obtain Mr. Olson's voluntary  
11 joinder in this well?

12 A Yes.

13 Q Could you identify what has been marked  
14 as Hartman's Exhibit Number Seven, please?

15 A This is a letter dated November 11 noti-  
16 fying Mr. Olson of this hearing and the one you have does  
17 not have a return receipt but Mr. Stogner, here it is, ap-  
18 pended to that.

19 Q So we have received a return receipt on  
20 this letter?

21 A Yes.

22 Q Were Exhibits Six and Seven either pre-  
23 pared by you or compiled under your direction and supervi-  
24 sion?

25 A Yes.

1 MR. CARR: At this time, Mr.  
2 Stogner, we would offer into evidence Hartman Exhibits Six  
3 and Seven.

4 MR. STOGNER: Exhibits Six and  
5 Seven will be admitted into evidence.

6 MR. CARR: And I have no fur-  
7 ther questions of Miss Sutton.

8 MR. STOGNER: Are there any  
9 questions of this witness?

10 If not, she may be excused.

11 MR. CARR: At this time I call  
12 Bob Strand.

13  
14 ROBERT H. STRAND,  
15 being called as a witness and being duly sworn upon his  
16 oath, testified as follows, to-wit:

17  
18 DIRECT EXAMINATION

19 BY MR. CARR:

20 Q Will you state your full name and place  
21 of residence?

22 A Robert H. Strand, Roswell, New Mexico.

23 Q Mr. Strand, by whom are you employed and  
24 in what capacity?

25 A I'm an attorney with the firm of Atwood,

1 Malone, Mann, and Turner in Roswell.

2 Q Are you employed in this case by Mr.  
3 Hartman?

4 A Yes, I am.

5 Q What have you been asked to do for Mr.  
6 Hartman in regard to this case?

7 A As part of this case, as well as the  
8 prior case, Case 8669, I believe it is, I was retained by  
9 Mr. Hartman to examine title to these leases and examine  
10 various other instruments relating to the lands involved.

11 Q And have you made that review?

12 A Yes, I have.

13 Q And you're familiar with the application  
14 filed in this case on behalf of Mr. Hartman?

15 A Yes, I am.

16 Q Mr. Strand, would you advise Mr. Stogner  
17 of what conclusions you have reached as a result of your  
18 work as to the status of the ownership under the 40-acre  
19 tract which is the subject of today's hearing?

20 A The operating rights involved under this  
21 tract, as well as the tract involved in the prior hearing,  
22 are owned of record 75 percent by Doyle Hartman and other  
23 persons associated with him, and 25 percent by R. Howard Ol-  
24 son.

25 Q Would you identify what has been marked

1 as Hartman Exhibit Number Six and explain to Mr. Stogner why  
2 this document has been included in this -- in the exhibits  
3 presented in this case?

4 A Mr. Hartman purchased his share of the  
5 operating rights under this particular tract from Sun  
6 Exploration and Production Company, I believe, in May of  
7 1984.

8 At that -- subsequent to that purchase  
9 and to the drilling of the prior well, there was some ques-  
10 tion raised as to what operating agreement, if any, was ef-  
11 fective as to these lands. This particular contract, desig-  
12 nated as a drilling contract, being Exhibit Number Six, was  
13 provided to Mr. Hartman from Sun's files.

14 Q That's Exhibit Number Eight.

15 A Number Eight.

16 Q Yes.

17 A From Sun Exploration and Production Com-  
18 pany's files with some indication from them that they felt  
19 that this was the operating agreement, as such, covering  
20 these lands.

21 I reviewed this agreement and it does not  
22 appear to me to cover the lands involved or the intervals,  
23 and as best we can determine at this point in time, there is  
24 no formal operating agreement of any type covering these  
25 lands.

1                   Q                   And so the way to bring this acreage in,  
2 absent a new agreement with Mr. Olson, is to come seeking a  
3 pooling order.

4                   A                   Yes.

5                                       MR. CARR:    At this time, Mr.  
6 Stogner, I would move the admission of Exhibit Number Eight,  
7 which is a copy of the drilling contract about which Mr.  
8 Strand testified.

9                                       MR. STOGNER:   Exhibit Number  
10 Eight will be admitted into evidence.

11                                      MR. CARR:    And I have no fur-  
12 ther questions of this witness.

13

14

CROSS EXAMINATION

15 BY MR. STOGNER:

16                   Q                   Mr. Strand, when did this document become  
17 in effect?

18                   A                   Mr. Stogner, I don't believe it ever was  
19 effective. It does not cover the lands involved.

20                   Q                   Okay. I have no further witnesses of Mr.  
21 Strand -- I mean no further questions of Mr. Strand.

22                                      MR. STOGNER:    Are there any  
23 other questions of this witness?

24                                      MR. CARR:    I have no further  
25 questions of this witness.

1 MR. STOGNER: If not, he may be  
2 excused.

3 Anything further in Case 8769?

4 MR. CARR: Mr. Stogner, I have  
5 a proposed order to offer and would request that you expe-  
6 dite the order in this case as soon as possible.

7 MR. STOGNER: Thank you, Mr.  
8 Carr.

9 MR. CARR: And I have nothing  
10 further in this case.

11 MR. STOGNER: Does anybody else  
12 have anything further in 8769?

13 If not, this case will be taken  
14 under advisement.

15

16 (Hearing concluded.)

17

18

19

20

21

22

23

24

25



## C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY  
CERTIFY that the foregoing Transcript of Hearing before the  
Oil Conservation Division (Commission) was reported by me;  
that the said transcript is a full, true, and correct record  
of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is  
a complete record of the proceedings in  
the Examiner hearing of Case No. 8769,  
heard by me on 21 November 1985.

Michael E. Stogner, Examiner  
Oil Conservation Division