

STATE OF NEW MEXICO
ENERGY AND MINERALS DEPARTMENT
OIL CONSERVATION DIVISION
STATE LAND OFFICE BLDG.
SANTA FE, NEW MEXICO

21 November 1985

EXAMINER HEARING

IN THE MATTER OF:

Application of Doyle Hartman for CASE
nonstandard proration unit, two 8770
unorthodox gas well locations,
and simultaneous dedication, Lea
County, New Mexico.

BEFORE: Michael E. Stogner, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Division:

Jeff Taylor
Attorney at Law
Legal Counsel to the Division
Energy and Minerals Dept.
Santa Fe, New Mexico 87501

For the Applicant:

Willam F. Carr
Attorney at Law
CAMPBELL & BLACK P. A.
P. O. Box 2208
Santa Fe, New Mexico 87501

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

WILLIAM P. AYCOCK

Direct Examination by Mr. Carr 3

E X H I B I T S

Hartman Exhibit One, Plat	5
Hartman Exhibit Two, Structure Map	9
Hartman Exhibit Three, Cross Section A-A'	10
Hartman Exhibit Four, Cross Section B-B'	11
Hartman Exhibit Five, Tabulation	12
Hartman Exhibit Six, Pressure Map	13
Hartman Exhibit Seven, BHP Surveys	14
Hartman Exhibit Eight, Document	15
Hartman Exhibit Nine, Waiver Letter	15
Hartman Exhibit Nine-A, Waiver Letter	16

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. STOGNER: Call Case Number
8770.

MR. TAYLOR: The application of
Doyle Hartman for nonstandard proration unit, two unorthodox
locations, and simultaneous dedication, Lea County, New Mex-
ico.

MR. CARR: May it please the
Examiner, my name is William F. Carr with the law firm Camp-
bell and Black, P. A., of Santa Fe. We represent Mr. Hart-
man in this matter and have one witness.

MR. STOGNER: Any other appear-
ances?

Will the witness please stand?

(Witness sworn.)

WILLIAM P. AYCOCK,
being called as a witness and being duly sworn upon his
oath, testified as follows, to-wit:

DIRECT EXAMINATION

BY MR. CARR:

Q Will you state your full name and place
of residence?

1 A William P. Aycock, Midland, Texas.

2 Q Mr. Aycock, by whom are you employed and
3 in what capacity?

4 A Doyle Hartman, employed by Doyle Hartman
5 as a consulting petroleum engineer in connection with Case
6 8770, Docket Number 36-85.

7 Q Have you previously testified before this
8 Division and had your credentials accepted and made a matter
9 of record?

10 A I have.

11 Q Were you qualified at that time as a pet-
12 roleum engineer?

13 A I was.

14 Q Are you familiar with the application
15 filed in this case on behalf of Mr. Hartman and the subject
16 acreage?

17 A I am.

18 MR. CARR: Are the witness'
19 qualifications acceptable?

20 MR. STOGNER: They are.

21 Q Mr. Aycock, will you please state what
22 Mr. Hartman seeks in this case?

23 A Mr. Hartman has applied for a nonstandard
24 proration unit with two unorthodox well locations and simul-
25 taneous dedication for the drilling of two wells to be lo-

1 cated, the first of which, at a location 2310 from the north
2 and 100 feet from the east line of Section 20, and the se-
3 cond to be 2145 feet from the north line and 1600 feet from
4 the west line of Section 21, both in Township 22 South,
5 Range 36 East, in the Jalmat Gas Pool, Lea County, New Mex-
6 ico.

7 Q And, Mr. Aycock, both of these proposed
8 locations are unorthodox well locations, is that correct?

9 A That's correct.

10 Q Have the locations been staked at this
11 time?

12 A They have not been staked at this time.

13 Q If it becomes necessary to move these
14 well locations, will Mr. Hartman move them back toward a
15 standard location and not a location that is more unorthodox
16 than those proposed?

17 A That is correct. If it is necessary to
18 move them, the movement will be toward a more orthodox loca-
19 tion from the locations that have just been recited.

20 Q Would you now refer to what has been mar-
21 ked as Hartman Exhibit One, identify this and review it for
22 Mr. Stogner?

23 A Hartman Exhibit Number One is an acreage
24 plat that shows the proposed 320-acre proration unit com-
25 prising the northeast quarter of 20 and the northwest quar-

1 ter of Section 21, all in Township 22 South, Range 36 East,
2 in Lea County, New Mexico.

3 Q Now, using this exhibit would you supply
4 the Examiner with a general background history of how this
5 acreage has been developed?

6 A The Sun Boren-Greer No. 1 Well was lo-
7 cated in Unit B of Section 21 and at the time that well was
8 drilled there was a 320-acre proration unit comprised of the
9 northwest quarter of 21 and the northeast quarter of 20 de-
10 dicated to that well. That was Case Number 1317, Order Num-
11 ber 1074, and that was in October of 1957.

12 The Sun Boren-Greer Well No. 2 was dril-
13 led in Unit C of Section 21 and had the same 320-acre non-
14 standard proration unit dedicated to it and there was an ad-
15 ministrative order, R-5688, that approved the drilling of
16 this well, and this was in 1978.

17 The last well that was previously drilled
18 on the lease was the Boren-Greer No. 3, which is located in
19 Unit A of Section 20. At that time the existing 320-acre
20 proration unit was broken into two 160-acre nonstandard pro-
21 ration units. The order number that accomplished this was
22 Order R-6984, and this was in 1982.

23 Q And today Mr. Hartman is seeking the re-
24 establishment of the 320-acre unit that was originally
25 created back in 1957.

1 A That was originally created in 1957 and
2 was reaffirmed in 1978, that's correct.

3 Q Do you have anything further to testify
4 to from Exhibit Number One?

5 A All of the wells that are shown on Exhi-
6 bit Number One are consequential to this application and
7 we'll give further testimony with subsequent exhibits that
8 will apply to the point that there is observed water produc-
9 tion that has to be isolated in the Lower Yates and Upper
10 Seven Rivers formations in which the Boren-Greer Nos. 1 and
11 2 have been squeeze cemented and in which it appears that it
12 may be necessary to re-enter the Boren and Greer No. 3 and
13 isolate these same zones to prevent cross flow.

14 Q Would you review briefly the efforts made
15 by Mr. Hartman to clean up the problems that were existing
16 on this lease at the time he acquired it?

17 A Okay. Mr. Hartman, on the Boren and
18 Greer Gas Com No. 1, Mr. Hartman filed a C-103 with the Com-
19 mission on October 25th, 1985, in which he moved in, re-
20 covered all the downhole equipment; ran in with overshot and
21 mill; washed over and recovered tubing between depths of
22 3228 to 3349 feet, and set a cement retainer and mixed and
23 pumped 150 sacks of cement, Thixotropic cement, followed by
24 700 sacks of neat cement, and squeezed off all of the fol-
25 lowing perforations, 3065 to 94; 3103 to 17; 3133 to 40;

1 3153 to 3203; 3217 to 3250; 3343 to 49; 3391 to 95; and 3412
2 to 38; and 3461 to 70.

3 All of those perforations were in the
4 Lower Yates and Upper Seven Rivers. They were contributing
5 to the water that was existing in the wellbore and it caused
6 problems with scaling and with the corrosion of the tubing
7 and they have now been squeezed off.

8 A similar procedure was followed with the
9 Boren and Greer No. 2, a C-103 that's dated March 21st,
10 1985, and the perforations are recounted on the C-103, which
11 will subsequently be put into the record. It's the same
12 zones. It's the Lower Yates and Upper Seven Rivers zones.
13 They bear water. If they're not isolated, they will flood
14 out the middle of Seven Rivers and Lower Seven Rivers por-
15 tion of the Jalmat that do contain gas and they also contri-
16 bute to mechanical problems because of scaling and corro-
17 sion.

18 Q What is the status of the No. 3 Well?

19 A The No. 3 Well is producing from the Tan-
20 sill. It's just barely producing anything and it's Mr.
21 Hartman's prospective intent to knock out the plugs and
22 squeeze off the Lower Yates and Upper Seven Rivers to pre-
23 vent the water from migrating up or down the hole to create
24 problems in the middle -- particularly down the hole to the
25 Middle Seven Rivers or Lower Seven Rivers, and flood those

1 out so that that gas -- those gas reserves cannot be re-
2 covered.

3 Q Mr. Aycock, I believe you testified there
4 was substantial water production from the zone -- from var-
5 ious zones in each of these wells?

6 A That's correct.

7 Q And will that be shown on --

8 A Subsequent exhibits.

9 Q -- subsequent cross sections?

10 A That's correct.

11 Q Would you now refer to what has been mar-
12 ked as Hartman Exhibit Number Two, identify that and review
13 it, please?

14 A Hartman Exhibit Number Two is a structure
15 map on the top of the Yates formation that includes the pro-
16 posed 320-acre nonstandard proration unit. It shows the
17 cross section traces that will subsequently be presented and
18 shows the two proposed well locations.

19 I would call the Examiner's attention to
20 the fact that there is an error in the scale of the map that
21 was not discovered until these exhibits had been prepared.

22 Well No. 5 appears to encroach upon the
23 section line, the location that has been requested. That
24 is, 2310 from the north and 100 feet from the east line ap-
25 pears to encroach upon the section line. It will not do so

1 and the footage that is at the bottom of Exhibit Two is the
2 one that is requested and there will be no encroachment on
3 the section line at that location.

4 Q Mr. Aycock, what general conclusions can
5 you reach about the structure?

6 A We have a small closure on the top of the
7 Yates. It's impossible to tell the exact reason for the ob-
8 served water production in the Lower Yates and Upper Seven
9 Rivers, but it has been documented in all of the Boren and
10 Greer gas units and in the Hartman Gulf-Greer No. 1, and
11 there's no question that it's there and there's no question
12 that it's a problem and it has to be isolated in order to
13 recover the gas and the -- while there was gas originally in
14 the Lower Yates and Upper Seven Rivers, there is no longer
15 in this immediate area, and whatever the remaining reserves
16 are there are in the Middle Seven Rivers and Lower Seven
17 Rivers portion of the Jalmat Pool interval.

18 Q Mr. Aycock, would you now turn to Hartman
19 Exhibit Three, your cross section A-A', and review that?

20 A Cross section A-A' is figure -- Exhibit
21 Three and is -- the trace of which is shown on Exhibit Two.

22 We would point out to the Examiner that
23 this is a north/south cross section in which all of the per-
24 tinent data are included, and in the interest of time I will
25 not recite them, but it includes the completion dates of the

1 wells, the intervals from which they were completed; what
2 the results of the initial completion were; and we would
3 particularly call the Examiner's attention to the fact that
4 the second and third wells from the left, which are the
5 Doyle Hartman Boren-Greer No. 2 and the Doyle Hartman Gulf-
6 Greer No. 1, on this cross section have experienced water
7 production from perforations that are now squeezed off in
8 the Lower Yates and Upper Seven Rivers formations and the
9 Conoco (not understood) South Eunice No. 18, which is to be
10 converted to a water injection well in the Langlie Mattix
11 zones, which is the righthand well on this cross section,
12 also experience water production from the Lower Yates and
13 Upper Seven Rivers, all of which were squeezed off in 1974.

14 There is a continuing scale problem asso-
15 ciated with the production of water on the Doyle Hartman
16 Gulf-Greer No. 1. The water that's produced, while there
17 are no analyses available of it, superficially appears to be
18 reef water because it is fresh but it's highly corrosive.

19 Q Will you now review Exhibit Number Four,
20 cross section B-B?

21 A Cross section B-B' is a west/east cross
22 section. Once again the intervals that have produced water
23 in the Lower Seven Rivers and -- I mean the Lower Yates and
24 Upper Seven Rivers formation are colored in blue, both on
25 the logs and the intervals that are described on the comple-

1 tion records that produced water are indicated in blue, and
2 all of those that produced gas are shown in yellow.

3 We would call the Commission's attention
4 to the fact that Well No. 1 was -- is partially -- was ori-
5 ginally partially gas productive from the perforations in
6 the very top of the -- in the Yates, above the Yates in the
7 Tansill. That's the Boren and Greer No. 3 that we've pre-
8 viously discussed, and that there was -- there is -- all of
9 these wells have produced significant quantities of gas at
10 one time or another from zones that are now watered out and
11 that, further, you will, as will be subsequently estab-
12 lished, there is abnormally high pressure associated with
13 the observation of water production from the Lower Yates and
14 the Upper Seven Rivers formations in all of the wells in
15 which it has been tested, or in which it has occurred
16 through previously gas-producing perforations.

17 Q Will you now go through Hartman Exhibit
18 Five, identify this, and review what it shows?

19 A Hartman Exhibit Number Five is a tabula-
20 tion of -- includes the two C-103's that have previously
21 been referred to that apply to the workovers that Mr. Hart-
22 man did non the Boren and Greer Gas Com No. 1 and the Boren
23 and Greer Gas Com No. 2.

24 It includes the costs of the clean-out
25 and squeeze cost to isolate the Lower Yates and Upper Seven

1 Rivers water-bearing zones in the two wells which are appro-
2 ximately \$92,500, and also includes a letter from Sun's file
3 showing that at the time they were the operator they felt
4 that there were significant gas reserves in the area; that
5 they were difficult to recover because of the water problem.

6 Q In this situation what does Mr. Hartman
7 have to do to protect himself?

8 A He will have to redrill the proration
9 unit and complete the well selectively in the Middle and
10 Lower Seven Rivers portions of the Jalmat interval in order
11 to recover the remaining gas reserves.

12 When he purchased the lease from Sun he
13 was not aware of these -- of the scope of the problems at
14 the time he purchased it, and that's the reason that all
15 this work has been done subsequent to that time.

16 Q Mr. Aycock, will you now refer to Hartman
17 Exhibit Six, identify this, and review it for us?

18 A Hartman Exhibit Number Six is a pressure
19 map which shows the -- for the various wells that have been
20 discussed here, they include the Hartman Boren-Greer Nos. 1
21 and 2, the Doyle Hartman Gulf-Greer No. 1 and the Dalport A.
22 L. Christmas No. B-1, it shows that at the time the Lower
23 Yates and Upper Seven Rivers formations were open there had
24 been abnormally high pressures indicated, both wellhead
25 pressures and subsurface pressures. The normal shut-in

1 pressure would be expected to range plus or minus about 100
2 psi and the normal subsurface pressure plus or minus about
3 150 psi, and you will notice that every time that these, the
4 Lower Yates and Upper Seven Rivers formations have been open
5 and the water production has occurred, we have seen pres-
6 sures in the range of 400 to 500 psi.

7 Q Will you now go to Exhibit Seven, the BHP
8 surveys?

9 A Attached here are the following BHP sur-
10 veys: For the Hartman Boren and Greer No. 1, on the date of
11 9-6-84 there is an indicated bottom hole pressure of 491 psi
12 at a depth of 270 feet.

13 For the Boren and Greer No. 2 there are
14 two of them. One of them is prior to the opening up of the
15 Lower Yates and Upper Seven Rivers. That's in 11-30-78,
16 and it shows a bottom hole pressure of 282 psi at a depth of
17 3550 feet.

18 And then on 10-4-84 after these zones had
19 been opened, there's a bottom hole pressure of 454 psi at
20 3600 feet that is -- what was also detected.

21 And finally, we have two surveys on the
22 Gulf-Greer No. 1, one on 4-16-78 where the bottom hole pres-
23 sure was 417 psi at a depth of 3450 feet; and another one
24 subsequent to the isolation of the squeezing off or elimina-
25 tion of the perforations in the Lower Yates and Upper Seven

1 Rivers on 4-19-78 with a bottom hole pressure of 237 psi at
2 a depth of 3450 feet.

3 Q Will you proceed to Hartman Exhibit
4 Eight, identify this, and review the information contained
5 therein?

6 A Hartman Exhibit Eight are tabulations of
7 gas production and shut-in wellhead pressure with production
8 curves for the wells that have been discussed in the -- pre-
9 viously, the subject of this application, and in view of the
10 time constraints that are imposed upon this docket and the
11 fact that there's a significant volume of it, I would invite
12 the Mr. Examiner to please review these and notice that they
13 will further document the fact that there are high reservoir
14 pressure; that is, in the range of 4500 pounds, have been
15 observed for shut-in well head pressures and/or subsurface
16 pressures at the time the water production problems have oc-
17 curred from the Lower Yates and Upper Seven Rivers, as well
18 as the fact that there have been -- there is significant gas
19 production that has occurred from the Jalmat zones within
20 the area of this lease that's the subject of this applica-
21 tion.

22 Q Will you now go to Exhibit Number Nine
23 and identify that?

24 A Exhibit Number Nine is a -- is a waiver
25 letter directed to Mr. Gilbert Quintana, dated July the

1 22nd, 1985, from W. Thomas Kellahin, that refers to a waiver
2 from Zia Energy pertaining to this tract and it also states
3 that while Conoco, Inc., will -- cannot sign a waiver, they
4 will not oppose an application on this lease.

5 Q Mr. Aycock, I'm going to hand you what
6 has been marked as Exhibit Nine-A and ask if the letter at-
7 tached, dated July 1, 1985, is in fact the waiver letter
8 from Zia Energy?

9 A That's correct.

10 MR. STOGNER: Is this an exhi-
11 bit?

12 MR. CARR: That's Exhibit Nine-
13 A.

14 MR. STOGNER: Okay.

15 Q Mr. Aycock, do you have anything further
16 to add to your testimony in this matter?

17 A No, I think we've documented the fact
18 that to recover the remaining reserves, that there will have
19 to be redevelopment and that there has been water production
20 that's been a severe problem in the Lower Yates and Upper
21 Seven Rivers formation and that the remaining gas reserves,
22 if any, on this lease will be derived from the Middle and
23 Lower Seven Rivers portions of the Jalmat interval.

24 Q And, Mr. Aycock, were Exhibits One
25 through Nine prepared by you or compiled under your direc-

1 tion?

2 A They were.

3 Q And Exhibit Nine-A is a copy of records
4 from the files of the Oil Commission?

5 A It is.

6 MR. CARR: At this time, Mr.
7 Stogner, we would offer into evidence Hartman Exhibits One
8 through Nine and Nine-A.

9 MR. STOGNER: Exhibits One
10 through Nine and Exhibit Nine-A will be admitted into evi-
11 dence.

12 Q Mr. Aycock, when does Mr. Hartman hope to
13 drill the additional wells in this area?

14 A He would like to drill them in calendar
15 1985, if possible.

16 Q And are we asking that the orders be ex-
17 pedited, to the --

18 A We would sincerely appreciate it if they
19 could be.

20 Q -- extent possible.

21 MR. CARR: At this time, Mr.
22 Stogner, that concludes my direct examination of Mr. Aycock
23 and I pass the witness for cross.

24 MR. STOGNER: Okay, Mr. Aycock,
25 as I understand the two nonstandard well locations will be

1 at the worst the locations as advertised today --

2 A Yes, sir.

3 MR. STOGNER: -- and if they
4 have to be moved away for some reason, such as a pipeline,
5 they will be moved to a less unorthodox location?

6 A That's right, to a fairly more orthodox
7 location.

8 MR. STOGNER: Thank you, Mr.
9 Aycock.

10 I have no further questions of
11 this witness.

12 Are there any other questions
13 of Mr. Aycock?

14 There being none, Mr. Aycock
15 may step down.

16 Anything further in Case 8770?

17 There appears there is none.
18 Case 8770 will be taken under advisement.

19
20 (Hearing concluded)
21
22
23
24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY CERTIFY that the foregoing Transcript of Hearing before the Oil Conservation Division (Commission) was reported by me; that the said transcript is a full, true, and correct record of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 8770, heard by me on 31 November 1985.

Michael E. Rogers, Examiner
Oil Conservation Division