

## NEW MEXICO OIL CONSERVATION COMMISSION

## COMMISSION HEARING

SANTA FE, NEW MEXICOHearing Date APRIL 10, 1986 Time: 9:00 A.M.*Continued From 4/9/86*

NAME	REPRESENTING	LOCATION
R.W. Abbott	Petro-Thermo Corp.	Hobbs, N.M.
W.G. Abbott	AGUA	Hobbs
Daniel B. Stephens	Petro-Thermo	Socorro, NM
JAMES D. THORNTON	AGUA, INC.	HOBBS, NM
John Paul Weiser	Madrox, R. & S. / Samuels	Hobbs, NM
Francis R. Cherry	BLM	Roswell NM
C. KENNEDY	INDEPENDENT	ALBU, N.M.
Michael E. Stoyner	OCD	Santa Fe, NM
Paul Hahn	Byram	Santa Fe
Ellie Seay	OCD Hobbs	Hobbs, Fe
ROBERT H. LANE	NEW MEXICO PETASH CORP	HOBBS
W. J. Kellerman	Kellerman & Kellerman	Santa Fe

STATE OF NEW MEXICO  
ENERGY AND MINERALS DEPARTMENT  
OIL CONSERVATION DIVISION  
STATE LAND OFFICE BLDG.  
SANTA FE, NEW MEXICO

10 April 1986

COMMISSION HEARING  
VOLUME 1 OF 2 VOLUMES

IN THE MATTER OF:

Application of Petro-Thermo Cor-                      CASE  
poration for an exception to                      8781  
Division Order R-3221, Lea County,  
New Mexico.

BEFORE; Richard L. Stamets, Chairman  
Ed Kelley, Commissioner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Oil Conservation                      Jeff Taylor  
Division:                      Legal Counsel to the Division  
Oil Conservation Division  
State Land Office Bldg.  
Santa Fe, New Mexico 87501

For Petro-Thermo:                      John Paul Weber  
Attorney at Law  
MADDOX, RENFROW & SAUNDERS  
P. O. Box 5370  
Hobbs, New Mexico 88241

For Snyder Ranches and                      W. Thomas Kellahin  
Pollution Control:                      Attorney at Law  
KELLAHIN & KELLAHIN  
P. O. Box 2265  
Santa Fe, New Mexico 87501

## A P P E A R A N C E S

For Snyder Ranches & J. W. Neal  
Pollution Control: Attorney at Law  
NEAL & NEAL  
116 North Turner  
Hobbs, New Mexico 88240

## I N D E X

STATEMENT BY MR. WEBER	8
STATEMENT BY MR. KELLAHIN	12
DANIEL BRUCE STEPHENS	
Direct Examination by Mr. Weber	14
Cross Examination by Mr. Kellahin	28
Cross Examination by Mr. Stamets	43
Recross Examination by Mr. Kellahin	45
Cross Examination by Dr. Kelley	47
Questions by Mr. Lyon	48
Redirect Examination by Mr. Weber	49
Recross Examination by Mr. Kellahin	52
Recross Examination by Mr. Stamets	57

## I N D E X CONT'D

1		
2		
3		
4	JAMES D. THORNTON	
5	Direct Examination by Mr. Weber	58
6	Cross Examination byk Mr. Kellahin	74
7	Cross Examination by Dr. Kelley	88
8	Questions by Mr. Lyon	88
9		
10	W. G. ABBOTT	
11	Direct Examination by Mr. Weber	92
12	Cross Examination by Mr. Kellahin	106
13	Cross Examination by Mr. Stamets	120
14		
15	STATEMENT BY MR. FRANCIS R. CHERRY, JR.	122
16	Questions by Mr. Stamets	129
17	Questions by Dr. Kelley	130
18	Questions by Mr. Lyon	131
19	Questions by Mr. Kellahin	133
20	Questions by Dr. Kelley	134
21	Questions by Mr. Weber	135
22		
23	MOTION BY MR. KELLAHIN	141
24	ARGUMENT BY MR. WEBER	143
25	REBUTTAL BY MR. KELLAHIN	144
	MOTION OVERRULED	144

## I N D E X CONT'D

## T. E. (TIM) KELLY

Direct Examination by Mr. Kellahin	145
Cross Examination by Mr. Weber	180
Cross Examination by Mr. Stamets	204
Cross Examination by Dr. Kelley	209
Questions by Mr. Lyon	210

## LARRY SQUIRES

Direct Examination by Mr. Kellahin	212
Cross Examination by Mr. Weber	230

## E X H I B I T S

P-T Exhibit One, Certificate	96
P-T Exhibit Two, List	
P-T Exhibit Three, Letter	
P-T Exhibit Four, Document	99
P-T Exhibit Five, Letter	102
P-T Exhibit Six, Letter	102
P-T Exhibit Seven, Letter	102
P-T Exhibit Eight, Report	62

1

2

## E X H I B I T S CONT'D

3

4

P-T Exhibit Nine, Report

18

5

P-T Exhibit Ten, Chemical Analysis

6

P-T Exhibit Eleven, Photograph

231

7

P-T Exhibit Twelve, Photograph

231

8

P-T Exhibit Thirteen, Photograph

231

9

P-T Exhibit Fourteen, Photograph

231

10

P-T Exhibit Fifteen, Photograph

231

11

12

13

PC Exhibit One, Water Level Plot

148

14

PC Exhibit Two, Plate

152

15

PC Exhibit Three, Plat

152

16

PC Exhibit Four, List

155

17

PC Exhibit Five, Figure #4

159

18

PC Exhibit Six, Summary

164

19

20

21

22

23

24

25

1  
2 MR. STAMETS: The hearing will  
3 come to order.

4 We'll call Case Number 8781.

5 MR. TAYLOR: The application of  
6 Petro-Thermo Corporation for an exception to Division Order  
7 No. R-3221 and for authorization to dispose of associated  
8 waste hydrocarbons and other solids obtained in conjunction  
9 with the drilling and production of oil and gas into a dis-  
10 posal site on the surface, Lea County, New Mexico.

11 MR. STAMETS: Call for appear-  
12 ances.

13 MR. WEBER: Sir, my name is  
14 John Paul Weber. I am with the law firm of Maddox, Renfrow,  
15 and Saunders, in Hobbs, New Mexico.

16 I appear today on behalf of  
17 Petro-Thermo.

18 MR. KELLAHIN: Mr. Chairman,  
19 I'm Tom Kellahin of Santa Fe, New Mexico, appearing in asso-  
20 ciation with J. W. Neal of Hobbs.

21 We are representing Snyder Ran-  
22 ches and Pollution Control, Inc.

23 MR. STAMETS: Any other appear-  
24 ances?

25 How many witnesses will we have

1 today?

2 MR. WEBER: Sir, Petro-Thermo  
3 Corporation has four witnesses to be sworn.

4 MR. KELLAHIN: I anticipate  
5 having two witnesses, Mr. Chairman.

6 MR. STAMETS: And are all those  
7 present now?

8 MR. WEBER: Yes, sir, they are.

9 MR. STAMETS: Will they all  
10 stand and be sworn at this time.

11

12 (Witnesses sworn.)

13

14 MR. KELLAHIN: Point of in-  
15 quiry, Mr. Chairman.

16 I recognize that there is a  
17 gentleman from the BLM here. Perhaps the Chair could in-  
18 quire as to whether or not he wants his testimony under oath  
19 or if he proposes to make some statement at the conclusion  
20 of the case.

21 I have not talked to the gen-  
22 tleman; I do not know.

23 MR. CHERRY: The gentleman just  
24 proposes to read a prepared statement that we've prepared on  
25 the situation.



1 MR. STAMETS: Thank you.

2 MR. WEBER: Sir, if I might in-  
3 quire further into this matter. Will we be afforded the op-  
4 portunity to question the representative from the Bureau of  
5 Land Management with regard to this statement?

6 MR. STAMETS: Well, let's wait  
7 till we get to that --

8 MR. WEBER: Very fine, then.

9 MR. STAMETS: -- and we'll see  
10 what he has to say and whether or not there are any ques-  
11 tions (not clearly understood.)

12 Mr. Weber, you may proceed.

13 MR. WEBER: Sir, if I might be-  
14 gin with a preliminary statement.

15 May it please the Commission,  
16 Petro-Thermo Corporation appears today in this hearing de  
17 novo to apply for an authorization to dispose of produced  
18 water and associated oilfield waste in unlined pits adjacent  
19 to Laguna Plata, a naturally occurring salt lake in Section  
20 16, Township 20 South, Range 32 East, in Lea County, New  
21 Mexico.

22 We appear in support of the  
23 Division Director's order of February 13, 1986, and we would  
24 request that the Commission take administrative notice of  
25 the order, the transcript of the Examiner Hearing held on

1 December 18, 1985, and all exhibits attached thereto.

2 Petro-Thermo Corporation is  
3 prepared today to demonstrate that there is a substantial  
4 need for an additional approved disposal site in southeast  
5 New Mexico.

6 At the outset it must be recog-  
7 nized that there are only a limited number of such sites  
8 where disposal will not constitute a hazard to existing  
9 fresh water supplies. Petro-Thermo Corporation has gone to  
10 great length to locate such a site, a site suitable for its  
11 proposed disposal facility.

12 In searching the decisions and  
13 orders of the Division and Commission it has discovered a  
14 considerable body of support for the siting of its facility  
15 in this area or regional sink west of Hobbs, where are found  
16 a number of naturally occurring salt lakes.

17 The formations underlying this  
18 regional sink, underlying the salt lakes, are virtually im-  
19 permeable and effectively seal off the salt water from  
20 existing supplies of fresh water.

21 We would request that the Com-  
22 mission take administrative notice of certain of these or-  
23 ders, the first being Order No. R-3221-B in Case Number  
24 3806, dated July 5th -- 25th, rather, 1986.

25 By that order the Oil Conserva-

1 tion Commission exempted certain areas in Lea County, New  
2 Mexico, from the prohibition against the disposal of produc-  
3 tion water in unlined surface pits.

4 We should point out that the  
5 proposed site of Petro-Thermo Corporation's disposal facil-  
6 ity is located within that exempt area.

7 We would also ask that the Com-  
8 mission take administrative notice of Order No. R-3725 in  
9 Case Number 4047, dated April 16, 1986.

10 By this order the Oil Conserva-  
11 tion Commission specifically permitted the disposal of pro-  
12 duced water in the natural salt lake known as Laguna Plata.  
13 Once again, Laguna Plata is immediately adjacent to the dis-  
14 posal site proposed by Petro-Thermo Corporation.

15 We would also request that the  
16 Commission take administrative notice of Order No. R-3725-A  
17 in Case 8292, dated August 20, 1984.

18 By that order the Division  
19 authorized the disposal of oil field waste products, includ-  
20 ing drill cuttings, drilling mud, in the vicinity of the  
21 nearby salt lake known as Laguna Gatuna in Lea County, New  
22 Mexico.

23 Petro-Thermo Corporation is al-  
24 so prepared to demonstrate that it is uniquely qualified to  
25 undertake a project of this nature and that it has a strong

1 financial incentive to recover the maximum amount of valu-  
2 able hydrocarbons which would otherwise be waste and which  
3 might otherwise pollute the environment.

4 Petro-Thermo Corporation is a  
5 common motor carrier operating under a Certificate of Public  
6 Convenience and Necessity issued by the State Corporation  
7 Commission. It routinely engages in the transportation of  
8 oil field related liquids in counties throughout southeast-  
9 ern New Mexico.

10 Of particular note, however, is  
11 its Agua Division. Agua Division is engaged primarily in  
12 the reclamation of valuable hydrocarbons which would other-  
13 wise be wasted.

14 They propose to use this fac-  
15 ility in conjunction with that reclaiming operation to fur-  
16 ther prevent waste.

17 Petro-Thermo Corporation is al-  
18 so prepared to demonstrate that it has gone to extraordinary  
19 lengths to design a disposal facility which will not only  
20 permit the reclamation of these valuable hydrocarbons and  
21 thus prevent waste, but will also provide significant pro-  
22 tection to the environment. We believe that this facility,  
23 as the plans have been revised to improve various monitoring  
24 procedures, will stand as a model for future disposal (in-  
25 audible).

That ends my preliminary statement.

MR. KELLAHIN: Mr. Chairman, on behalf of Snyder Ranches and Pollution Control, Inc., I have a brief statement of my clients' respective positions in this case.

Pollution Control is operated by Mr. Larry Squires. Pollution Control is a produced water disposal facility at Laguna Gatuna. It's shown on one of the exhibits that's on the plat that shows the area.

Laguna Gatuna is also a repository for solid waste produced in the oilfield operations.

The laguna that's the subject of this hearing is the one farther to the west. It's the larger one to the northwest, identified as Laguna Plata on that exhibit.

Mr. Abbott and Petro-Thermo propose to establish a surface disposal facility for waste products produced out of oil and gas operations. It is our understanding that the facility is to dispose of produced water in unlined pits.

We believe the evidence will show, and we are prepared to prove, that there are significant differences between Gatuna and Plata in terms of the hydrology. We are in a position to prove that there is a

1 significant environmental risk with regards to the utiliza-  
2 tion of the surface that Mr. Abbott proposed to use.  
3 We believe that there is no need or necessity for this fac-  
4 ility that Mr. Abbott proposes to install.

5 We believe that there will be  
6 an unreasonable, excessive waste of the surface.

7 We believe that the design and  
8 proposed operation of this faciity is inadequate and it  
9 poses a significant risk to approve this facility.

10 We believe that under the cir-  
11 cumstances, once the evidence is all in for you, that you  
12 will have no other choice but to deny the application based  
13 upon significant differences between the two hydrologies of  
14 the two properties.

15 In addition, I believe the  
16 principal concern of Mr. Abbott is that there is a need. We  
17 believe the need does not exist. It does not offset the en-  
18 vironmental risks that were exposed in this case.

19 That is our position in this  
20 case.

21 With regards to Snyder Ranches,  
22 Snyder Ranches has a valuable property interest immediately  
23 adjacent to the Petro-Thermo site. They are the Federal  
24 grazing lessee adjacent to that property. There are valu-  
25 able grasses. They run cattle in this area; that the effect

1 of disposing of produced water on the surface, we believe,  
2 will migrate beyond the control of this operator and it will  
3 pollute and condemn a significant amount of the surface from  
4 any other use.

5 We believe the risks are signi-  
6 ficant and that is our position with regards to the ranching  
7 operation.

8 MR. STAMETS: You may proceed,  
9 Mr. Weber.

10 MR. WEBER: Sir, if I may call  
11 Dr. Dan Stephens as our first witness.

12  
13 DANIEL BRUCE STEPHENS,  
14 being called as a witness and being duly sworn upon his  
15 oath, testified as follows, to-wit:

16  
17 DIRECT EXAMINATION

18 BY MR. WEBER:

19 Q Dr. Stephens, will you please state your  
20 full name?

21 A Daniel Bruce Stephens.

22 Q And where do you reside, sir?

23 A Socorro, New Mexico.

24 Q And in what capacity are you presently  
25 employed?

1           A           I have a consulting business that I am  
2 working on this project through.

3           Q           And what is the name of that consulting  
4 business?

5           A           It's Daniel B. Stephens and Associates,  
6 Inc.

7           Q           And how long has this business been in  
8 business?

9           A           We've been doing consulting since 1979.

10          Q           And from what institution did you receive  
11 your undergraduate degree?

12          A           Penn State University.

13          Q           And what was your specialty or area of  
14 concentration?

15          A           Geological science.

16          Q           Were you singled out for any particular  
17 honors?

18          A           I received an award for being an  
19 outstanding senior that year in the college.

20          Q           And from what institutions did you re-  
21 ceive your graduate degree?

22          A           Masters degree in hydrology at Stanford  
23 and a PhD in hydrology at the University of Arizona.

24          Q           Are you a member of any professional or-  
25 ganizations and if so, what are they?



1           A           Yes.   American Geophysical Union, Soil  
2 Science Society of America, American Association of Ground-  
3 water Scientists and Engineers, Sigma Xi, a scientific  
4 society.

5           Q           Have you been published in any scientific  
6 or technical journals?

7           A           Yes.   Published a dozen or more articles  
8 in scientific journals.

9           Q           Have you delivered any papers at scienti-  
10 fic or technical meetings?

11          A           Dozens.

12          Q           If you had a single specialty, what would  
13 that specialty be?

14          A           Hydrogeology and seepage problems.

15          Q           Have you had any practical experience in  
16 investigating seepage problems and hydrogeology in the State  
17 of New Mexico?

18          A           Yes.   I've had several clients request  
19 this service of us in the high plains area; particularly one  
20 project near Clovis; done this sort of consulting work for  
21 the State of New Mexico Environmental Improvement Division.

22          Q           Have you ever had occasion to testify be-  
23 fore the Oil Conservation Division?

24          A           Yes.

25                           MR. WEBER: Sir, at this point

1 I would like to tender Dr. Stephens as an expert hydrolo-  
2 gist.

3 MR. STAMETS: Without objection  
4 he will be considered qualified.

5 Q Dr. Stephens, have you ever had an occa-  
6 sion to prepare a complete hydrology report?

7 A Yes.

8 Q Have you had an opportunity to study the  
9 hydrology of those tracts of land identified by Petro-Thermo  
10 Corporation as its proposed disposal site?

11 A Yes.

12 Q Did you have an opportunity to review the  
13 revised engineering plans presented by Mr. Jim Thornton?

14 A Yes.

15 Q In beginning your study of this area,  
16 what research materials did you consult?

17 A Our study was principally a literature  
18 review of publications in the general area. These publica-  
19 tions included studies by Nicholson and Klebsch and several  
20 reports by GeoHydrology and Associates, Consultants.

21 We also looked at available data from the  
22 New Mexico State Engineer, from the U. S. Geological Survey.

23 Q What were the materials you reviewed from  
24 GeoHydrology Consultants?

25 A There were two reports that they prepared

1 for the Bureau of Land Management in 1978 and 1979 and a  
2 third report, which was prepared for Pollution Control, Inc.  
3 in July, 1984.

4 Q Did you have an opportunity to personally  
5 visit the proposed disposal facility site?

6 A Yes.

7 Q Have you prepared a report documenting  
8 your findings and conclusions with regard to the hydrology  
9 study that you undertook?

10 A Yes, I have.

11 Q I show you now what has been marked as  
12 Exhibit Number Nine and ask you if you can identify that?

13 A That's the report that was prepared by my  
14 firm.

15 Q Would you please for the Commission de-  
16 scribe the hydrogeologic conditions in the vicinity of the  
17 proposed disposal site?

18 A The aquifers, or water-bearing units,  
19 which are of interest in this -- in this area are those  
20 which lie above the Permian section. Generally these are  
21 redbed formations. The lower unit would be the Dewey Lake;  
22 then there is the Santa Rosa sandstone, and overlying that  
23 is the Chinle shale.

24 The Santa Rosa sandstone is a water-bear-  
25 ing unit, the primary water-bearing unit in the area. It is

1 not widely used because its quality is variable and often  
2 not adequate for most drinking water purposes. The yields  
3 in wells are relatively low making it a poor source for ir-  
4 rigation water, and expensive development.

5 The depth to water beneath the site is  
6 approximately 20 feet. Groundwater flows from the site  
7 northward toward Laguna Plata and most of the groundwater is  
8 in the shallow redbed formations. We see very little water  
9 in the alluvium. Alluvium water is apparently discontinuous  
10 and confined to relatively local areas.

11 Q Could you expand your view to the region-  
12 al area, the naturally occurring salt lakes, and any col-  
13 lapse features that --

14 A Yes. The salt lakes, Laguna Plata, and  
15 the surrounding salt lakes, appear to lie within a collapse  
16 feature caused by dissolution of salt in the Permian Sec-  
17 tion. As a result of that collapse the redbed formations  
18 have a local slope to them at the site to the north and col-  
19 lapse structures control this slope of the redbed surface  
20 towards the Laguna Plata area.

21 The groundwater at shallow depths appears  
22 to flow towards Laguna Plata, which is a regional ground-  
23 water discharge area.

24 At greater depth there's poor data avail-  
25 able to characterize the hydrologic system; however, one can

1 say that there appears to be a tendency for water levels at  
2 shallow depths to be greater than those at greater depths.

3 The Nicholson and Klebsch report indi-  
4 cates groundwater at the greater depths appears to converge  
5 towards Laguna Plata.

6 Q Now you mentioned movement of water to  
7 the Laguna Plata throughout this regional sink. What is the  
8 reason for that movement?

9 A Laguna Plata, being perhaps the lowest of  
10 the -- in elevation of the major collapse features and asso-  
11 ciated lakes, controls the movement of water from higher el-  
12 evations to lower elevation. As evidence for this, the num-  
13 ber of springs on the bank of the west and east sides of  
14 Laguna Plata, indicating that at shallow depths there's dis-  
15 charge.

16 The water level contour maps also indi-  
17 cate that groundwater flows towards Laguna Plata.

18 Q Would groundwater flow, say, from the vi-  
19 cinity of Laguna Gatuna towards Laguna Plata?

20 A Yes.

21 Q Please describe the underlying Triassic  
22 redbeds and their relationship with the naturally occurring  
23 salt lakes in this regional collapse feature.

24 A Total thickness of the redbeds is at 700-  
25 5800 feet thick. These redbeds consist of interbedded sand-

1 stones in the Santa Rosa, mostly sandstone.

2 Overlying that is the Chinle, which is a  
3 claystone, siltstone, with some sandstone. The sandstones  
4 in the -- in the Chinle are probably discontinuous; that is,  
5 they do not extend over one -- excuse me, one individual  
6 layer does not extend to a great -- cover a great area.

7 The redbed surface slopes towards the  
8 north at the site and slopes towards Laguna Plata and other  
9 areas surrounding the site.

10 Q Do these Triassic redbeds underlie all  
11 the naturally occurring salt lakes?

12 A Yes.

13 Q Are they generally considered to be vir-  
14 tually impermeable?

15 A That's a phrase which has been attributed  
16 to the redbeds because of the preponderance of claystone  
17 materials which occupy the Chinle especially.

18 Q Does this general characteristic prevent  
19 seepage into sand stringers which may underlie Laguna Plata  
20 and these other naturally occurring salt lakes?

21 A The low permeability of the claystones  
22 coupled with their -- with their gentle slope towards the  
23 north would enhance the lateral movement of seepage towards  
24 Laguan Plata.

25 Q Have you had an opportunity to investi-

1 gate the quality of water in the sands or the salt springs  
2 as well as in Laguna Plata itself?

3 A Available data indicate that the springs  
4 which discharge into Laguna Plata contain high concentra-  
5 tions of chlorides, which indicate that the water would not  
6 be suitable for drinking purposes and available data in the  
7 sandstone stringers in the redbeds indicate that the quality  
8 of water is variable.

9 Shallow wells, which may communicate with  
10 some of the alluvium in places could have good quality  
11 water. In general, the area is not known to be a water-pro-  
12 ducing area. To the best of my knowledge the redbeds are  
13 not considered to be major aquifers.

14 Q Have you sampled or had sampled the water  
15 quality in Laguna Plata?

16 A The water quality in Laguna Plata is such  
17 that the concentration of chlorides and salt is perhaps an  
18 order of magnitude more saline than sea water.

19 Q What do you mean by an order of magnitude  
20 more saline?

21 A Ten times more concentrated, approximate-  
22 ly.

23 Q Based upon your study and your inspec-  
24 tion, have you been able to form any opinion regarding the  
25 reasonably foreseeable beneficial use for the waters of La-

1      guna Plata?

2                    A                    It's my opinion that there's no likely  
3      change in the use of water at Laguna Plata at the present  
4      time.

5                    Q                    What is the surface area of Laguna Plata?

6                    A                    Approximately two square miles.

7                    Q                    And have you been able to calculate the  
8      evaporation rates?

9                    A                    The evaporation rates are based on data  
10     determined by Geohydrology Consultants in an area to the  
11     west in the vicinity of the potash mining district and the  
12     rates of evaporation range from, perhaps, 20,000 to 350,000  
13     barrels per day, depending on the season.

14                    Q                    How does this compare with the proposed  
15     utilization rates as they have been presented to you?

16                    A                    The proposed average sustained rate of  
17     disposal into the ponds would be on the average approximate-  
18     ly 60 times less than the average rate of evaporation.

19                    Q                    Now, have you had an opportunity to study  
20     those detailed plans prepared by Mr. Jim Thornton?

21                    A                    Yes.

22                    Q                    If you can explain the hydrologic effect  
23     of the proposed manner of disposal of produced water, if you  
24     would, please.

25                    A                    The water will be disposed into a series



1 of five unlined ponds which have berms to create an impound-  
2 ed area.

3 Water will seep from those ponds into the  
4 underlying sandy soils which cover the area to a depth of  
5 perhaps several -- to 10 or 20 feet.

6 Water would then mound on top of the red-  
7 bed, low permeable formation and move laterally off site to-  
8 ward Laguna Plata.

9 Q What would be the effect of this seepage  
10 through the alluvium insofar as materials are concerned?

11 A The water which would be disposed into  
12 the pits would be containing some amounts of hydrocarbon.  
13 Floating hydrocarbon would be skimmed off and recovered for  
14 recycling.

15 Other hydrocarbons, which may enter the  
16 soil, could become filtered through the soil. They could be  
17 degraded by biological processes. They could be vaporized  
18 in route and diminished in concentration because of dilu-  
19 tion.

20 Q Have you had any conversations with em-  
21 ployees of the Oil Conservation Division with regard to mon-  
22 itoring any possible contaminants in the seepage from the  
23 pits?

24 A Yes, I've spoken with Mr. Dave Boyer, an  
25 hydrologist on the staff, and he and I agreed that a

1 monitoring plan for groundwater seepage is appropriate, and  
2 I believe Mr. Thornton will explain the locations and con-  
3 struction details of those monitor wells. I believe those  
4 monitor wells will adequately determine the arrival time of  
5 seepage which would be moving on top of the redbed formation  
6 and would be sampled periodically for determining organic  
7 chemical concentrations and serve as a means by which the  
8 Oil Conservation Division can determine whether or not the  
9 system is properly functioning as designed.

10 Q You mentioned arrival times. Have you  
11 made any calculation of arrival times based upon seepage  
12 from the pit location to Laguna Plata?

13 A I guessed at a rate of travel to Laguna  
14 Plata. I would not do any more than indicate that it's a  
15 very rough, rough calculation, but it could be on the order  
16 of several, maybe 8 years. It depends on the exit point of  
17 the seepage whether or not the seepage moves into an arroyo  
18 that happens to intercept the mound which develops under-  
19 neath the ponds. If that occurs, then the travel time would  
20 be shorter.

21 Q Now, in your inspection of the site did  
22 you notice any indication of drilling activity through --  
23 throughout the perimeter of Laguna Plata?

24 A There's a number of wells in the area,  
25 drilling pads, well casings, roads going to the abandoned

1 sites, yes.

2 Q Have you been able to make any estimate  
3 of the possible contamination of Laguna Plata from seepage  
4 from reserve pits?

5 A I would say that during the time that  
6 pits were used for drilling operations there would be ex-  
7 pected to be seepage through the soil moving downward along  
8 the redbeds towards Laguna Plata. The extent of that I have  
9 not analyzed.

10 Q Assuming that Pollution Control operates  
11 a facility at Laguna Gatuna and it discharges hydrocarbons  
12 directly into the waters of Laguna Gatuna, what would the  
13 flow of any contaminants be from Laguna Gatuna?

14 A It's my understanding based on previous  
15 studies that water would move from Laguna Gatuna westward  
16 toward Laguna Plata.

17 Q Based upon your study and your inspec-  
18 tion, have you been able to formulate any opinion regarding  
19 the effect of any discharge from the proposed disposal site  
20 on the waters of Laguna Plata?

21 A It's my opinion that the hydrologic regi-  
22 men in the vicinity of Laguna Plata is in many ways very  
23 similar to that at Laguna Gatuna. A study which I refer-  
24 enced earlier that was done for Pollution Control indicated  
25 that after fifteen years of operation there was no signifi

1 cant hydrologic impact to that lake. Based on that analogy,  
2 it's my opinion that after fifteen years of operation in an  
3 operation in which there would be some seepage through soil  
4 and skimming of hydrocarbons, that the impact would certainly  
5 ly be less.

6 Q Is there any other monitoring means that  
7 you might suggest to absolutely avoid any possible --

8 A After seepage is detected by the monitor  
9 wells, it would be a prudent idea to monitor the quality of  
10 water in Laguna Gatuna itself and the associated salt deposits  
11 which may be mined on Laguna Plata's shoreline, thereby  
12 establishing a baseline data network for which we can measure  
13 any impacts in the future.

14 Q In conclusion, based upon your study and  
15 outside inspection, have you formed an opinion as to whether  
16 the discharge water and solids could move in the subsurface  
17 in such a way as to commingle, in the reasonably foreseeable  
18 future, with an uncontaminated source of water supply and  
19 thus impair its use?

20 A It's my opinion that seepage from the impoundment  
21 would not degrade fresh water supplies in the area  
22 anywhere.

23 Q Thank you.

24 MR. WEBER: I have no further  
25 questions.

1 MR. STAMETS: Are there ques-  
2 tions of this witness?

3 MR. KELLAHIN: Yes, Mr. Chair-  
4 man.

5  
6 CROSS EXAMINATION

7 BY MR. KELLAHIN:

8 Q Mr. Stephens, you've referenced Exhibit  
9 Number Nine in this hearing as being the hydrogeologic re-  
10 port that you have prepared for Petro-Thermo.

11 Is this the identical report that you  
12 submitted to the Division at the Examiner Hearing on Decem-  
13 ber 18th of '85?

14 A Except for the cover, that's correct.

15 Q All right. There have been no amend-  
16 ments, changes, deletions, revisions, other than changing  
17 the cover?

18 A No, not that I'm aware of.

19 Q Let's turn to page 12 of your report, Mr.  
20 Stephens.

21 In the approximate center of the plat  
22 there is a word "site" and there is an arrow identifying a  
23 rectangular shaped area to the south of Laguna Plata. Does  
24 that reference the proposed disposal facilities?

25 A Yes.

1           Q           You said you've examined Mr. Thornton's  
2 detailed proposed plans for that facility. Can you tell me  
3 what the surface acreage area is that this facility will  
4 utilize? How many acres are involved?

5           A           Excuse me, do you refer to the pits or  
6 the entire pad, the boundary of the area?

7           Q           Let's first talk about the boundary of  
8 the area.

9           A           May I?

10          Q           Certainly.

11          A           As I recall, it's on the order of 60 to  
12 80 acres. I don't remember exactly the boundary of the pro-  
13 perty that they're trying to lease.

14          Q           From the -- from the edge of the facility  
15 to the Laguna Plata, I believe your report has indicated to  
16 us it's approximately .15 miles.

17          A           Approximately.

18          Q           Is that correct?

19          A           Approximately.

20          Q           You've walked this area out there on the  
21 ground, have you, Mr. Stephens?

22          A           Yes.

23          Q           Okay. Is there a distance between the  
24 facility on the north side and the southern edge of the La-  
25 guna Plata that will not be within the outer boundary of the

1 facility?

2 A I'm sorry.

3 Q All right, what I'm trying to ask you, is  
4 the outer boundary of the facility as shown on the exhibit  
5 contiguous with the lake edge, or is it not? Or do you  
6 know?

7 A The Tract A, I believe, is very close to  
8 the shoreline. It's my understanding that the sites of  
9 seepage will be in the southernmost part of Tract B.

10 Q With regards to the surface area of the  
11 disposal pits, do you have a surface area calculated for  
12 those pits?

13 A For the five -- five pit areas which will  
14 be the primary receivers of liquids, the surface area is  
15 approximately 30,000 square feet.

16 Q Mr. Weber asked you if you knew what the  
17 proposed average sustained rate of disposal at the facility  
18 was in relation to the evaporation rate at Laguna Plata, and  
19 you said that it was 60 times less, the disposal volume was  
20 60 times less than the evaporation rate at the Plata?

21 A Approximately.

22 Q What is the average proposed, sustained  
23 disposal rate in barrels on a daily basis that you've been  
24 working with?

25 A 2,250, I believe, is the number. That

1 would be from all three; 2,250 barrels per day is antici-  
2 pated under average, sustained conditions. That would be  
3 for all three types of waste; approximately 88 percent of  
4 the waste total would be the liquids which would go into  
5 those first five ponds.

6 Q Is the rate of evaporation at the surface  
7 of those pits such that by evaporation you can dispose of  
8 that volume of liquids?

9 A No.

10 Q So this is not intended to be an evapora-  
11 tion means of removal of the liquids.

12 A No.

13 Q If I understand your report, the system  
14 is designed based upon your opinions that the -- it will be  
15 an infiltration disposal system.

16 A Correct.

17 Q Whereby the liquids will be placed in the  
18 pit; they will seep into the area below the surface to dif-  
19 ferent points and then they will migrate, as you've told us,  
20 towards Laguna Plata at some particular rate.

21 A That's the design which has been indi-  
22 cated to me.

23 Q And that the liquids then would migrate  
24 and eventually be discharged in Laguna Plata where they're  
25 subject to evaporation.



1           A           That's correct.

2           Q           In terms of establishing some background  
3 analysis, Mr. Stephens, have you taken any chemical analysis  
4 of the water that exists in Laguna Plata now?

5           A           There have been chemical analyses done, I  
6 believe as recently as February by Mr. Boyer of the Oil Con-  
7 servation Division, which I saw yesterday and I believe in-  
8 dicated that the concentration of chloride was approximately  
9 170,000 milligrams per liter, which is slightly less than  
10 what was indicated from a previous sampling.

11          Q           Did you take any sampling yourself in  
12 preparation of this report?

13          A           No, I did not.

14          Q           Does your report constitute a complete  
15 hydrology report on this subject?

16          A           What do you define as being a complete  
17 hydrology report?

18          Q           Mr. Weber asked you earlier had you done  
19 complete hydrology reports and you said yes, and then he  
20 went on to ask you about your report here.

21                      What is a complete hydrology report in  
22 terms of what you've done?

23          A           This is a complete hydrology report based  
24 on available information.

25          Q           Have you conducted any field tests to

1 determine the depth and the permeability of the soil under-  
2 lying the pit are down to the redbeds?

3 A No field work was done with the exception  
4 of inspecting an arroyo which transects the sections, and at  
5 that time I estimated the thickness of sandy alluvial mater-  
6 ials, which I walked on, to be as much as 20 feet. No con-  
7 firmation borings were done for this particular project on  
8 site.

9 You said you had made some rough guess-  
10 timates on the arrival time of the discharged fluids from  
11 the facility to Laguna Plata and you were guessing anywhere  
12 from 10 to 8 years?

13 A No, I said several to 8 years, perhaps.

14 Q I'm sorry, you did say several to 8  
15 years. All right. How would you as a hydrologist go about  
16 establishing to a reasonable scientific probability how long  
17 that rate will be?

18 A I guessed based on water movement and  
19 sandy materials that it could be as much as 100 feet per  
20 year, and that is an estimate.

21 Q To remove the guess from it, Mr.  
22 Stephens, what would you do in terms of gathering additional  
23 data or doing field studies to give you a reasonably ac-  
24 curate number for the rate of movement?

25 A One would determine the NC-2 water con- *in situ*

1 tent and permeability of the formation and evaluate the vel-  
2 ocity of groundwater travel from the pit to the point of  
3 discharge.

4 Q And in order to accomplish that study how  
5 long do you estimate it would take to do that kind of work?

6 A For me to go out and do the necessary  
7 field tests, establish the thickness of the saturated -- or  
8 excuse me, the thickness of the sandy surficial materials,  
9 probably could be done within 30, 30 days to complete a re-  
10 port and field investigation.

11 Q In terms of the chemical analysis that  
12 you saw from Mr. Boyer's report or study, did the chemical  
13 analysis test for the presence of hydrocarbons in Laguna  
14 Plata?

15 A Not to my knowledge.

16 Q Do you know, sir, from available informa-  
17 tion and literature whether or not Laguna Plata contains any  
18 hydrocarbons?

19 A No, I do not.

20 Q Let's turn to the next page of your re-  
21 port, which is page 13, and would you identify what Figure 3  
22 is on page 13?

23 A Figure 3 is entitled Water Level Eleva-  
24 tions and Depths to Water.

25 Q Is this the information you used to reach

1 the conclusion that the discharged fluids would seep and mi-  
2 grate towards Laguna Plata?

3 A This information and that which exists in  
4 the reports upon which this is based.

5 Q In looking at the contour line that in-  
6 tersects the site at the 3450 interval, do you find that?

7 A Yes.

8 Q All right, sir. And then the next con-  
9 tour to the north and west is a 3440 contour line.

10 A Correct.

11 Q All right. Am I correct in understanding  
12 that you have concluded that the fluids will migrate at  
13 right angles to those contour lines?

14 A I think it's fair to say that the water  
15 level elevations are poorly defined along that south bound-  
16 ary, but based on field inspection I would say that water  
17 will move to the north towards the lake. It may be that the  
18 equipotential lines shown here indicate discharge to the  
19 very north -- excuse me, to the very west end of Laguna  
20 Plata, but in essence discharge would go into the Plata it-  
21 self.

22 Q You've told us that you believe that the  
23 discharge fluids would percolate or migrate generally verti-  
24 cally down to the redbeds and then move horizontally gener-  
25 ally toward the Plata?

1                   A           Primarily that will be the preferred  
2 path.

3                   Q           Can you tell us based upon what you know  
4 now what will be the area of influence or saturation around  
5 these pits?

6                   A           I have not done that calculation.

7                   Q           Can you tell us within a reasonable pro-  
8 bability that these discharge fluids in fact are going to  
9 migrate off the facility site, the outer boundary of this  
10 site?

11                  A           I would say that the primary path will be  
12 to the north from Tract A towards Tract B. The property  
13 boundary, or lease boundary, I'm not that familiar with. I  
14 can tell you that it's my professional opinion that the cen-  
15 ter of mass would move northward and what the lateral extent  
16 would be, and whether or not that's off the lease, I don't  
17 know at this time.

18                  Q           How would you as a hydrologist making  
19 that type of study? How would you go about investigating  
20 where the water would migrate?

21                  A           During operations, sir?

22                  Q           Well, at any time. I assume you'd have  
23 to do it during operations.

24                  A           One could predict before that --

25                  Q           Ah, well, how would you --

1           A           -- if there was a groundwater mound, per-  
2 haps.

3           Q           How would you predict?

4           A           Based on field studies that you had sug-  
5 gested. One would have to use a very sophisticated computer  
6 code to estimate what was likely to occur in terms of lat-  
7 eral migration. The expense of that could be considerable  
8 and the data would have to be rather extensive to justify  
9 the result. So --

10          Q           Is there any field --

11          A           -- operations on the other hand, one  
12 could use the monitor wells. Two monitor wells are in place  
13 and those will be presented subsequently. A third monitor  
14 well is in the plan to be located at a site designated with  
15 the cooperation and approval of Oil Conservation Division  
16 personnel and a field inspection of all parties.

17          Q           So there is an alternative method other  
18 than actual field operations by which a person of your qual-  
19 ifications and experience can make studies and reach conclu-  
20 sions about the probable migration of these fluids before we  
21 start the disposal.

22          A           It can be done. It's not normally part  
23 of a geotechnical investigation of this nature.

24          Q           The infiltration system that you have  
25 discussed here for us, does that take into any consideration

1 the potential impact or effect that having these particles  
2 suspended in the discharge water becoming a barrier or clog-  
3 ging the filtration system?

4 A That's a maintenance, an operational  
5 maintenance problem which undoubtedly will occur. It's my  
6 understanding that the water can be shut off or shifted to  
7 other ponds while one pond is being dried and raked to en-  
8 hance the permeability of the foundation material.

9 Q Have you made any studies or conducted  
10 any procedures to aid Mr. Thornton in determining how often  
11 he has to maintain those pits?

12 A No.

13 Q How will the direction and rate of flow,  
14 Mr. Stephens, be affected by these materials that would ac-  
15 cumulate on the bottoms of the disposal pits?

16 A The rate of seepage would be smaller than  
17 there would occur if there were no clogging layer, and as a  
18 result the impact to the seepage would be diminished.

19 Q You said that perhaps one of your areas  
20 of specialties or expertise is the seepage of fluids through  
21 different and various soils?

22 A Yes.

23 Q Have you conducted hydrogeologic studies  
24 of -- for other people with regards to the disposal of hy-  
25 drocarbon waste?

1                   A           Yes, sir.

2                   Q           And where has that occurred, Mr. Ste-  
3                   phens?

4                   A           The one project, that was in the Clovis  
5                   area, where the discharger was placing effluent in an un-  
6                   lined surface depression. It was more saline water rather  
7                   than hydrocarbon of this nature, although there was some hy-  
8                   drocarbon associated with it. It was primarily not a hydro-  
9                   carbon waste disposal problem.

10                  Q           Mr. Stephens, do you know whether or not  
11                  there is any relationship between the 30,000 barrels of  
12                  fluids a day disposal rate set forth in the Examiner order,  
13                  any relation that number has to the proposed anticipated use  
14                  of 200 -- I'm sorry, 2,250 barrels a day?

15                  A           I've no knowledge of why those numbers  
16                  were selected.

17                               MR. KELLAHIN: May I have a  
18                   moment, sir?

19                               MR. STAMETS: Do you have any  
20                   additional questions, Mr. Kellahin?

21                               MR. KELLAHIN: Thank you, Mr.  
22                   Chairman.

23                  Q           Mr. Stephens, if we could turn to page 14  
24                  of your report, sir, you report in the first full paragraph  
25                  that the proposed waste disposal site is situated within



1 about .15 miles of the south shore of Laguna Plata. I cal-  
2 culate that to be about 800 feet.

3 A That sounds about right.

4 Q All right?

5 A Yes, sir.

6 Q If I understood from looking at the  
7 surface topo map that the surface disposal pits are going to  
8 be higher in elevation than the topography as it approached  
9 the lake.

10 A That's correct.

11 Q All right. If this fluid, this  
12 contaminated waste water, is close to the surface it's not  
13 going to be compatible with any of the vegetation in this  
14 area, is it?

15 A No.

16 Q And if the adjoining properties owners  
17 off-site of this site don't want this water near their sur-  
18 face or under their surface, do you see any geologic or hy-  
19 drologic way to stop it?

20 A There are engineering designs which  
21 could be placed to minimize such a lateral movement of seep-  
22 age but under present conditions there would be water move-  
23 ment from the pits towards Laguna Plata to the north.

24 Q Wouldn't it be -- we're using the Plata  
25 as the place of evaporation, Mr. Stephens. Isn't it just as

1 feasible to design a disposal facility with some lined pits,  
2 separate out what solids you could, skim off the oil, and  
3 lay a pipeline and put it in the lake? Wouldn't that be  
4 more effective?

5 A Putting the water directly into the lake  
6 without lined pits would probably be effective also.

7 Q Do you know any reason why this facility  
8 is not sited directly at the lake?

9 A It's my understanding that the engineers  
10 were concerned about the environment and tried to maximize  
11 the natural processes that could diminish the impact to the  
12 lake by allowing slow movement of water through the soil  
13 rather than direct discharge.

14 I believe that they are sincere in trying  
15 to make best use of the subsurface for the disposal. The  
16 operation could be run by direct discharge into the lake and  
17 that would just make the impact, whatever impact, if any, to  
18 the lake occur more quickly.

19 Q But the mechanism of filtration is not  
20 simply confined to the facility itself but will involve the  
21 subsurface of other owners.

22 A I don't know what other owners. I'm sor-  
23 ry, I don't know the land ownership status.

24 Q Well, apart from the ownership, the site  
25 the facility, the 60 or 80 acres we've identified --

1           A           Yes.

2           Q           -- is in a different location from the  
3 actual Plata itself.

4           A           Yes.

5           Q           There's some distance between the two.

6           A           Yes, yes, yes.

7           Q           All right. Whoever has that area between  
8 the two, that property is going to be subject to being used  
9 as part of this filtration mechanism.

10          A           That's correct, and it's my understanding  
11 that most of all this area you are concerned about would be  
12 part of the lease.

13          Q           Does -- does that include Laguna Plata  
14 itself? Do you know?

15          A           I believe the northern end of Tract A may  
16 include part of Laguna Plata. It depends on what the shore-  
17 line elevation position is, how much is actually on Tract A,  
18 to the best of my knowledge.

19          Q           Well, the point is that there is no way  
20 to restrict the contaminated water to whatever portion of  
21 the lease facility that Petro-Thermo has the ownership of.

22          A           If it were piped directly into the lake  
23 you could be certain that the pipeline could be laid on the  
24 lease.

25          Q           All right. Under the proposed plan for

1 disposal, the one that Mr. Thornton's prepared --

2 A Yes.

3 Q -- then there is no geologic barrier.  
4 There is nothing to keep that water, the contaminated water,  
5 within the facility itself.

6 A That's correct.

7 Q Nothing further.

8

9 CROSS EXAMINATION

10 BY MR. STAMETS:

11 Q Dr. Stephens, have you -- you said you've  
12 examined this area, are there any indications of any fresh  
13 water in the immediate vicinity of these -- to the proposed  
14 disposal site?

15 A No, sir. All the records that I've been  
16 able to look at indicate that potable water is generally not  
17 available.

18 There are different definitions of fresh  
19 water that one can impose and (not understood clearly) under  
20 definition of fresh water you could say that there is fresh  
21 water and you could say that there is no fresh water. It  
22 depends on what you are willing to drink, but the water is  
23 generally poor, as evidenced by the fact that almost all the  
24 water that's used for domestic purposes in the area is piped  
25 in from miles and miles away at great expense.

1                   If there were potable water at shallow  
2 depths, or even at deep depths, where they've drilled to  
3 several hundred feet, I'm certain it would be used on site  
4 from the aquifers rather than piped in.

5                   Q           In the area that you expect to be im-  
6 pacted by this disposal, would you anticipate there would be  
7 any water having total dissolved solids of 10,000 parts per  
8 million or less?

9                   A           In the aquifers, or -- I'm sorry, --

10                  Q           In the area that you expect to be impac-  
11 ted by this disposal; that would be in the subsurface under  
12 the -- under the site, where the water might reasonably be  
13 moving on its way to west.

14                  A           The spring that was sampled by -- I be-  
15 lieve Dave Boyer sampled the nearest spring which we expect  
16 may be a point of discharge and as I recall, there were  
17 17,000 parts per million at that spring, which is the shal-  
18 lowest water that I know of that discharges into the lake.

19                               At depths up dip in the redbeds, there is  
20 lower concentrations, concentrations less than 10,000, but  
21 where the groundwater apparently discharges nearest the site  
22 of springs, it's 17,000, to the best of my knowledge.

23                  Q           So you don't anticipate water having TDS  
24 of 10,000 or less to be impacted.

25                  A           Not -- not to a significant extent. I

1 don't know whether there is -- the best we know, the redbeds  
2 confine the water to move laterally. The water quality be-  
3 low the site is probably of very poor quality because of the  
4 springs and the hydrogeology is couched with many uncertain-  
5 ties and it's my opinion that there will be no water used in  
6 the site in the future which could be impacted and that  
7 water concentration would probably be unpotable.

8 MR. STAMETS: Any other ques-  
9 tions of the witness?

10 MR. KELLAHIN: I'd like to pur-  
11 sue the question you just asked, Mr. Stamets.

12

13 RECROSS EXAMINATION

14 BY MR. KELLAHIN:

15 Q Looking on Exhibit Number Twelve, Mr.  
16 Stephens --

17 A Exhibit?

18 Q I'm sorry, Figure 2 on page 12.

19 In Laguna Plata there are identified his-  
20 torically certain springs that show the chloride concentra-  
21 tions that you've depicted on this exhibit.

22 A Yes.

23 Q Do you know historically what use has  
24 been made of those springs prior to the installation by the  
25 potash operators of the fresh water pipeline?

1           A           No, I do not.

2           Q           Are there waters within the area of  
3 Laguna Plata that would have a water quality of less than  
4 10,000 parts per million TDS?

5           A           Those springs on the east side are 7-to-  
6 8,000 parts per million, as shown in the figure.

7                   The spring, however, closest to the site,  
8 is much greater than that and there are probably small dif-  
9 ferences in the hydrogeologic conditions which control the  
10 origin of those springs and they're totally different.

11          Q           If the contaminated water is migrating  
12 into Laguna Plata, will it not change the TDS numbers for  
13 the entire lake area, including these springs?

14          A           No, it will not.

15          Q           How do you know that to be true?

16          A           The concentration of water likely to be  
17 produced is similar to that in oilfield brines, which is  
18 much less than the salinity of the lake, and once that water  
19 gets in the lake, it will again evaporate, reach maximum  
20 saturation which is what is achieved in the lake and won't  
21 get any higher than what's already in there. You can only  
22 get so much salt into solution.

23          Q           What is the TDS number of the produced  
24 water at the site? Do we have a number for that?

25          A           I believe it's on the order of 30,000

1 milligrams per liter, maybe more. Let me -- my report on  
2 page 15 indicates that total dissolved solids concentrations  
3 are expected to be in the range of 25-to-75,000 parts per  
4 million.

5 The springs will not impacted.

6 MR. KELLAHIN: Thank you.

7 MR. KELLEY: I have one ques-  
8 tion.

9  
10 CROSS EXAMINATION

11 BY MR. KELLEY:

12 Q Between the site and the Laguna Plata,  
13 what kind of vegetation is growing there, do you remember  
14 from your walking there?

15 A Very sparse vegetation in --

16 Q Grass?

17 A -- clumps of grass, a few scattered mes-  
18 quite, or creosote bush; very, very sparse vegetation that  
19 wouldn't be called grassland or pasture or anything lush.

20 Q The soil material is primarily what,  
21 dunes?

22 A Fine dune sand and the coppice (sic)  
23 dunes appear to be what I might characterize as surficial  
24 deposits.

25 Q How deep would you say that is?



1           A           The total thickness of sandy materials  
2 could be as much as 20 feet based on my view of an exposure  
3 in the arroyo and walking across the site looking back into  
4 the projected pond areas from the Plata itself.

5           Q           Thank you.

6                       MR. STAMETS: Any other ques-  
7 tions of this --

8                       MR. LYON: May I ask one ques-  
9 tion, please?

10                      MR. STAMETS: Yes, Mr. Lyon.

11

12 QUESTIONS BY MR. LYON:

13           Q           Dr. Stephens, on -- referring again to  
14 page 12, your Figure 2, there's one thing in here that I'm a  
15 little curious about.

16                      There at halfway you show an X and I  
17 don't know whether that's a circle or a symbol for a spring.

18           A           I believe it's a drafting error. It's  
19 probably an X to indicate that the water is obtained from  
20 the redbeds.

21           Q           I see, so there isn't a spring there.

22           A           Not to my knowledge.

23                      MR. LYON: I believe that's all.

24                      MR. STAMETS: Yes, sir.

25                      MR. WEBER: Sir, if I may cross

1 examine based upon Mr. Kellahin's cross examination and the  
2 questions asked by members of the Commission.

3  
4 REDIRECT EXAMINATION

5 BY MR. WEBER:

6 Q Mr. Stephens, you were asked a question  
7 with regard to the symbol at halfway. Could you describe  
8 that location in terms of elevation with respect to the pro-  
9 posed disposal site?

10 A Halfway is topographically higher in ele-  
11 vation and also up dip with regard to the surface of the  
12 redbeds.

13 Q Would you expect any migration in that  
14 direction?

15 A None.

16 Q Where might the water reasonably be mi-  
17 grating?

18 A Northward.

19 Q Why?

20 A The hydraulic gradient that we have indi-  
21 cates that it's moving primarily in the north direction.  
22 The hydrogeologic evidence suggests that it does so because  
23 of the springs which occur along the western margin of the  
24 Laguna Plat.

25 I think those springs are very important

1 to recognize that water must be moving from some point west  
2 of Laguna Plata eastward toward Laguna Plata and seepage  
3 which may be moving off "property" would eventually be di-  
4 verted back into Laguna Plata, in my opinion.

5 Q Now, you talked in terms of off property.  
6 Is it more reasonable to expect that you estimate with math-  
7 ematical certainty that particular area of seepage or could  
8 that not be more reasonably done by a system of effective  
9 monitor wells, to determine that?

10 A I believe that the monitor wells would be  
11 most reliable in making the determination of the extent of  
12 seepage laterally.

13 Q We've talked about damage to existing  
14 fresh water supplies. If we took all the production water  
15 and disposed it directly into Laguna Plata, what sort of  
16 hazard would that present to existing fresh water supplies?

17 A None.

18 Q We've talked in terms of differences be-  
19 tween Laguna Plata and Laguna Gatuna. What are the similar-  
20 ities of those two features?

21 A Both are within collapse features. Both  
22 are underlain by the same lithologic units comprised of low  
23 permeable redbed claystones and shales. Both receive the  
24 same amounts of precipitation. Both have similar surficial  
25 deposits, and they're very similar in many respects.

1 Q What differences, if any, are there?

2 A The Laguna Plata is at a lower elevation.  
3 It's more saline. It appears to be the regional sink of all  
4 the surface drainage, and also for groundwater discharge  
5 that we know.

6 Q In practical terms what does it mean,  
7 that Laguna Plata is the regional sink?

8 A In my opinion it means that waters which  
9 enter the Laguna Plata could exit only by evaporation.

10 Q Now, I'm talking about the concentrations  
11 of the proposed fluids to be disposed. You estimated those  
12 at between 25-to-75,000 parts per million. How does that  
13 compare with total dissolved solids in Laguna Plata?

14 A Total dissolved solids in Laguna Plata is  
15 350,000 parts per million.

16 Q So then the production water to be dis-  
17 posed is considerably, if we can use that term, purer than  
18 the waters in Laguna Plata.

19 A Yes.

20 MR. WEBER: Sir, I have no fur-  
21 ther questions.

22 MR. STAMETS: Any other ques-  
23 tions of the witness?

24 MR. KELLAHIN: Yes, sir, I have  
25 some recross, Mr. Chairman.

## RE CROSS EXAMINATION

BY MR. KELLAHIN:

Q The location of the proposed monitoring wells are where, Mr. Stephens?

A Monitor Wells 1 and 2 are shown on Exhibit Number Eight, page 6, on the wall, located north of the proposed area of Tract B, the two wells shown there.

Q If the monitoring wells to the north of the facility detect contaminated water, does that define the entire area of seepage?

A No.

Q Can you predict for us whether the information derived from those two monitoring wells can tell you what the area encompassed by that saturation is?

A It would tell you the down slope time of arrival of seepage from the impoundment, which is of interest. It would tell you what the concentrations are but two points would not define -- would not define the entire area.

Q Once the monitoring wells have detected the presence of this contaminated water --

DR. KELLEY: Mr. Kellahin.

MR. KELLAHIN: Yes, sir.

DR. KELLEY: Could I interrupt

1 for a minute?

2 MR. KELLAHIN: Yes, sir.

3 DR. KELLEY: I want to clarify  
4 for the record what you mean exactly by contaminated water.

5 MR. KELLAHIN: You can't drink  
6 it. I'm talking about water that's potable. I'll go back  
7 and see if we can define with the witness --

8 Q We're talking about water that is migrat-  
9 ing through the filtration system that is still going to be  
10 discharged into the Plata at a quality that is less than  
11 those parameters used to define drinking water.

12 A The spring which we know that was sampled  
13 is -- is not within drinking water standards. That was  
14 closest to the site. It was, as I recall, 17,000 milligrams  
15 per liter of chloride.

16 Q Are we going to have soluble organic hy-  
17 drocarbons in the water that will be detected by these moni-  
18 toring wells?

19 A They'll be sampled. The wells will be  
20 sampled for hydrocarbon.

21 Q Do you have any difficulty as a hydrolo-  
22 gist with the characterization of this water as contaminated  
23 water?

24 A The water will have hydrocarbon in it.

25 Q Once the contaminated water is monitored

1 at these monitoring wells, in fact at that point the damage  
2 has occurred and there's no way to remove the water, is  
3 there?

4 A The impact to the Plata does not neces-  
5 sarily depend on the concentration of those -- the chemical  
6 in those -- that observation well. There's a number of pro-  
7 cesses which will occur in the soil and once that -- and  
8 once hydrocarbons, if they did get to the lake, they may be  
9 at concentrations which are less than those which are State  
10 standards as proposed by, say, the Environmental Improvement  
11 Division. I don't know, but I would say that my profes-  
12 sional opinion is that there will be detectable amounts of  
13 hydrocarbon. Whether they exceed standards, I don't know.

14 What concentrations are going to be in  
15 the lake I can't predict. That's why the monitoring program  
16 is in there, is why I suggested that the lake could be moni-  
17 tored and so could the salt that's in the lake.

18 Q The monitoring program is simply one for  
19 gathering information to tell you, first of all, how long  
20 it's going to take the water to get to the lake; what the  
21 quality of the water is going to be at the point that it  
22 intersects the monitoring well; and it does not provide any  
23 safeguard in the event the contamination levels are such  
24 that the Commission determines it's environmentally unsafe  
25 to continue with disposal. You can't take the water back

1 out, can you?

2 A The wells could be used for pumping if  
3 the seepage were of sufficient thickness, a pump could be  
4 placed in the wells, that are of sufficient diameter, that  
5 in my opinion, one could pump the water back out.

6 Q Would the two monitoring wells as pro-  
7 posed be adequate to remove all the water discharged to keep  
8 it from reaching the lake if the Commission found that that  
9 was an appropriate preventative measure?

10 A No, but they would be indicators of -- at  
11 least give the Commission some idea of how organics or heavy  
12 metals or other salts are moving through the soil, whether  
13 the soil is doing an effective job within a short distance.  
14 They're very close to the northern perimeter. There are  
15 still, perhaps, several hundred feet more of soil through  
16 which the seepage could move to the lake and by getting an  
17 idea of the amount of degradation which has occurred in,  
18 perhaps, say, 200 feet of travel, one might infer that the  
19 seepage would even be further degraded in another 600 feet  
20 of travel, plus once that water gets in Laguna Plata,  
21 there's a substantial amount of dilution. The lake is 2  
22 square miles area. The area which may be of concern for  
23 salt mining is far to the east part of the lake, and I be-  
24 lieve that prudent monitoring of the lake could be very val-  
25 uable in guiding the Commission to determine whether or not



1 there is any reason to cause discontinuance.

2 Q You said there's salt mining operations  
3 on the lake?

4 A That's my understanding.

5 Q Approximately where are those taking  
6 place, do you know?

7 A Approximately in the center and eastern  
8 part of the lake.

9 Q What is your opinion of the impact upon  
10 the salt mining operations if the produced water that's  
11 discharged into that lake contains significant levels of hy-  
12 drocarbons?

13 A I do not know what the use of the salt is  
14 so it's very difficult for me to predict what concentrations  
15 there would be, but I would -- it's my opinion that with a  
16 prudent monitoring plan, impact could be completely avoided  
17 because of the very slow nature of the process.

18 Q Well, I'm confused now, Mr. Stephens, you  
19 said the monitoring process is going to tell you when you  
20 have contamination levels that exceed whatever standard is  
21 to be applied.

22 How does that keep you from getting --  
23 keeping the fluids from getting into the Plata if that's not  
24 what you want to do with it? You can't keep them from get-  
25 ting there with the monitoring wells?

1           A           The monitoring wells themselves could be  
2 used for withdrawal purposes, but they would be used for  
3 perhaps designing a plant in the future which, if necessary,  
4 by remote possibility would require remedial action.  
5 Engineering plans can be made to, for example, just to cease  
6 operations; to withdraw the water by pumping, for example.

7           Q           All right. Thank you.

8

9

RECROSS EXAMINATION

10 BY MR. STAMETS:

11           Q           Dr. Stephens, what happens to the soluble  
12 hydrocarbons once they get out on the surface of the lake?

13           A           Soluble hydrocarbos may very easily be  
14 biodegraded. Some are broken up by cosmic rays from the  
15 sun. Some are volatilized into the atmosphere, and some get  
16 absorbed onto particulate matter, clays, for example, which  
17 may have some organic matter as part of them, can absorb  
18 hydrocarbons and in many instances of offshore pollution, of  
19 oil spills, the sites which have been contaminated have  
20 completely been renovated by natural processes.

21                           MR. STAMETS: Any other  
22 questions of the witness?

23                           He may be excused.

24                           MR. WEBER: Thank you, sir.

25                           Sir, we'd like to call as our

1 next witness Mr. Jim Thornton.

2 Sir, once again I'd like to  
3 point out that we have reversed the order of our exhibits.

4  
5 JAMES D. THORNTON,  
6 being called as a witness and being duly sworn upon his  
7 oath, testified as follows, to-wit:

8  
9 DIRECT EXAMINATION

10 BY MR. WEBER:

11 Q Sir, would you please state your full  
12 name?

13 A James Douglas Thornton.

14 Q And where do you presently reside?

15 A Hobbs, New Mexico.

16 Q By whom are you employed?

17 A Agua, a Division of Petro-Thermo.

18 Q How long have you been so employed?

19 A Approximately ten months.

20 Q And in what capacity are you employed?

21 A I'm an engineer.

22 Q What are your general duties and respon-  
23 sibilities as an engineer for?

24 A The engineering, design, and supervision  
25 of several salt water disposal systems.

1                   Q               From what institution did you receive  
2 your undergraduate degree?

3                   A               Texas A & M University.

4                   Q               What degree did you receive and when did  
5 you receive it?

6                   A               Bachelor of Science in 1984.

7                   Q               What was your specialty or area of  
8 concentration?

9                   A               Petroleum engineering.

10                  Q               Have you done any further studies in this  
11 particular area?

12                  A               Yes, I have.

13                  Q               Where?

14                  A               New Mexico Junior College.

15                  Q               And what courses have you taken?

16                  A               Petroleum technology courses.

17                  Q               Are you a member of any professional  
18 societies or organizations?

19                  A               Yes, I am. I'm a junior member of the  
20 Society of Petroleum Engineers.

21                  Q               Have you previously testified before the  
22 Oil Conservation Division?

23                  A               Yes, I have.

24                  Q               Were your credentials accepted at that  
25 point?

1                   A           Yes, they were.

2                               MR. WEBER: Sir, at this point  
3 I tender Mr. Thornton as a petroleum engineer.

4                               MR. STAMETS: If there are no  
5 objections he is considered qualified.

6                   Q           Sir, as a part of your general duties and  
7 responsibilities at Petro-Thermo were you responsible for  
8 developing the initial engineering plans --

9                   A           Yes.

10                  Q           -- for the proposed disposal site near  
11 Laguna Plata?

12                  A           Yes, I was.

13                  Q           What was your primary consideration in  
14 developing those plans?

15                  A           The avoidance of fresh water contamina-  
16 tion.

17                  Q           What were secondary considerations?

18                  A           The maximum recovery of hydrocarbons that  
19 are associated with produced water.

20                  Q           Why was that important to you?

21                  A           It is in our economic interest to recover  
22 as much oil as we can.

23                  Q           Why is that?

24                  A           When we recover the oil, we sell it.

25                  Q           Who is engaged in the reclamation opera-  
tion?

1           A           We are, Agua is engaged in the reclama-  
2 tion operations. We have the Goodwin Treating Plant, an ap-  
3 proved, OCD-approved site.

4           Q           Now, before beginning your plans for the  
5 proposed disposal facility, did you consult any reference  
6 literature?

7           A           Yes, I have. I looked at Groundwater Re-  
8 port Number Six: Geology and Groundwater Conditions in  
9 Southern Lea County, New Mexico by Nicholson and Klebsch,  
10 and Brine Disposal Treatment Practices Relating to the Oil  
11 Production Industry put out by the Environmental Protection  
12 Agency. The book is EPA 660/2-74-037.

13          Q           Now, Mr. Thornton, before developing your  
14 plans, did you have an opportunity to inspect other approved  
15 disposal sites in the area?

16          A           Yes, I have. I've inspected two such  
17 sites, one of which is located around the Eunice, New Mexico  
18 area. It's Parabo, operated by UniChem International.

19                      And the site at Laguna Gatuna, owned by  
20 Pollution Control and Mr. Squires, which is located approxi-  
21 mately four miles to the east of our proposed site.

22          Q           Did you have an opportunity as well to  
23 view new possible sites and select a site for the proposed  
24 Petro-Thermo disposal facility?

25          A           Yes, I have.

1           Q           Based upon your research and personal in-  
2           specation did you then design the plans which were presented  
3           to the Oil Conservation Division?

4           A           Yes, I did.

5           Q           Have you had an opportunity to revise  
6           those plans?

7           A           Yes, I have.

8           Q           Why did you revise thase plans?

9           A           To incorporate the monitor wells; to  
10          clearly show compliance with the fencing gates and cattle-  
11          guards, with regard to the previous order, and to depict fu-  
12          ture development of the site.

13          Q           Have you prepared an exhibit setting  
14          forth the revised plans?

15          A           Yes, I have.

16          Q           Is that the exhibit presently before you?

17          A           Yes, it's entitled Engineering and Design  
18          of Planned Disposal Facilities, Section 16, Township 20  
19          South, Range 32 East, Lea County, New Mexico.

20          Q           And that has been marked as Exhibit  
21          Number Eight?

22          A           Yes, it has.

23          Q           Would you please identify for the  
24          Commission the contents of this exhibit?

25          A           Okay. On page one of the exhibit I have

1 included the Laguna Plata area map.

2 Q Now, is that area map the same map as ap-  
3 pears on the wall closest to the Commission?

4 A Yes, it is. It's the first map on the  
5 wall.

6 It shows the geologic features, such as  
7 Laguna Gatuna, Laguna Plata, Laguna Tostin, and the Williams  
8 Sink.

9 It also shows the extensive road network  
10 that is present around this area.

11 Our proposed facility is located on the  
12 southwestern portion of Laguna Plata in approximately the  
13 southwest quarter of the southeast quarter of the northeast  
14 quarter of Section 16, Township 20 South, Range 32 East, and  
15 Pollution Control's facility is located over by Laguna  
16 Gatuna in Section 18, Township 20 South, Range 33 East.

17 The next page is entitled Williams Sink  
18 USGS Map. It's a United States Geological Survey map.

19 Q When was that map completed?

20 A The map was completed in 1985. It's a  
21 very recent edition. This map was included to show the ele-  
22 vations of the area and point out that Laguna Plata is the  
23 lowest elevation at approximately 3429 or 3430 feet.

24 The -- in the vicinity of the disposal  
25 site the slope is towards the lake, as depicted on this map.



1                   Also the map indicates a great deal of  
2 past drilling activity. There are approximately 40 drill  
3 holes shown on this map, several producing wells, and there  
4 salt water disposal ponds are indicated on this map.

5                   Q           Have you had an opportunity to personally  
6 confirm the presence of these reserve pits as well as the  
7 operating wells and the drill holes?

8                   A           Yes, I have. The wells that were visited  
9 did have a salt water disposal pond, such as we're using,  
10 or we're proposing in this design.

11                               The Laguna Plata is also pointed out as a  
12 disposal pond on this map.

13                               The next page, page 3 of Exhibit 8, is  
14 the water analysis of Laguna Plata lake water. I took the  
15 sample on December 11th, 1985, and took it to Martin Water  
16 Laboratories to be analyzed. This is merely a reproduction  
17 of their results.

18                               The chlorides were quite high. They were  
19 indicated at 196,012 parts per million and the total dissol-  
20 ved solids was 335,108 parts per million.

21                               This analysis I gave to our hydrologist,  
22 Dan Stephens.

23                               Page 4 is the water analysis of the  
24 spring discharge, which is located approximately 1500 feet  
25 north from our proposed site towards Laguna Plata. I took

1 the sample on March 27th, 1986, and the sample, I took the  
2 sample into UniChem International to be analyzed. This is  
3 merely a reproduction of their analysis. The chlorides were  
4 quite high. By EPA drinking water standards they are --  
5 it's unpotable water. The chlorides were at 18,000 parts  
6 per million and the total dissolved solids of this spring  
7 was 52,605 parts per million.

8 Page 5 of Exhibit 8 I've included to show  
9 the topography of the facility. It is generally sloping to-  
10 wards Laguna Plata, which is located toward -- in the north.

11 This is important because the pits in the  
12 engineering design were designed to use gravity to transfer  
13 the water from one pit to the next.

14 And this brings me to page 6 of Exhibit  
15 8, which are the Plata disposal -- which is entitled the  
16 Plata Disposal Design.

17 Q Mr. Thornton, are those plans shown on  
18 page 6 the same which appear on the wall?

19 A Yes, they are.

20 Q I was just wondering if you could step to  
21 the map and use that to describe your engineering plans?

22 A Okay.

23 Q Now I note initially that you have cer-  
24 tain features outlined in solid lines and other features in  
25 dotted lines. Could you please explain to the Commission?

1           A           Yeah. The Phase I are the solid lines on  
2 this design. They are used to -- they are plans that we  
3 intend to incorporate just after the approval of this order.

4                   The dashed lines, or Phase II, shows the  
5 future development of the site.

6           Q           Now in general terms, could you please  
7 explain those engineering plans -- design?

8           A           Okay, the design of this is so the -- has  
9 four basic components. These are the tank batteries, the  
10 water disposal pits, the solids disposal pits, and the over-  
11 flow, or emergency pits.

12          Q           Would you please explain how a truck con-  
13 taining production water would come to the facility and un-  
14 load its cargo?

15          A           The tank trucks enter in down at the --  
16 down through -- into the pad area and they hook up to one of  
17 the unloading lines.

18          Q           What is the general capacity of the typi-  
19 cal tank truck you have unloading?

20          A           That's approximately 150 barrels.

21          Q           And if we assume that all three unloading  
22 lines were connected to a tank truck, what is that capacity?

23          A           The maximum possible unloading rate would  
24 be 21,600 barrels per day for the three unloading lines.

25          Q           Is that assuming a continuous flow of

1 trucks, one truck would unload and depart and another would  
2 immediately take its place?

3 A That is assuming that three trucks will  
4 unload at the same time right after one another for 24  
5 hours.

6 Q Now, the liquids have entered the unload-  
7 ing line. Where do they go from that point?

8 A The unloading lines are connected to the  
9 gunbarrels, which are shown Tanks T-1 through T-4.

10 Q What is a gunbarrel?

11 A A gunbarrel is an oil/water separator.

12 Q And why are you doing that?

13 A To separate the hydrocarbons that are as-  
14 sociated with production water so that they may be diverted  
15 into a holding tank.

16 Q Now where is that holding tank and what  
17 is its capacity?

18 A The holding tanks are labeled T-5 and T-  
19 6. The capacity of these holding tanks is 1000 barrels  
20 apiece.

21 Q Will they be emptied? If so, how often?

22 A They will be emptied as needed.

23 Q And what will be done with the reclaim-  
24 able oil?

25 A The oil will be hauled to our Goodwin

1 Treating Plant to be reclaimed and sold as pipeline quality  
2 oil.

3 Q Once you have piped off the usable hydro-  
4 carbons, what happens to the remainder?

5 A The remainder enters into the waterleg.  
6 Each waterlog is associated with a corresponding gunbarrel.

7 After it enters into the waterleg it goes  
8 into a manifold which controls which pit the water will be  
9 diverted to. This pipe that connects from the manifold to  
10 the pits is made out of 6-inch PVC pipe and is connected to  
11 the first set of pits.

12 Q How many pits do you have in a series?

13 A In Phase I we have five pits. In Phase II  
14 we have an additional five plus six, which is eleven pits.

15 Q Could you use your topography overlay --

16 A Yes.

17 Q -- to show the relative elevations?

18 A Yes. This will indicate -- this will  
19 show you the reason the pits to the east end were designed  
20 at an angle. They're designed so the flow is perpendicular  
21 towards the general direction of the topographic lines.

22 Q So each successive pit is lower than the  
23 previous pit.

24 A Yes, they are.

25

1           Q           Will you please explain your conduit sys-  
2 tem? It appears that the pits are interconnected.

3           A           The water pits are connected with an 18-  
4 inch conduit staggered from each previous pit to allow the  
5 maximum retention time.

6           Q           How does that maximize retention time and  
7 what is the practical effect of maximizing retention time?

8           A           The flow of water will be much longer  
9 through the pits than if you had a straight line drawn  
10 throughout the pit. This will also allow for solid settling  
11 in the first couple pits, where by the time it reaches the  
12 fifth pit there should be no problems with plugging due to  
13 solid build-up.

14          Q           You have another conduit system as well,  
15 do you now, connecting the three salt water pits?

16          A           Yes, I do. The five salt water pits are  
17 connected to an overflow or emergency pit. This is con-  
18 nected by way of 4-inch PVC pipe located approximately one  
19 foot from the top of the dike. This is to prepare for any  
20 contingency such as rain or plugging of a line, of the lines  
21 between pits.

22          Q           Have you calculated the capacity of each  
23 of the water pits as well as the overflow pit?

24          A           Yes, I have, and that's on page 7 of Ex-  
25 hibit 8.

1                   This is entitled Plat of Disposal Pit  
2 Disposal Pit and Tank Chart. It has the capacities, length,  
3 width, depth, and bottom elevation of each of these  
4 pits.

5                   The capacities are calculated to incor-  
6 porate a 3-foot freeboard, or level water level from the top  
7 of each pit.

8                   Q           What do you mean by a freeboard and what  
9 is the purpose of leaving so much room from the top of the  
10 pit to the surface of the liquids?

11                  A           This is to further insure that the pits  
12 do not overflow.

13                  Q           Have you established any sort of regular  
14 or periodic maintenance plan with regards to the salt water  
15 disposal pits and the overflow pit?

16                  A           Yes, I have. We will routinely scrape or  
17 rake the bottoms of each of the pits and if there are any  
18 amounts of hydrocarbons located on the first two pits, or  
19 all of the pits, we will skim and recover these.

20                  Q           What is the purpose of raking the bottoms  
21 of the pits?

22                  A           To stimulate the permeability so that a  
23 greater seepage rate will be accomplished.

24                  Q           Let's go now to the solids area. When we  
25 talk of solids, what are we speaking of?

1           A           We are talking about drilling muds, drill  
2 cuttings, and cements.

3           Q           And how are they to be unloaded?

4           A           They are to be unloaded into two unload-  
5 ing lines, located on the north end of the pad.

6           Q           And?

7           A           The fluid is then piped by a series of  
8 conduits running on each side of the pits with valves so  
9 that one pit may be used at a time and that there -- the  
10 level of the pit will maintain an equal level across the  
11 whole pit due to the two solid lines from each side.

12          Q           Why is that true? What would happen if  
13 there was only a single (not clearly understood)?

14          A           Fluids or solids would build up towards  
15 one end of the pit and cause premature closing of one pit.

16          Q           I notice the solids pits are also con-  
17 nected to the overflow pit and why is that so?

18          A           Yes, they are. That is to further estab-  
19 lish any problems such as rain or -- well, that's about it  
20 with the solids pits would be rain.

21          Q           How will the solids pits be cleaned out  
22 and how will materials taken from those pits be handled?

23          A           The solids pits will be scooped out after  
24 they have been dried in the particular pit. They will be  
25 bladed into the pad and the access roads that access this



1 facility and a thin layer of fill will be placed over the  
2 top of these.

3 If the amount of solids becomes too  
4 great, we tentatively plan to dig dry solids pits in these  
5 areas and cover with -- and return the contours to the orig-  
6 inal slope of the land.

7 Q What are the differences between the  
8 plans that you have designed and those of actual, existing  
9 disposal sites?

10 A I have over-designed in many ways.

11 Q How have you over-designed?

12 A The pit, each pit, has a freeboard to al-  
13 low for any contingencies. It also, in the even that the  
14 level does reach a great height, the overflow pits are de-  
15 signed to further solve this problem.

16 Q Did you have an opportunity to consult  
17 with the Environmental Bureau Chief David Boyer?

18 A Yes, I have.

19 Q And what did you -- when did you meet  
20 with him and what did you discuss at that point in time?

21 A I met with him approximately two months  
22 ago, one and a half to two months ago, out at the site, pro-  
23 posed site, and we discussed the monitor wells that were to  
24 be placed on this facility.

25 Q Do you have a schematic design of a sam-

1 ple monitor well?

2 A Yes, I do. It's the observation well  
3 diagram. The wells that Mr. Stephens pointed out are lo-  
4 cated right here. This is approximately 70 feet from the  
5 west boundary and 200 feet from the edge of the facility to  
6 the Well No. 1.

7 The Well No. 2 is located at 200 feet  
8 from the west boundary and 200 feet from the north boundary  
9 of the facility.

10 The well diagram, we have a hole that is  
11 drilled down to the top of the Triassic redbeds. Four inch  
12 PVC pipe is then placed in the hole that is slotted with  
13 six, approximately six slots per foot, 120 degree phasing  
14 (sic). It is then gravel-packed and it is cemented from  
15 four feet to the surface.

16 There are caps on each end of the pipe.  
17 The well will be sampled every six months for aromatic  
18 hydrocarbons and heavy metals.

19 Q And what will be done with the results of  
20 those samples?

21 A They will be sent to the OCD.

22 MR. WEBER: Sir, I have no fur-  
23 ther questions of this witness.

24 MR. STAMETS: Are there ques-  
25 tions of Mr. Thornton?

1 MR. KELLAHIN: Yes, sir.

2  
3 CROSS EXAMINATION

4 BY MR. KELLAHIN:

5 Q Mr. Stephens, in his report, Mr. Thornton,  
6 says that on a sustained basis under normal operations --  
7 I'm sorry, under normal operating conditions, the total rate  
8 of waste disposal for all three groups, meaning the water,  
9 the oil, and the solids, is anticipated to be only about  
10 2250 barrels per day.

11 Did he get that information from you?

12 A Yes, he did.

13 Q What is the number 2250 barrels a day  
14 based on?

15 A It's based on 15 loads a day.

16 Q And is that what Petro-Thermo is cur-  
17 rently trucking for other operators in terms of water dispo-  
18 sal facilities?

19 A That is a -- that is a figure that is ad-  
20 justed for our other salt water disposal wells and -- but  
21 yes, it is.

22 Q Do you anticipate that with the total  
23 operations of Agua, Inc. and Petro-Thermo that for this par-  
24 ticular facility you see a need for 15 truckloads a day?

25 A Yes, I do.

1                   Q           And what is -- what is the total volume  
2 of water trucked by Petro-Thermo a day? What does this 15  
3 relate to?

4                   A           2,250 barrels.

5                   Q           Yes, sir, what percentage of that is of  
6 the capacity or the current operations of Petro-Thermo in  
7 terms of trucking these fluids?

8                   A           I could not tell you that number. I do  
9 not have that number available.

10                  Q           Can you make some estimates for us? Is  
11 this half of your volume as a company or is it something  
12 more or less?

13                  A           It would be one-half of one --

14                  Q           All right. In a given day on an average  
15 basis, Mr. Thornton, Petro-Thermo moves or transports what  
16 volume of produced water in terms of truckloads?

17                  A           That is varied and I cannot give you a  
18 number.

19                  Q           Can you give me any range?

20                  A           No, I cannot. All I can say is that I  
21 talked with one of our -- some of our management and their  
22 needs of this site and that's how I came up with the number.

23                  Q           All right, somebody said, Mr. Thornton,  
24 we have 15 truckloads of water produced that we've got to  
25 dispose of. Design a facility for that.

1           A           Right.

2           Q           All right. When we look at the 2250 bar-  
3           rels of fluids a day, Mr. Stephens said about 88 percent of  
4           that volume represented water.

5           A           Yes, it did.

6           Q           Okay, that gives me about 1980 barrels.  
7           What constitutes the balance?

8           A           Solids and hydrocarbons associated with  
9           the production water.

10          Q           In terms of recoverable oil that you can  
11          skim off or siphon through the gunbarrels, what portion of  
12          the 2250 barrels do you estimate is going to be recoverable  
13          oil? I know it's going to be an approximation but what have  
14          you calculated, if any?

15          A           That would take me a couple minutes to  
16          come up with. I did, of the 30,000 barrels that was ap-  
17          proved, we had stated that 26,500 barrels of it was to be  
18          production water, or waters, 1100 barrels to be solids, and  
19          2250 barrels to be the oil. The rest would be the actual  
20          solid material. That proportion would hold true for the  
21          2250 barrels average sustained rate.

22          Q           In terms of the project area, that de-  
23          fined by the fenced perimeter on Exhibit Number 8 --

24          A           Yes.

25          Q           -- what is the acreage contained within

1 the fence boundary?

2 A Approximately four acres.

3 Q We have one of those diagrams in your ex-  
4 hibit booklet, I believe, Mr. Thornton. It's page six, is  
5 it?

6 A Yes.

7 Q When we look at the vicinity map on that  
8 Exhibit Number Six, there is a square that's shaded in  
9 black. Does that represent the four acres that are then  
10 shown on a larger scale?

11 A Yes, it is. That is not four acres.  
12 That is -- I've got approximately 8.26 acres.

13 Q All right. When we look at the little  
14 vicinity map --

15 A Uh-huh.

16 Q -- on this exhibit and we look at the  
17 tract that's labeled B, how many acres are in that tract?

18 A That would be 40.

19 Q All right, so you've got Section 16 here  
20 divided into Tract B, which is a 40-acre tract, and then on  
21 top of that is Tract A, that's also another 40-acre tract?

22 A Yes, it is.

23 Q All right. Can you use the vicinity map  
24 to draw for me, Mr. Thornton, the approximate lake margin  
25 for Laguna Plata?

1           A           The lake margin is sort of hard to define  
2 and it approximately comes in like that.

3           Q           All right, you've drawn a red line on the  
4 larger exhibit on the wall. North of the red line is the  
5 approximate location of the lake margin?

6           A           Yes, it is.

7           Q           And then south of that we're out of the  
8 lake margin.

9           A           Yes, we are.

10          Q           From the northern fenceline along the 8-  
11 acre tract, the facility, to the lake margin, approximately  
12 how far is that distance?

13          A           Approximately 3500 feet. No, that's not  
14 correct.

15                      Approximately 1500 feet.

16          Q           All right.

17          A           These figures I can't double check.

18          Q           I understand.

19          A           I'm just --

20          Q           But it's about 1500 feet from the north  
21 fenceline of the facility to the lake margin.

22          A           Yes, it is.

23          Q           Your estimated expected use of the facil-  
24 ity is 2250 barrels a day. Why have you designed it for  
25 30,000 barrels a day, Mr. Thornton?

1           A           Because from day to day operations do not  
2 take into consideration heavily traffic times during the  
3 month. A waterflow that could happen could have trucks  
4 lined up unloading at this rate for several days during the  
5 month.

6           Q           And so to get the 30,000 barrel a day  
7 number you have looked at the unloading facility and you  
8 said we can accommodate three trucks at a time?

9           A           Yes.

10          Q           And you've multiplied the unloading time,  
11 what's the unloading time?

12          A           30 minutes.

13          Q           Times the hours in a day and that's how  
14 you got your 30,000 barrels.

15          A           Yes, I did.

16          Q           That represents the simple mathematical  
17 extreme of trying to have three trucks unload at the same  
18 time every 30 minutes 24 hours a day.

19          A           Yes.

20          Q           All right.

21          A           That's correct.

22          Q           With regards to the solid pits that are  
23 depicted on this schematic, you said you have planned to im-  
24 plement a routine maintenance program for those pits.

25          A           For the solids pits?



1 Q Or was it the waste water pits?

2 A The one that I had mentioned previously  
3 was the waste water pits.

4 Q Those are the pits that you're going rake  
5 and skim the surface.

6 A Yes, they are.

7 Q All right. On the solids pits have you  
8 made any calculation of the drying times or how often you're  
9 going to have to unload each of those pits in order to main-  
10 tain the facility in operation?

11 A No, I have not. That's why I've provided  
12 the future development plans. We will dig more pits as  
13 needed.

14 Q Are you seeking in this particular order  
15 approval of Phase II at this point or are your requests  
16 based upon the Phase I facility?

17 A Phase II will be put in operation as  
18 needed. We will -- we will comply with the OCD order with  
19 the maximum production rate of 30,000 barrels a day and so  
20 on.

21 Q The -- the Examiner order makes specific  
22 reference to the schematic that was used in December which  
23 showed only Phase I, did it not?

24 A Yes, it did.

25 Q All right. Are you proposing for purposes

1 of this Commission decision that that approval in terms of  
2 the specific location of these pits be the same as you re-  
3 quested back in December?

4 A Yes, I am. The previous design was not  
5 approved by the Commission completely. That's why I have  
6 included a map which shows the compliance with the OCD or-  
7 der.

8 Q That compliance required some discussion  
9 about monitoring wells.

10 A Monitoring wells and fence -- fences and  
11 gates and cattleguards.

12 Q It didn't require you to relocate or re-  
13 size the Phase I pits.

14 A No, it did not.

15 Q So I'm clear, then, what we're seeking to  
16 do today from your perspective is simply to have Phase I as  
17 designed approved up to a capacity of 30,000 barrels a day.

18 A No, that's not correct. We had the Phase  
19 II pits presented to allow for any contingencies under the  
20 order.

21 Q You're telling me that you want this Com-  
22 mission in this order to approve Phase II at this time?

23 A Yes, we do.

24 Q Well, what is the capacity of the facil-  
25 ity if Phase II is constructed?

1           A           It is the same, 30,000 barrels per day.

2           Q           On what anticipated need, Mr. Thornton,  
3 have you based the request for 30,000 barrels a day?

4           A           Could you say that again?

5           Q           Yes, sir. You say you have designed the  
6 facility to handle up to 30,000 barrels a day. That's the  
7 capacity of running the trucks through here. What is the  
8 need that has caused you to design up to that capacity?

9           A           It is an over-design, which I have stated  
10 previously, to allow for any contingencies, such as rain or  
11 plugging of the lines, and so on.

12          Q           So the need, as best you know, is the 15  
13 truckloads a day that you've got to find something to do  
14 with.

15          A           That is an initial assumption.

16          Q           Do you have any other assumption?

17          A           Such as what?

18          Q           About your anticipated need? Well, what  
19 is your anticipated need?

20          A           My anticipated need is 2250 barrels a day  
21 initially.

22          Q           In order to meet that need, Mr. Thornton,  
23 how did you determine that you needed four solid waste pits  
24 and five water pits?

25          A           The volumes that was to be disposed of

1 each of the fluids.

2 Q All right, how come with this volume you  
3 anticipate you couldn't have done it with four water pits as  
4 opposed to five?

5 A Because I needed a certain amount of  
6 space to contend with rain and overflow lines.

7 Q And how have you determined that you  
8 needed four solid waste pits to handle the 2250 barrels a  
9 day?

10 A They were determined by the pits -- the  
11 operation of the solids pits is different than the water  
12 pits in that one is used at a time. The next one is then  
13 used and the previous one dried out and that cycle con-  
14 tinues. So that was based on that assumption.

15 Q You said you had searched or made a  
16 search for other suitable sites in which to place this faci-  
17 lity?

18 A Yes, we have.

19 Q And have you found any other sites avail-  
20 able to your company?

21 A No, I have not. This is the -- this is  
22 the best spot for this type of operation.

23 Q What experience have you had, Mr. Thorn-  
24 ton, in designing and operating a facility such as this?

25 A None whatsoever.

1           Q           Do you have any experience with regards  
2 to how often you have to clean and remove the solids from  
3 these solids pits?

4           A           No, I have not.

5           Q           Have you made any calculations of the  
6 drying times of those solid materials placed in those pits?

7           A           That is very difficult to calculate be-  
8 cause the solids pits will be skimmed of all water as the  
9 solids settle out, and evaporation, also, has some effect.

10          Q           Are you in agreement with Mr. Stephens  
11 about the mechanism by which the facility is going to func-  
12 tion in terms of being an infiltration system as opposed to  
13 an evaporation system?

14          A           Yes, I do.

15          Q           The water analysis that you've given to  
16 us in your package of documents, the water analysis for La-  
17 guna Plata, was that sample analyzed for any hydrocarbon?

18          A           No, it was not.

19          Q           And was the -- was the water analysis for  
20 the spring discharge over at -- let me make sure I under-  
21 stand this water analysis.

22                      What spring discharge did you sample  
23 where?

24          A           It is approximately 1500 feet from our  
25 proposed site towards Laguna Plata.

1                   It is approximately located around in  
2 that area and I've got a photograph of the spring discharge  
3 itself.

4                   Q           Let's -- let me show you Mr. Stephens'  
5 Figure No. 2 on page 12 and ask you if that spring is iden-  
6 tified on his plat.

7                   A           No, it is not.

8                   Q           The water sample, then, from the spring  
9 discharge, is the one that is in the southwest corner of  
10 Tract A on the design plat.

11                  A           Yes, it is.

12                  Q           Okay. Am I correct in understanding that  
13 the design that you're attempting to implement is one that  
14 is predicated or based upon the fact that the liquids, the  
15 water, are intended to percolate or migrate subsurface and  
16 to be discharged into Laguna Plata?

17                  A           I am not the hydrologist but that was my  
18 understanding.

19                  Q           That's the whole concept or mechanism by  
20 which you have then attempted to design the facility.

21                  A           Yes, it is.

22                  Q           The surface capacity of these pits to  
23 evaporate these substances is certainly not adequate to do  
24 it that way, is it?

25                  A           Right.

1           Q           Okay. Mr. Thornton, do you have the con-  
2 sent of the owners of the property located within that fen-  
3 ced area to conduct this operation?

4           A           That is a matter which is currently being  
5 discussed with the State Land Office.

6           Q           Your understanding is that that Commis-  
7 sioner of Public Lands controls that -- that acreage?

8           A           Yes, he does.

9           Q           Has the Commissioner of Public Lands is-  
10 sued to Petro-Thermo any type of lease or consent to author-  
11 ize this facility?

12          A           As of date, no.

13          Q           With regards to the Plata where the water  
14 will be discharged, Mr. Thornton, do you have any easements,  
15 right-of-ways, leases, or contracts that entitles you to  
16 utilize the Plata for the discharge?

17          A           No, we do not. This is a State Land Of-  
18 fice problem.

19          Q           Does the Laguna Plata, is that a part of  
20 State Land Commissioner properties under his jurisdiction?

21          A           No, it is not. The BLM owns the land un-  
22 derneath Laguna Plata.

23          Q           Between Laguna Plata and the State ac-  
24 reage, what -- tell me, Mr. Thornton, where do you under-  
25 stand the State acreage to be on your vicinity map?

1           A           Directly north of Section 16. That would  
2 be the area of interest.

3           Q           Is Section 16, to the best of your know-  
4 ledge, State of New Mexico acreage?

5           A           Yes, it is.

6           Q           And that the sections, then, in Laguna  
7 Plata, it's your understanding that that is property under  
8 the control and management of the Bureau of Land Management?

9           A           Yes, it is.

10          Q           And do you have the approval of the  
11 Bureau of Land Management with regards to this facility and  
12 the discharge into the lake?

13          A           We have discussed with the BLM some of  
14 the stipulations which have been placed on this discharge  
15 plan, such as the monitoring wells.

16          Q           Do you have written authority from the  
17 Bureau of Land Management that approves the discharge plan  
18 as you propose it?

19          A           No, I have not.

20                           MR. KELLAHIN: Nothing further.

21                           MR. STAMETS: Any other ques-  
22 tions of the witness?

23                           MR. LYON: I have some ques-  
24 tions.

25                           DR. KELLEY: Mr. Lyon, if I



1 could go first, I just have one question.

2

3

CROSS EXAMINATION

4

BY DR. KELLEY:

5

Q Mr. Thornton, you were discussing free-

6

board on your design, and I was wondering how you arrived at

7

the amount of freeboard necessary for these ponds.

8

A It was required.

9

Q Well, I mean what did you use, a storm

10

event, or --

11

A A 75-year 6-hour rain.

12

Q That's what I meant, thank you.

13

A Okay.

14

MR. STAMETS: Mr. Lyon, do you

15

have any questions?

16

MR. LYON: Yes.

17

18

QUESTIONS BY MR. LYON:

19

Q Mr. Thornton, your -- your plat of the

20

facility, that's page --

21

A Page 6.

22

Q -- 6, shows the plan view of your -- of

23

your proposed pits.

24

Will the edge of those pits be at ground

25

level or will you make a berm around each of these from the

1 removed material?

2 A The way I designed these pits was to go  
3 on the water pits approximately five feet from the lowest  
4 elevation down. The pit is then raised up with berms to  
5 make a level top, a level dike.

6 MR. KELLEY: But above the ori-  
7 ginal surface of the ground?

8 A On the back side of the pit, no. On the  
9 -- on the south side, I mean, no, but the sides will have an  
10 angle dike and the south side of the pit will have a (not  
11 clearly understood).

12 Q So you -- you're saying that the eleva-  
13 tions will be bermed and the top of your berm will be at a  
14 common elevation, is that what you're saying, be level?

15 A Yes. Pretty much so. The topography is  
16 not perfect as in they're not straight lines as the pits  
17 are, but that is generally true.

18 Q So the removed material will be put into  
19 -- into berms? You're going to --

20 A Right, the berms and the -- and the pad  
21 that we designed.

22 Q And will your conduit, your overflow  
23 lines be essentially at ground level?

24 A They will be placed at three feet below  
25 the top of the previous pit, and put into the next pit to

1 insure that the water level stays at 3 feet below the top of  
2 the dike.

3 Q I see. Now, as you fill water pit number  
4 one and the hydrocarbons gather at the top, as the level of  
5 that total fluids get to the level of the conduit leading to  
6 pit number two, then that material could likely be oil,  
7 could it not?

8 A There's a remote --

9 Q In fact the first material to go into pit  
10 number two would probably be oil.

11 A No, it will not probably be oil. The  
12 gunbarrels will separate most of the hydrocarbons in the  
13 gunbarrels.

14 Q So you're not expecting any increase in  
15 your hydrocarbons to get into the these water pits.

16 A No, I'm not expecting but I'm prepared to  
17 skim these. We -- we have -- part of our maintenance on  
18 these water pits is to skim the pits of any hydrocarbons  
19 that may appear.

20 Q You don't think there's any likelihood  
21 that any oil would get as far as (not clearly understood.)

22 A There is a remote possibility, very re-  
23 mote possibility.

24 Q If that were to occur and pit number two  
25 were dry, wouldn't you get a saturation of hydrocarbons in

1 in the bottom of that pit?

2 A If there were enough hydrocarbons to es-  
3 cape from pit one to pit two, that is a possibility, but, as  
4 I have said, we would routinely, or as needed, skim these  
5 water pits so that the oil does not reach the next pit.

6 Q I just thought that there might be some  
7 arrangement to put some -- keep some water level in pit num-  
8 ber two just in case there was some hydrocarbon overflow.

9 A If we discover that we have these prob-  
10 lems, we will place an elbow on the conduit so that oil  
11 which floats on top of water does not enter into the next  
12 pit.

13 MR. LYON: I think that's all I  
14 have.

15 MR. STAMETS: Other questions  
16 of Mr. Thornton.

17 He may be excused.

18 The hearing will be recessed  
19 until 1:00 o'clock.

20

21 (Thereupon the noon recess was taken.)

22

23 MR. STAMETS: The hearing will  
24 please come to order.

25

MR. KELLAHIN: Mr. Chairman,

1 Mr. Neal had to return back to Hobbs to attend a funeral and  
2 asks your permission to be excused this afternoon.

3 MR. WEBER: May it please the  
4 Commission, Petro-Thermo's next witness will be Mr. Abbott.

5  
6 W. G. ABBOTT,  
7 being called as a witness and being duly sworn upon his  
8 oath, testified as follows, to-wit:

9  
10 DIRECT EXAMINATION

11 BY MR. WEBER:

12 Q Sir, would you please state your full  
13 name?

14 A My full name is William Gordon Abbott.

15 Q And where do you presently reside?

16 A Hobbs, New Mexico.

17 Q And where are you currently employed?

18 A I'm currently employed by Petro-Thermo  
19 Corporation.

20 Q In what capacity, sir?

21 A I'm President of Petro-Thermo Corpora-  
22 tion.

23 Q And what is your profession?

24 A I'm a petroleum engineer.

25 Q And from what institution did you receive

1 your undergraduate degree and when did you receive it?

2 A I got a degree in mechanical engineering  
3 from the University of Texas in January of 1948.

4 Q Are you licensed as a professional engi-  
5 eer?

6 A Yes, sir.

7 Q In what states are you so licensed?

8 A I'm licensed in New Mexico and Texas.

9 Q Are you a member of any professional  
10 societies or organizations?

11 A Yes. I belong to the Society for Petro-  
12 leum Engineers, the API. I'm also secretary of the New Mex-  
13 ico Oil and Gas Association. I mean not secretary, treas-  
14 urer of the New Mexico Oil and Gas Association.

15 Q Sir, would you please relate for the Com-  
16 mission your work history in the oil and natural gas indus-  
17 try?

18 A After graduation from the university I  
19 went to work for Amerada Petroleum Corporation in south  
20 Texas, east Texas, west Texas and New Mexico.

21 After I'd been with Amerada Petroleum  
22 Corporation for ten years, I went to work for Rice Engineer-  
23 ing and Operating, Inc., in Hobbs, New Mexico. I worked for  
24 them for about nine years and then I formed Agua, Inc., in  
25 December of 1966.

1 Most of my experience has been in salt  
2 water disposal and production work in the oil industry.

3 Q Sir, have you also had some experience in  
4 the disposal of solid waste related to the drilling for oil  
5 and gas?

6 A Yes. Solid wastes are more recent. It  
7 came about because the oil companies cannot dispose of solid  
8 waste in pits and cover up the pits. Most areas they have  
9 to haul off the solids are in the pits that they drill --  
10 used to drill their wells, and they have to haul off the  
11 cuttings and the cement.

12 And so you have a problem of disposal of  
13 the solids.

14 Another problem of solids disposal in New  
15 Mexico and Lea County, especially, is caused by flows of  
16 salt water and Petro-Thermo has been involved with three  
17 different salt flows where the saturated brine is flowing  
18 usually from -- from a drilling well through the redbeds,  
19 heavily laden with solids and has to be disposed.

20 Q What does this require?

21 A Well, it requires a solid disposal area.  
22 You can't dispose of that type of salt water in disposal  
23 wells because it will plug up the disposal wells.

24 Q Given this experience have you had the  
25 opportunity to testify before the New Mexico Oil Conserva-

1       tion Commission on prior occasions?

2                   A               Yes, sir.

3                   Q               Were your credentials accepted as a pro-  
4       fessional engineer?

5                   A               Yes, sir.

6                                   MR. WEBER:    At this point I  
7       would tender Mr. Abbott as a professional engineer.

8                                   MR. STAMETS:   This witness is  
9       considered qualified.

10                  Q               Sir, will you please explain the struc-  
11       ture of Petro-Thermo Corporation and its components?

12                  A               Yes. As I stated, we organized Agua,  
13       Inc., as a corporation in New Mexico in December of 1966.

14                               We got involved with the disposal, com-  
15       mercial disposal of water and we found that we needed an-  
16       other corporation. So we organized Petro-Thermo Corporation  
17       in 1970.

18                               Then that -- the development of Petro-  
19       Thermo was along the lines of trucking, tank cleaning, pit  
20       cleaning, and operation of a -- of a disposal or a treating  
21       plant.

22                               In April of 1982 we reorganized and made  
23       Agua a division of Petro-Thermo Corporation and that's how  
24       it is today.

25                  Q               Sir, has Petro-Thermo Corporation been



1 issued a Certificate of Public Convenience and Necessity  
2 from the State Corporation Commission?

3 A Yes. We have been issued a Certificate  
4 of Public Conveyance and Necessity.

5 Q Sir, is that what has been marked as Ex-  
6 hibit Number One?

7 A Yes, sir.

8 Q Sir, in what counties does Petro-Thermo  
9 Corporation have authorization to transport and what does it  
10 have authorization to transport?

11 A We are authorized to transport produced  
12 water, mud, oil, tank bottoms from thirteen counties in New  
13 Mexico.

14 They are, starting from the north,  
15 they're all on the east side of New Mexico: Union County,  
16 Mora, Harding, San Miguel, Guadalupe, Quay, DeBaca, Roose-  
17 velt, Curry, Lincoln, Chaves, Lea and Eddy Counties.

18 Q Does Petro-Thermo Corporation also pos-  
19 sess an authorization from the Commission to move produced  
20 water?

21 A Yes, we do.

22 Q Is the oilfield water hauling business a  
23 very competitive business?

24 A It's very competitive.

25 Q About how many competitors do you have?

1           A           I think we have probably thirty competi-  
2 tors.

3           Q           In the Lea, Eddy, and Chaves County area,  
4 how about the number of competitors that you have in those  
5 areas?

6           A           We probably have twenty competitors in  
7 this area.

8           Q           What business is Petro-Thermo Corpora-  
9 tion's Agua Division primarily engaged in?

10          A           Agua is in the business of designing and  
11 operating salt water disposal systems.

12          Q           How much experience and how long has Agua  
13 operated salt water disposal systems?

14          A           We had our first system in operation, I  
15 think it was in 1967.

16          Q           So for nearly twenty years you've oper-  
17 ated salt water disposal --

18          A           Yes.

19          Q           -- sites. Doesn't Agua also dispose of  
20 solid oilfield waste?

21          A           Yes. We are disposing of solid waste  
22 disposal at the present time.

23          Q           Under what authority is Agua disposing?

24          A           We have a temporary use of a pit at this  
25 time to dispose of solid waste. It's -- it's down south of

1 the City of Eunice in Section 22, Township 22 South, Range  
2 37 East.

3 Q And when does that temporary authority  
4 expire, sir?

5 A It expires today.

6 Q What impact will expiration of this tem-  
7 porary permit have?

8 A Well, we'll have to shut down the pit un-  
9 less we get an extension from the OCD.

10 Q Now, you also mentioned that Petro-Thermo  
11 Corporation is engaged in reclaiming operations. Could you  
12 please describe the nature of those reclaiming operations?

13 A Yes. We have a permit issued by the OCD  
14 for a treating plant. That requires a special permit. Our  
15 treating plant is located west of Hobbs in the area of the  
16 Goodwin Pool. That's where we treat tank bottoms, remnant  
17 oil that 's been hauled in by the trucks, and pit cleaning,  
18 and so on. We have a semi-sophisticated treatment in that  
19 we have two large treaters and we have an expert oil treat-  
20 er. So we treat out pipeline oil that can be treated by the  
21 use of these heater-treaters plus chemicals and sell that  
22 oil as pipeline oil.

23 Q Sir, do these activities tend to prevent  
24 waste and result in the conservation of valuable energy re-  
25 sources?

1           A           Yes, sir, they do.

2           Q           Can you indicate for the Commission the  
3 extent of oil and gas activity in Lea, Eddy, and Chaves  
4 Counties?

5           A           Yes. We -- we're -- our permits and our  
6 operations mostly in an area in Lea, Eddy, and Chaves Coun-  
7 ties. This area in Lea County, there are 15,307 wells at  
8 the present time. Eddy County, there are about 7240 wells;  
9 Chaves County, there are 2205 wells, for a total of 24,752  
10 oil and gas wells in operation.

11                   Now, this -- that figure is as of the  
12 first of '85, so actually, there's more than that. There's  
13 about 25,000 active wells in these three counties.

14           Q           And you're indicating that information  
15 from the Exhibit numbered Four, which has been presented to  
16 the Commission.

17           A           Yes, sir.

18           Q           On that exhibit there is also a separate  
19 listing for oil and gas wells in the Hobbs Pool Area. Could  
20 you please explain what's meant by the Hobbs Pool and its  
21 impact upon your operations?

22           A           Well, the Hobbs Pool, of course, was dis-  
23 covered in 1927, and that's -- the City of Hobbs is right on  
24 the top of the Hobbs Pool. About one-third of the wells are  
25 in the city limits of Hobbs and it encompasses about seven

1 different fields, the Hobbs Blinebry, Blinebry East, the San  
2 Andres, the Drinkard, the Paddock, and Glorieta, and the --  
3 or the Grayburg and the San Andres, for a total of 548  
4 wells.

5 Q Sir, what potential is there for in-  
6 creased activity within the Hobbs Pool and the impact upon  
7 Petro-Thermo Corporation's business?

8 A Well, the Hobbs Pool Grayburg-San Andres  
9 has been unitized. The north end of the pool is operated by  
10 Shell Oil and the south end by Amoco, and they're actively  
11 engaged in the secondary recovery operations, waterflooding,  
12 and it's a very active area.

13 I see in the future that -- that -- I'd  
14 say within the next five years, or less, they will go to  
15 tertiary flooding and tertiary recovery in this pool with  
16 the use of CO2.

17 Q Sir, what impact would -- would such ac-  
18 tivity have upon the oil and gas operators insofar as the  
19 disposal of solid and liquid waste is concerned?

20 A Well, I believe they'll probably infill  
21 drill the whole Hobbs Pool, probably double the number of  
22 wells, which would make over 800 wells, 800 or 900 wells in  
23 the -- this Hobbs Grayburg-San Andres.

24 That means that all the waste will have  
25 to be hauled off, the solid waste. Very few earthen pits

1 would be dug. They'll be steel pits and if they are allowed  
2 earthen pits they'll be lined and then all the mud, cut-  
3 tings, chemicals, and so on, will be hauled off from that  
4 area.

5 Q Are you saying, then, that there are  
6 limitations on the number of available sites where disposal  
7 operations can be conducted, where contamination of fresh  
8 water supplies would not occur?

9 A Yes. At the present time there are just  
10 two authorized solid waste disposal, one down in the Eunice  
11 area, Parabo, it's called, and then the facility at Laguna  
12 Gatuna, operated by Mr. Squires' Pollution Control.

13 Q And, sir, based upon your experience, is  
14 the need for authorized safe disposal sites met by these two  
15 facilities?

16 A It's questionable. Most -- most of my  
17 questions will be with the Parabo disposal. I don't think  
18 it's a viable disposal and some of the larger operators,  
19 major operators, do not like to dispose there. They don't  
20 think it's viable.

21 Q Have you received any indications from  
22 the these operators that there is a need for additional fac-  
23 ilities?

24 A Yes. I -- I received a --

25 MR. KELLAHIN: Mr. Chairman,

1 excuse me. Mr. Chairman, I'm going to object to Mr. Ab-  
2 bott's testifying from letters that are tendered as an at-  
3 tempt to document a need when the authors of those letters  
4 are not here to be cross examined. It is a classic viola-  
5 tion of the hearsay rules and we'll object to Mr. Abbott  
6 testifying or to having the letters introduced in evidence.

7 MR. WEBER: Sir, it's our posi-  
8 tion that those letters are already part of the administra-  
9 tive record of this particular case. We have not attempted  
10 to elicit from Mr. Abbott the contents of these letters,  
11 other than the fact that he has received some indications  
12 from oil and gas operators in the Hobbs, New Mexico, area of  
13 the need for additional disposal facilities.

14 We will, however, proceed on.

15 MR. STAMETS: You're talking  
16 here about Exhibits Five, Six, and Seven?

17 MR. WEBER: Yes, Mr. Chairman,  
18 we are.

19 MR. STAMETS: These are all  
20 letters which have been sent to the Oil Conservation Divi-  
21 sion?

22 MR. WEBER: Yes, sir, with car-  
23 bon copies to Mr. Abbott.

24 I believe there is one addi-  
25 tional letter which was sent directly to the Oil Conserva-

1 tion Commission, administrative notice of which was taken  
2 during the Examiner Hearing on December 18th, and which is  
3 also part of the record.

4 MR. STAMETS: And this is not a  
5 hearing determining whether or not there is need, and so I  
6 don't believe that the evidence is either needed or impro-  
7 per.

8 If Mr. Abbott wishes to enter  
9 these exhibits, I see no reason why he should not be allowed  
10 to, and so I'll overrule the objection.

11 MR. KELLAHIN: Point of clari-  
12 fication, Mr. Chairman.

13 The applicant, in his opening  
14 statement set forth as one of his proof factors the need for  
15 this facility. Am I understanding from the Commission that  
16 you don't require or don't want testimony about need? I  
17 think both parties have come to discuss need if that is not  
18 an issue for consideration, maybe we need to rethink our  
19 presentation.

20 MR. STAMETS: I believe we're  
21 all agreed at the head of the table here that need is not  
22 one of the issues in this case, so the ruling remains the  
23 same.

24 MR. WEBER: We will continue on  
25 that premise, sir.



1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

Q Mr. Abbott, what steps did you take to determine the location of Petro-Thermo Corporation's proposed disposal facility?

A We started looking for a proper site back on July of 1985. We -- we needed -- we used the criteria that we needed a central location. We needed it available to the oil and gas field. We needed a network of highways, and also we wanted a place to put this waste where there was no potable water.

Q Did you find such a place, sir?

A Yes. We found it at -- at the Laguna Plata site.

Q Did you investigate further to determine the ownership of lands?

A Yes. We -- we had telephone call after telephone call with various agencies, including the BLM, and evidently the Federal wells don't produce any waste because we had to find a location to locate this on State lands.

Q And so the lands are in State ownership. What steps, if any, did Petro-Thermo Corporation take to acquire an interest in these lands?

A We applied -- we -- well, first of all, we contacted the grazing lessee of this State land. At that time it was a rancher that lived over in Andrews. I think his name was Thoms. I think he actually sub-leased it from

1 another grazing lessee.

2 So we contacted him and tried to interest  
3 him in this disposal and his demands were so unreasonable  
4 that we -- we dropped that and went to the State Land Office  
5 and applied for a business lease.

6 Q When did apply for that lease, sir?

7 A We applied for this lease, business lease,  
8 December 6th, 1985.

9 Q Did you subsequently make a deposit of  
10 the initial year's anticipated rental?

11 A Yes. This -- this lease that we applied  
12 for was the east half of Section 16, Township 20 South,  
13 Range 32 East, and we wrote a check for that -- the proposed  
14 business lease and that check has been -- was accepted by  
15 the State Land Office at that time.

16 Q Are you aware of the status of that busi-  
17 ness lease application?

18 A Yes. We had a meeting with Mr. Jim Baca,  
19 Commissioner of Public Lands, a meeting with my son Bob, my-  
20 self, and our attorney, Mr. Ernie Padilla. We met approxi-  
21 mately the middle of March on this business lease and as far  
22 as I know, they're taking it under advisement.

23 Q Yes, sir. If the necessary approval is  
24 granted, will Petro-Thermo Corporation's proposed disposal  
25 site serve to promote competition, avoid contamination of

1 existing fresh water supplies, and serve to conserve  
2 valuable energy resources?

3 A Yes, it will.

4 MR. WEBER: Sir, I have nothing  
5 further.

6 MR. STAMETS: Any questions of  
7 the witness?

8 MR. KELLAHIN: Yes, Mr.  
9 Chairman, thank you.

10

11

#### CROSS EXAMINATION

12 BY MR. KELLAHIN:

13 Q Mr. Abbott, under the Certificate of Pub-  
14 lic Convenience and Necessity that's marked as Exhibit One,  
15 and which you've identified earlier, are you authorized by  
16 the Corporation Commission of New Mexico to deposit anywhere  
17 within this site or within five miles of this area any pro-  
18 duced water or solid waste?

19 A I don't know what you mean by that.

20 Q Does this Certificate of Public Necessity  
21 and Convenience give you the right to dispose of produced  
22 water at the proposed facility?

23 A Yes. It's the hauling of water, not the  
24 disposal. Yes, it does give that.

25 Q I asked you whether it gave you the right

1 to dispose and you said it give you the right to haul.

2 A Yes, it gives you the right to haul.

3 Q It does not give you the right to dispose  
4 of --

5 A No, that's right.

6 Q -- produced water at this facility.

7 Does it give you the right to dispose of  
8 solids at this facility?

9 A No, it doesn't.

10 Q With regards to the facility do you have  
11 an executed written business lease from the Commissioner of  
12 Public Lands at this date?

13 A No, they're -- they've taken it under ad-  
14 visement.

15 Q With regards to the utilization of Laguna  
16 Plata for the produced waters that will migrate from this  
17 facility to that Plata, do you have the written approval and  
18 agreement of the Bureau of Land Management?

19 A No, but under a discussion with -- of our  
20 attorneys, anything the State Land Office wants to do the  
21 BLM will -- will go ahead and do it. That's their position.

22 Q And who's informed you that that was  
23 their position?

24 A I don't know who it was.

25 Q With regards to the property adjacent to

1 the facility, can you tell us who the current owners are of  
2 the property or property rights adjacent to this facility?

3 A Adjacent which way?

4 Q Well, let's start off to the east side.

5 A I don't know. That's BLM land. I don't  
6 know who it's leased to.

7 Q All right, and how about to the south of  
8 the facility, is that still State land or is that Federal  
9 lands?

10 A That whole section is State land.

11 Q You said that there was a grazing lease  
12 issued for the surface at this facility to someone named  
13 Thoms?

14 A Yes.

15 Q Is, to the best of your knowledge, that  
16 State grazing lease still in full force and effect for that  
17 property?

18 A I -- I have heard from our legal advisor  
19 that they are working on a relinquishment of the grazing  
20 lessee --

21 Q Has that --

22 A -- of the State.

23 Q Has that relinquishment been obtained as  
24 of this point?

25 A Not that I know of.

1           Q           Now, within Tract B outside of the 8 or 9  
2 acres for the facility, is that also a grazing lease from  
3 the State of New Mexico to Mr. Thoms? Is that the same  
4 grazing lease?

5           A           Yes. I think he has the whole half sec-  
6 tion.

7           Q           Meaning the east half of the section?

8           A           Yeah, he may have the whole section. I  
9 don't know just what he has.

10          Q           Mr. -- Mr. Thornton has identified for us  
11 in his testimony that he was instructed the need for the de-  
12 sign was to accommodate 15 truckloads of produced water a  
13 day or about 2250 barrels a day.

14          A           Yeah, that would -- that would be the  
15 average. Uh-huh.

16          Q           What are you currently doing with that  
17 volume of produced water now, Mr. Abbott?

18          A           We -- we actually are not hauling that  
19 much water but what we do haul we dispose of in a disposal  
20 well at our Goodwin disposal well.

21          Q           The produced water that you currently  
22 haul through Petro-Thermo, all that water now is being dis-  
23 posed of and processed at the Goodwin reclaiming plant?

24          A           Yes, uh-huh.

25          Q           What are you currently doing with the

1 solids that you gather?

2 A The solids, we're using a temporary pit  
3 down south of Eunice.

4 Q The temporary pit at Eunice has received  
5 what volumes of solids, Mr. Abbott?

6 A I don't know exactly a total. I would  
7 say 1000 to 2000 barrels of solids in the past year.

8 Q I didn't understand whether or not you  
9 are currently utilizing the Eunice solid disposal --

10 A Yes, we are --

11 Q -- facility.

12 A -- utilizing it.

13 Q Have you in the past utilized the Pollu-  
14 tion Control's facility at Gatuna for the produced water and  
15 solids that you've trucked?

16 A We have previously had hauled to Laguna  
17 Gatuna, but they refused to do business with us and won't  
18 allow us to haul there.

19 Q What's the reason for that refusal, Mr.  
20 Abbott?

21 A They are in direct competition with us in  
22 the trucking business and they just didn't want us to suc-  
23 ceed in hauling the solids.

24 Q And upon what information do you reach  
25 that opinion?

1           A           That's obvious.    They did the same thing  
2 with a brine well they operated.

3           Q           My question to you, sir, is you said they  
4 refused you access to the facility.  What --

5           A           That's what I answered, they did.

6           Q           What individual with that company has --

7           A           I don't know.

8           Q           -- refused you access?

9           A           We got a letter from -- from their people  
10 refusing.

11          Q           Isn't the reason that you were refused  
12 access to that facility because you would not timely pay  
13 your trucking bills to that facility?

14          A           No, that isn't -- that was the reason  
15 that they said they cut us off, but that wasn't the reason.

16          Q           At that point, when you received that  
17 letter, were you in fact delinquent in the payment of your  
18 bills to that facility?

19          A           No, we paid them up in full except for  
20 that one month.

21          Q           Only as a result of litigation with that  
22 company --

23          A           No, no.  We paid up in full.  Then we  
24 were served by litigation later.

25          Q           What factors did you use to determine the



1 economic viability of the particular facility at Laguna  
2 Plata, Mr. Abbott?

3 A Well, one, we need a spot to dispose of  
4 brine and also solids. We've designed this, we thought this  
5 was the best place in the area to dispose of produced water  
6 and solids and we can construct this and operate this fac-  
7 ility and we believe we can make money from it.

8 Q Mr. Abbott, what do you anticipate to be  
9 the total capital cost of the construction of the facility  
10 as proposed?

11 A The Phase I we figure will be from 75-to-  
12 100,000 -- \$75,000 to \$100,000.

13 Q And will this also be a facility that is  
14 open to the general public?

15 A Yes, it will be.

16 Q And how do you propose to man the facil-  
17 ity to determine how the facility is to be used by the  
18 truckers?

19 A Well, we plan to, in the beginning, to  
20 man it during the daylight hours with a man on the location.

21 Q Will operators or truckers be allowed to  
22 utilize the facility in the absence of having authorized  
23 personnel of Petro-Thermo in charge of that facility?

24 A No. It may be that we'll have to keep it  
25 open 24 hours a day, but we don't plan on it from the start.

1           Q           At this time, Mr. Abbott, have you come  
2 up with a projection on the costs or fees to be charged for  
3 the utilization of the facility?

4           A           No, we'll -- we'll be competitive with  
5 the going rates. We haven't gotten into that -- the fee  
6 schedule, as yet.

7           Q           What is the general fee schedule charge  
8 for the utilization of a facility of this type?

9           A           Well, usually the produced brine is any-  
10 where from 15 cents a barrel to 25 cents a barrel.

11          Q           How does Petro-Thermo handle the ownershp  
12 of the materials when they obtain them from the operator and  
13 then dispose of them at a facility such as this?

14          A           What, what materials?

15          Q           The oil that can be reclaimed, the pro-  
16 duced water, and the solids, do you take ownership of that  
17 from the operator?

18          A           Yes. Right.

19          Q           You charge him a fee; you pick it up; it  
20 then becomes your property and then you dispose of it at a  
21 facility.

22          A           Yes, that's right.

23          Q           Have you been involved directly, Mr. Ab-  
24 bott, with the design and the proposed operation of the fa-  
25 cility?

1           A           Yes.    It's been a joint effort.    While  
2 Mr. Thornton did most of the work, we all acted as advisors  
3 and consultants and we've come up with the best design we --  
4 we thought we could.

5           Q           Are you in agreement with Mr. Thornton  
6 and Mr. Stephens that the method or means by which the  
7 material will be disposed is an infiltration process?

8           A           Yeah.    We think that the produced brines  
9 will percolate through the sands, hit the redbed and go into  
10 the lake as -- as Mr. Stephens has proposed.

11          Q           The proposed utilization of the facility  
12 at the 2250 barrels a day, Mr. Abbott, is based upon what  
13 information that you have derived?

14          A           Well, that was based on the oil patch  
15 back in December of last year when we had our hearing.    Now  
16 there's probably not that much water to dispose of.    I mean  
17 the operators, oil operators, have shut in a bunch of high  
18 water producers, and I don't know if that 2250 will be a  
19 valid place to start or not; I have no idea.

20          Q           That change is directly brought about of  
21 the drop in oil price from \$20--and so down to \$10 or \$11 or  
22 --

23          A           Right.

24          Q           -- \$13 we're experiencing now?

25          A           That's right.    Yeah.

1           Q           What effect has that oil price had on the  
2 drop in actively drilling oil and gas well rigs in Eddy and  
3 Lea County in terms of producing solids for disposal?

4           A           Well, it's cut that down considerably,  
5 too.

6           Q           Notwithstanding those drops in prices and  
7 activities in the industry, are you still considering going  
8 ahead with Phase I of the project at this time?

9           A           Yes, we'll start out on Phase I. We  
10 don't know how far we'll go because we don't know if all the  
11 pits will be needed.

12                   We'll probably start along the lines of  
13 Mr. Thornton's Phase I plan.

14           Q           Have you had experience operating an  
15 unlined surface disposal facility similar to the one that's  
16 proposed here?

17           A           No, sir.

18           Q           As a petroleum engineer, Mr. Abbott, do  
19 you have any estimates of the manner in which the solid  
20 waste disposal pits will have to be maintained, how long it  
21 will take them to dry out, and how you'll rotate that  
22 material?

23           A           No. I don't know. It would -- it will  
24 take some time. You'd fill one pit and go to the next one,  
25 and I don't know how long it will take till they dry out.

1           Q           Are you in agreement with Mr. Thorton's  
2 calculation about the surface area that's included within  
3 the fenced boundary for the facility?

4           A           Yes. It's 600 by 600 feet. If it were  
5 660 by 660 it would be 10 acres, so 600 by 600, about 8-1/2  
6 or 9 acres.

7           Q           Based upon your experience and education,  
8 Mr. Abbott, are you aware of any geologic or other barriers  
9 that will keep the produced water confined to the facility?

10          A           No, I think the -- our hydrologist has  
11 given a good description of how that water will move through  
12 the media.

13          Q           What is the ownership of Petro-Thermo  
14 Corporation, Mr. Abbott?

15          A           I'm the largest stockholder. I own, my  
16 wife and I have about 54 percent.

17                      The Robert Moran Estate has about 14  
18 percent. Moranco has about the same and Ken McPeters (sic)  
19 has about 12 percent, and three employees have 5 percent  
20 apiece.

21          Q           With regards to bonding or insurance ar-  
22 rangements by your company in order to insure or protect  
23 against environmental contamination, what, if anything,  
24 have you done as a corporation, Mr. Abbott?

25          A           We have liability insurance and also

1 bonds to operate on State lands and Federal lands.

2 Q Are those bonds sufficient and broad  
3 enough to include potential environmental claims?

4 A Probably not. We have an umbrella  
5 policy. We had \$5-million in the umbrella but this year we  
6 had to cut it down to a million because of the cost of the  
7 insurance.

8 Q Does the umbrella coverage, is that large  
9 enough to include environmental contaminations?

10 A I don't know. I have no idea.

11 Q I don't mean in amount. I meant in the  
12 type of coverage?

13 A No, I don't know.

14 Q Okay. Am I correct in understanding that  
15 Petro-Thermo has never operated a similar facility such as  
16 this?

17 A That's right. Petro-Thermo has operated  
18 a treating plant but not a solid disposal.

19 Q And a salt water disposal well --

20 A Yes. We've operated that.

21 MR. KELLAHIN: May I have just  
22 a moment?

23 Q Is it correct, Mr. Abbott, that as of to-  
24 day neither you nor your company have obtained any property  
25 interest within the area defined by the fenced boundary for

1 this facility?

2 A That's right. It's taken under advise-  
3 ment with the State Land Office.

4 Q And that would also apply to any portion  
5 of the property between the north fence line to Laguna  
6 Plata?

7 A No, that State land actually runs into  
8 the lake, as shown by the red line that Mr. Thornton drew on  
9 that exhibit.

10 That State land does run into the lake.

11 Q That distance outside the facility as  
12 outlined to the margin of the lake, you do not have a pro-  
13 perty interest in that interval as of yet?

14 A No.

15 Q And with regards to the lake itself, you  
16 have no property interest in the lake.

17 A No, I understand it's BLM land.

18 Q Do you have an explanation for us, Mr.  
19 Abbott, as to why, when your project needs are 2250 barrels  
20 a day, that you're requesting 30,000 barrels a day, or ap-  
21 proximately 15 times more?

22 A No. As I stated, we've been involved in  
23 three different emergency situations and one, especially,  
24 that I remember, was a Texaco well blowing out salt water in  
25 redbeds in the Buckeye area, and there were forty trucks

1 hauling day and night for a week, and, of course, we  
2 couldn't handle all that -- those fluids, but we could help  
3 the State get out of a pickle by having this facility.

4 Q When did that occur, Mr. Abbott, do you  
5 recall?

6 A I think it was about two years ago.

7 Q Was the last occurrence of that type  
8 where there was an emergency need for excess capacity to  
9 dispose of produced water?

10 A No, there -- there was another one up  
11 east of Lovington within the last ten months where -- the  
12 same situation, where the flow of brine was flowing out of  
13 the wellbore, they couldn't control it, and it had to be  
14 hauled off.

15 Q Was that the V-F Petroleum well?

16 A No, this was -- I don't know who; I can't  
17 remember who drilled it.

18 Q In both of those instances, where did you  
19 truck the produced water?

20 A I think at that time we trucked it to La-  
21 guna Gatuna.

22 MR. KELLAHIN: Thank you, Mr.  
23 Chairman.

24

25



## CROSS EXAMINATION

BY MR. STAMETS:

Q Mr. Abbott, I'd like to follow up on some questions of Mr. Kellahin's there about your operations.

A Uh-huh.

Q At night, when the facility is unattended, will there be a locked gate?

A Yeah, we'd publicize it to the truckers when the facility is to be closed, and again, we'd just have to lock, lock the gate up.

Q Presumably if your own drivers had -- needed to get in there they'd be given a key where they could get in.

A That's right, yeah.

Q How about another company, if they --

A Well, if they made prior arrangements, we'd -- we'd open a gate.

Q Are we putting in a facility here whereby it would be easy for some midnight hazardous waste dumper to drive in and load you up with something that you don't want?

A Well, I've thought of that, but it's -- it's in a pretty desolate area. I mean there are not -- there's not a lot of activity, commercial activity in that area. I just don't know. I don't know what the -- the only thing I recognize, that there is a need in the oil patch for

1 more facilities for disposal.

2 I read in the Oil and Gas Journal the  
3 past year where ARCO had to haul about 180 barrels of BS & W  
4 from Alaska to Chicago in 55 gallon drums to dispose of it  
5 because there are no facilities in Alaska. I mean they're  
6 frozen or there's nothing there.

7 So I don't think we want to get in that  
8 predicament in New Mexico, that we need, we definitely need  
9 a place for disposal.

10 MR. STAMETS: Other questions  
11 of Mr. Abbott?

12 He may be excused.

13 MR. WEBER: Sir, that is Petro-  
14 Thermo Corporation's last witness.

15 MR. STAMETS: Mr. Kellahin?  
16 Oh, we were wondering, Fran, would it be more appropriate  
17 for you to make your statement now or at the end?

18 MR. CHERRY: I think we just  
19 want to point out the Bureau's concerns in opposition to the  
20 facility as a statement.

21 MR. KELLAHIN: This gentleman  
22 has waited two days to be heard. I have no objection to  
23 having him heard now.

24 MR. STAMETS: Fran, why don't  
25 you go ahead and make your statement at this point?

1 MR. CHERRY: My name is Fran  
2 Cherry, and I'm the Roswell District Manager for the Bureau  
3 of Land Management.

4 I'm responsible for the manage-  
5 ment of all BLM lands and resources in Lea, Chaves, Eddy,  
6 Roosevelt, Curry, Quay, Guadalupe, DeBaca, and Lincoln Coun-  
7 ties within the State of New Mexico and for certain mineral  
8 operations in the southwest part of the State of Texas.

9 BLM is concerned regarding  
10 Petro-Thermo Company's application for an oilfield waste  
11 disposal facility on State land adjacent to the proposed La-  
12 guna Plata National Register Archaeological District.

13 As you know, the proposed faci-  
14 lity will be located in the east half of the northeast one-  
15 fourth of Section 16, Township 20 South, Range 32 East,  
16 directly adjacent to and upstream from the surrounding Fed-  
17 eral lands.

18 We will attempt today to  
19 delineate for your consideration the value and sensitivity  
20 of the archaeological, wildlife, geologic, hydrological,  
21 economic, and visual resources contained on the Laguna Plata  
22 District, the probable effects of the present application on  
23 these resources, the history of BLM's management of this  
24 area, and our proposed future management of these resources.

25 A major concern is a surface

1 sodium mining operation operated -- located on the Laguna  
2 Plata in the southeast one-fourth of Section 10, Township 20  
3 South, Range 32 East. This operation is authorized under a  
4 potash -- Federal potash lease, LC-068397, issued to the  
5 National Potash Company, a wholly owned subsidiary of the  
6 Mississippi Chemical Corporation.

7 In this operation an  
8 independent contractor removes sodium chloride from the  
9 bottom of the Laguna Plata and deposits it near the edge of  
10 the lake.

11 At intervals the raw salt is  
12 transported by truck to market for industrial use, which  
13 includes use for water softeners, livestock, and roads.

14 Production records of quantities  
15 sold are proprietary and confidential but can be obtained if  
16 the State wishes and is willing to bind itself to  
17 maintaining confidentiality.

18 MR. STAMETS: Water softeners,  
19 what, and roads?

20 MR. CHERRY: Livestock. I  
21 understand it's used as salt cake or blocks for them.

22 Laguna Plata is the best  
23 preserved example of the Dune-Playa ecosystem within the  
24 region. As you know, the Laguna Plata was formed by local  
25 subsidence in the Mescalero Pediment. The playa margins are

1 formed by 40-foot embankments on the north and west with a  
2 less distinct margin on the south and east. Stable and ac-  
3 tive dunes surround the playa margin extending up to the  
4 surrounding plain.

5 Several springs are found on  
6 the margins of Laguna Plata. The water quality of these  
7 springs varies from briny to potable. In one instance dune  
8 formation has blocked one spring's discharge into the playa  
9 forming a small pond which is used by local wildlife popula-  
10 tions and migratory water fowl.

11 In addition, there are several  
12 smaller playas on the southeastern margin of Laguna Plata  
13 which hold water on a seasonal basis.

14 Given the rich and varied  
15 nature of this ecosystem, the prehistoric peoples of south-  
16 eastern New Mexico made extensive use of the Laguna Plata  
17 area. Taken together the numerous sites surrounding the  
18 area form a mosaic of information about prehistoric lifeways  
19 which promise to add significantly to our present store of  
20 knowledge, if protected and properly studied.

21 For this reason, the proposed  
22 Laguna Plata Archaeological District was determined to be --  
23 determined eligible for the National Register of Historic  
24 Places by the Secretary of the Interior in 1975.

25 Since that time BLM has consis-

1 tently acted to manage the area so as to protect the re-  
2 source values at Laguna Plata. A brief synopsis of previous  
3 management decisions on Laguna Plata, as well as relevant  
4 excerpts from the East Eddy-Lea Management Framework Plan,  
5 are provided for your information. These documents demon-  
6 strate BLM's consistently protective stance regarding the  
7 natural and cultural values contained within the Laguna  
8 Plata.

9                   The area is closed to the use  
10 of off-road vehicles and, in addition, no new roads are per-  
11 mitted. In 1982 a no-surface occupancy stipulation was in-  
12 cluded in the five Federal oil and gas leases issued in La-  
13 guna Plata. A stipulation requiring the fullest considera-  
14 tion of cultural resource values is included in Federal po-  
15 tash leases in the area.

16                   Recently the Carlsbad Resource  
17 Area of the Bureau of Land Management has completed a  
18 Resource Management Plan Draft EIS. As part of this plan  
19 the Laguna Plata has been identified as a Special Management  
20 Area, with additional protective management stipulations to  
21 protect the archeological, visual, wildlife, and geologic  
22 values found there.

23                   The preferred alternative pro-  
24 poses acquisition of Sections 2 and 16, Township 20 South,  
25 Range 32 East, from the State of New Mexico to consolidate

1 land ownership within the proposed archaeological district.  
2 Consolidation of land ownership patterns within the Laguna  
3 Plat District would permit BLM to protect the cultural and  
4 environmental values in this district with maximum effective-  
5 ness.

6 Consequently, approval of  
7 Petro-Thermo's application would hinder our management of  
8 the Laguna Plata District as a whole.

9 It is our understanding that  
10 the proposed facility is projected to become a major dis-  
11 posal site for oilfield waste in Chaves, Lea, and Eddy Coun-  
12 ties. The Bureau believes that this type of disposal facil-  
13 ity with unlined pits aligned to channel by-products into  
14 the playa poses a significant threat to surrounding Federal  
15 lands and resources.

16 As you know, public lands sur-  
17 round Section 16. Downstream contamination of these lands  
18 may occur if the proposed facility is built. We are parti-  
19 cularly concerned about the possible release to the air,  
20 surface water, or groundwater, of hazardous waste, as listed  
21 in 40 CFR 261.30 by the Environmental Protection Agency,  
22 that may be disposed of in the proposed site.

23 We already know that in other  
24 areas of New Mexico oilfield wastes contain volatile organic  
25 compounds. Release of these compounds can be a threat to

1 the public health, wildlife, and the nearby salt mining  
2 operation.

3 We are particularly concerned  
4 that any hazardous materials entering Laguna Plata could  
5 eventually enter both animal and food chains via this com-  
6 mercial salt mining operation.

7 Given the natural resource  
8 values present at Laguna Plata and the potential for serious  
9 damage to those resources by the proposed facility, we are  
10 concerned about damage to public lands or injury to persons  
11 resulting from approval of Petro-Thermo's application.

12 BLM fully recognizes the need  
13 for adequate oil field disposal facilities in southeastern  
14 New Mexico. We further recognize hydrologically closed  
15 basins, such as Laguna Plata, are rare in this area. Never-  
16 theless, not only are there -- is there an extant disposal  
17 facility within four miles of the proposed facility, but BLM  
18 is also currently considering a proposal for a similar  
19 facility at Williams Sink. In view of the current decline  
20 in oil and gas production, there is a serious question as to  
21 whether the location of three oil field waste disposal  
22 facilities within six miles of one another is environmental-  
23 ly and economically justifiable.

24 Further, the natural and cul-  
25 tural resource values at Williams Sink and Laguna Gatuna



1 have been significantly altered because of other land uses,  
2 and these areas are at least as accessible as Laguna Plata.

3 We believe it is in the best  
4 interest of the State of New Mexico and the BLM to work to-  
5 gether in selecting an alternative location, which will  
6 serve the needs of industry without needlessly risking the  
7 public safety or damage to natural resources.

8 We ask that the State of New  
9 Mexico deny Petro-Thermo's application in Section 16; how-  
10 ever, if the State elects to grant the lease, then we  
11 strongly suggest that certain stipulations be included in  
12 the lease, these stipulations that we have previously sup-  
13 plied to the State Land Board and NMOCD.

14 In addition, we feel that the  
15 State should clearly outline responsibilities and liability  
16 for resource damage to the public lands or injury to person  
17 arising from the approval of Petro-Thermo's lease.

18 MR. STAMETS: I presume we've  
19 got a copy of that.

20 MR. CHERRY: I haven't got one  
21 here. I've just got this computer printout. I'm talking  
22 about making copies of it, though.

23 MR. STAMETS: If you will talk  
24 to the young lady at the front desk, she'll make a --

25 MR. CHERRY: Sure.

1 MR. STAMETS: -- copy for us.

2 Mr. Cherry is here at least at  
3 my invitation, and he is not a sworn witness in this case  
4 but he is here to supply us with information from another  
5 governmental agency as -- as has been the policy of the Com-  
6 mission for a number of years.

7 Mr. Cherry, I'd like to ask you  
8 just a couple of questions about what you've had to say.

9 It's unclear to me that if the  
10 facility is approved and operates as proposed and as  
11 theorized, that the archaeological sites in the area would  
12 be impacted, those on Federal land.

13 MR. CHERRY: That is correct.  
14 I don't -- they would not be impacted unless employees or  
15 users of the facility were to go on Federal lands and that  
16 is not a concern of Petro-Thermo's nor would we attempt to  
17 have you put anything in a lease or constrain them in any  
18 way. That's simply our business to try and control or con-  
19 strain uses.

20 MR. STAMETS: You indicated you  
21 were considering a facility at Williams Sink. How long is  
22 that consideration apt to go on?

23 MR. CHERRY: I'm afraid it's  
24 going to go on for quite awhile. We've just be enjoined by  
25 the Natural Wildlife Federation from taking any action on

1 Federal lands.

2 MR. STAMETS: Okay.

3 DR. KELLEY: Wouldn't that also  
4 create a problem since it is in the potash mining area? The  
5 potash industry may be against having such a disposal area  
6 above their mining operations?

7 MR. CHERRY: That's very pos-  
8 sible. It's also -- the same company is also putting brine  
9 wastes into the Laguna Plata, so the same argument could be  
10 made, probably, for both sides.

11 MR. STAMETS: And you indicated  
12 that you have been, or were thinking about working with the  
13 State Land Office relative to trying to acquire those two  
14 sections. Has that action begun?

15 MR. CHERRY: The first step in  
16 that process is finalizing our resource management plan for  
17 the area. That is in draft stages. We are holding our  
18 public hearings next month on the subject and we hope to  
19 finalize our plan in December.

20 We have set some preliminary  
21 informal negotiation with the State on the subject.

22 MR. STAMETS: Okay, in that  
23 regard we're both dealing, talking about an agency over  
24 which neither of us have any control.

25 MR. CHERRY: That's right and

1 to be perfectly candid with you, we may not have the money  
2 to go ahead and acquire in a short time frame, anyway.

3 MR. STAMETS: Are there other  
4 questions of Mr. Cherry while he's here and available?

5 DR. KELLEY: I have one more  
6 question for Mr. Cherry.

7 On Laguna Plata, the main con-  
8 cern with disposal of any kind of material into that playa  
9 would be for the salt; other than that (not understood).

10 MR. CHERRY: Primarily that's  
11 our primary concern.

12 We have some concern about the  
13 wildlife in the area. We're responsible for providing a  
14 habitat for wildlife and --

15 MR. KELLEY: Isn't that primar-  
16 ily those other areas outside the boundary of --

17 MR. CHERRY: Yes, and I think,  
18 again, our primary concerns are some of the hydrocarbons  
19 that may get into the lake. The brine disposal is absolute-  
20 ly no problem at all.

21 MR. STAMETS: Any other ques-  
22 tions of Mr. Cherry?

23 MR. LYON: I have a couple of  
24 questions for him.

25 MR. STAMETS: Go ahead, Vic.

1 MR. LYON: Mr. Cherry, can you  
2 be a little more specific about the archaeological treasure  
3 that people are trying to protect?

4 MR. CHERRY: I'm not an  
5 archaeologist, and my people have primed me for this, so it  
6 will come out third hand.

7 The Dune-Playa ecosystem is  
8 particularly unique in southeast New Mexico. We're dealing  
9 with an area of limited water, limited fresh water. This  
10 system earlier in prehistoric times had more potable water  
11 around the margin of that lake.

12 The dune system there also pro-  
13 vided shelter from the winds; therefore, this became a major  
14 cultural site in association with availability of water, the  
15 protection, and the wildlife that also used the sink. Salt  
16 was also a valuable commodity that they surface mined in  
17 (not clearly understood.)

18 Therefore there's all kinds of  
19 structures, midden rings, lithic scatters, whatever you want  
20 to call it, a heavy concentration around the margins.

21 MR. STAMETS: Anything else,  
22 Vic?

23 MR. LYON: I believe that's  
24 all.

25 MR. STAMETS: Tom?

1 MR. KELLAHIN: Mr. Cherry, at  
2 one time Pollution Control had oral Division approval to  
3 utilize Laguna Plata for the disposal of produced salt  
4 water. Am I correct in understanding that notwithstanding  
5 that approval from the OCD that the BLM denied to Pollution  
6 Control that plata for disposal of produced salt water?

7 MR. CHERRY: I cannot verify  
8 that for sure since that happened before my time, but that  
9 is the -- my -- my understanding.

10 MR. KELLAHIN: You said in your  
11 prepared statement that there was potable water? Where?

12 MR. CHERRY: On the southeast  
13 portions. Again, this gets to the definition, if I could  
14 refer to what Dr. Stephens said this morning, it's all in  
15 your definition of what potable water is, but at least that  
16 water falls under that range of 10,000 parts per million.  
17 It's not good water by any means, but at least it is drink-  
18 able by the wildlife in the area.

19 MR. KELLAHIN: And that is  
20 still present in the Plata?

21 MR. CHERRY: Yes, it is still  
22 present.

23 MR. KELLAHIN: And what --

24 MR. CHERRY: From the seeps.  
25 Of course it loses its (not clearly understood.)

1 MR. KELLAHIN: And what use is  
2 being made of that water now?

3 MR. CHERRY: To my knowledge  
4 it's only being used by wildlife.

5 MR. KELLAHIN: Supports wild-  
6 life that inhabit the area?

7 MR. CHERRY: Yes.

8 MR. KELLAHIN: What, if any,  
9 concern do you have about the introduction of hydrocarbons  
10 in the Plata and its impact upon that potable water?

11 MR. CHERRY: We have not done  
12 the detailed hydrologic studies that all sides in this case  
13 have been concerned about.

14 Our hydrologist has been out  
15 there with Mr. Boyer from the NMOCD. We feel, at least in  
16 the foreseeable future, potable water, since it's so far  
17 away, would not be impacted for several years and it would  
18 come directly from the southwest or -- yeah, southwest to  
19 the northeast into the Plata.

20 DR. KELLEY: You did say that  
21 the water in the pond you weren't concerned about that was  
22 coming from the springs.

23 MR. CHERRY: That's right.

24 MR. KELLAHIN: Have you made  
25 any investigation by you or your staff to determine what im-

1 pact there will be if hydrocarbons are introduced in the  
2 Plata on the surface vegetation?

3 MR. CHERRY: No, we have not.

4 MR. KELLAHIN: Do you have any  
5 preliminary indications of how hydrocarbons introduced in  
6 the Plata might migrate within the Plata itself?

7 MR. CHERRY: No, we don't.

8 MR. STAMETS: Mr. Weber.

9 MR. WEBER: Sir, I have a  
10 series of questions, if I may.

11 Mr. Cherry, when was the last  
12 archaeological inventory or survey of Laguna Plata under-  
13 taken, and by whom was it undertaken?

14 MR. CHERRY: We have had  
15 several surveys of the area. The last, what I think you  
16 would call a formal survey, was completed in 1979 as an  
17 area-wide survey.

18 We have on various occasions  
19 gone out as individual sites are looked at, gone back to the  
20 area and the individual sites.

21 MR. WEBER: Yes, sir, since it  
22 was an area-wide survey, have any sites been identified in  
23 Section 16 which have been eligible for inclusion in the  
24 Natural Register of Historic Places?

25 MR. CHERRY: Absolutely not.



1 We have no authority to deal with State lands and therefore  
2 have not looked on State lands at all.

3 MR. WEBER: So you don't know  
4 what is in this particular area?

5 MR. CHERRY: Absolutely not.  
6 We have an occurrence map that indicates most of the  
7 archaeological values are found on BLM lands on the northern  
8 and eastern sides of the -- of the area, away from Section  
9 16.

10 MR. WEBER: With regard to this  
11 historic area, what contact, if any, have you had with the  
12 Advisory Council on Historic Preservation?

13 MR. CHERRY: We are working  
14 with the -- we have formally applied to the council for eli-  
15 gibility. It has been determined to be eligible. We have  
16 not followed up yet to actually make the determination that  
17 is a district. We have been in close contact with the  
18 SHPO's office, and as soon as the plan is finished we intend  
19 to follow that up and try to get formal designations.

20 MR. WEBER: Now when you talk  
21 in terms of "it" you're talking only in terms of BLM lands?

22 MR. CHERRY: Yes, sir. Unless  
23 we can arrange to purchase or trade with the State.

24 MR. WEBER: Now, prior to the  
25 leasing for the salt mining operation was an environmental

1 impact statement prepared?

2 MR. CHERRY: Yes, sir. Not an  
3 impact statement; an environmental analysis was prepared.

4 MR. WEBER: Is that a statement  
5 of no impact?

6 MR. CHERRY: That was the final  
7 conclusion -- we did an environmental assessment and the  
8 finding was a statement of no significant impact.

9 MR. WEBER: With regard to the  
10 lease itself, is there a dike or a road across the laguna?

11 MR. CHERRY: I don't believe  
12 that there's a road all the way across the Laguna. There is  
13 a road into the salt operations.

14 MR. WEBER: Did the construc-  
15 tion of this particular road have an impact on the  
16 archaeological features?

17 MR. CHERRY: The road was put  
18 in quite some time before the mining -- or the archaeologi-  
19 cal district was approved. However, any road construction,  
20 any development that takes place is cleared with 100 percent  
21 archaeological survey.

22 MR. WEBER: Sir, to what extent  
23 did you investigate the quality of the water in the laguna  
24 prior to leasing the salt?

25 MR. CHERRY: These salts were

1 leased many, many years ago before the Bureau or anyone was  
2 worried about these types of incidences.

3 MR. WEBER: Sir, I'm just won-  
4 dering, have you done any recent investigative study of the  
5 quality of the water?

6 MR. CHERRY: I do not know the  
7 name of the study but we were involved in that study that  
8 was mentioned earlier, and entered as an exhibit earlier to-  
9 day, in '79.

10 MR. WEBER: Sir, do you know if  
11 the presence of reserve pits around the periphery of Laguna  
12 Plata or the possible migration of hydrocarbons from Laguna  
13 Gatuna has had any impact on the waters of Laguna Plata?

14 MR. CHERRY: No, sir, I don't.

15 MR. WEBER: Is it possible that  
16 they may have had some impact?

17 MR. CHERRY: It's possible.

18 MR. WEBER: Sir, are any other  
19 organizations holders of Bureau of Land Management permits  
20 to discharge wastes of any sort into Laguna Plata?

21 MR. CHERRY: No, sir. Excuse  
22 me, with one exception. National Potash does have a dispo-  
23 sal permit at least to put brines, waste brines, into it.

24 MR. WEBER: So there's another  
25 discharge into that lake.

1 MR. CHERRY: Yes, there is a  
2 discharge.

3 MR. WEBER: What is the quality  
4 of the water being discharged into that lake?

5 MR. CHERRY: I don't know the  
6 exact quality. It's essentially brines and tailings from  
7 the mine, clean but salty brine.

8 MR. WEBER: You indicated that  
9 the State presently has title to the lands.

10 MR. CHERRY; Yes, sir.

11 MR. WEBER: What are the Bureau  
12 of Land Management's procedures for acquisition of State  
13 lands?

14 MR. CHERRY: We have -- the  
15 primary mechanism is through an exchange proposal worked out  
16 with the State.

17 MR. WEBER: Who makes these  
18 final decisions?

19 MR. CHERRY: The State Land  
20 Commissioner and the State Director of the Bureau of Land  
21 Management.

22 MR. WEBER: On the part of BLM  
23 who makes those decisions?

24 MR. CHERRY: Our State Director  
25 makes the final decision based on my recommendations.

1 MR. WEBER: Sir, has the State  
2 Director made a decision in this case?

3 MR. CHERRY: No, sir.

4 MR. WEBER: Have funds been  
5 earmarked for this project?

6 MR. CHERRY: No, sir.

7 MR. WEBER: Is there reason-  
8 able expectation that funds will be made in the foreseeable  
9 future?

10 MR. CHERRY: If you would de-  
11 fine foreseeable future?

12 MR. WEBER: Well, is the Fed-  
13 eral government presently engaged in an active program of  
14 land acquisition?

15 MR. CHERRY: Yes.

16 MR. WEBER: Are reports of in-  
17 vestiture certain Federal lands overstated?

18 MR. CHERRY: Yes.

19 MR. WEBER: Given that informa-  
20 tion, what would you estimate the probability of the BLM ac-  
21 quiring these lands to be?

22 MR. CHERRY: In the short time  
23 frame of the next five years, very low.

24 MR. WEBER: In the short time  
25 frame of the next twenty years?

1 MR. CHERRY: They would  
2 probably be quite high.

3 MR. WEBER: Thank you. I have  
4 no further questions.

5 MR. STAMETS: Any other  
6 questions for Mr. Cherry?

7 I'd like to thank him for  
8 coming today and sharing his concerns.

9 I would point out to him that  
10 the law under which we operate certainly is different from  
11 that under which he has the good fortune to operate.

12 MR. CHERRY: Thank you.

13 MR. STAMETS: Mr. Kellahin.

14 MR. KELLAHIN: Mr. Chairman, at  
15 this time we'll move to dismiss the applicant's case in this  
16 matter.

17 The method of initiating a  
18 hearing under your rules of procedure are outlined in your  
19 rule book under Rule 1203. It is without dispute and it is  
20 a well proven fact in this case that the applicant, by his  
21 own admission, has told us that he had no property interest  
22 within the area that he proposes to place this facility.

23 You have no other choice but to  
24 dismiss the application at this time.

25 Mr. Abbott has got the cart be-

1 fore the horse and before he can bring this type of case be-  
2 fore this Division there are some jurisdictional predicates  
3 that he must fulfill, and it is paramount and essential that  
4 he obtain a business lease from the Commissioner of Public  
5 Lands for this facility and having not done so, and having  
6 given him every opportunity to have accomplished that by  
7 this point, he still does not have it.

8                   You can ignore your rule and  
9 let this go to a decision or you can require this applicant  
10 to comply with this rule as you require all others to comply  
11 with this rule.

12                   It certainly doesn't single  
13 this company out for special treatment. It's consistent  
14 with how we do business before this Commission to require  
15 applicants to have a property interest and the simple fact  
16 of filing an application for a business lease does not vest  
17 in this company a sufficient property interest to bring this  
18 case forward.

19                   It would be like anyone coming  
20 before this Commission and asking you to do anything without  
21 having an interest, either a leasehold interest or an owner-  
22 ship interest in the minerals or some other property inter-  
23 est by which they could proceed with that case. Can you  
24 imagine what chaos you would create for yourself if anyone  
25 without a property interest can come in here and start force

1 pooling acreage in which they don't have an interest? You  
2 can think of all the cases you do hear and in every one of  
3 them a property interest is required.

4 This rule is simply not just a  
5 rule for rules sake, it's got a foundation and a substance  
6 in law and it's one you're obligated to abide by.

7 We believe the applicant has  
8 failed to meet his burden of proof and you have no choice  
9 but to dismiss the case.

10 MR. STAMETS: Mr. Weber?

11 MR. WEBER: Sir, Petro-Thermo  
12 Corporation would like to respond.

13 We believe that we do have a  
14 sufficient property interest. We believe that we have the  
15 same property interest Loco Hills Water Disposal Company  
16 had when it applied for an exception to this order on the  
17 23rd of September, 1981. That was Case Number 7329. I be-  
18 lieve Mr. Stamets was the examiner in that case. There, as  
19 here, the application had been made but had not yet been --  
20 but had not yet reached it's final approval.

21 We would argue that there, as  
22 here, the jurisdictional objection should be dismissed.

23 We understand and we believe  
24 there has been testimony with regard to the fact that the  
25 State Land Office had obtained a relinquishment and is in



1 the preliminary stage of acting upon Petro-Thermo Corpora-  
2 tion's application for an exception.

3 We believe that that is an ap-  
4 propriate interest to go forward to obtain the necessary ap-  
5 proval.

6 MR. KELLAHIN: May I respond in  
7 closing, sir?

8 Mr. Commissioner, just because  
9 the Oil Conservation Division in the past in the Loco Hills  
10 ran one of those jurisdictional stop signs, you've done it  
11 once in the past, you should take no comfort in the fact  
12 that you can run that jurisdictional stop sign again. Hav-  
13 ing done it once in the past doesn't give you any reason to  
14 violate the rule before this Commission.

15

16 (Thereupon a brief recess was taken.)

17

18 MR. STAMETS: Mr. Kellahin,  
19 we've looked at the rule and believe it's clearly broad  
20 enough to allow for the application we have before us today  
21 and we overrule your motion to dismiss.

22

23 MR. KELLAHIN: I'm going to  
24 call my hydrologist, Tim Kelly.

25

25

STATE OF NEW MEXICO  
ENERGY AND MINERALS DEPARTMENT  
OIL CONSERVATION DIVISION  
STATE LAND OFFICE BLDG.  
SANTA FE, NEW MEXICO

10 April 1986

COMMISSION HEARING  
VOLUME 2 OF 2 VOLUMES

IN THE MATTER OF:

Application of Petro-Thermo Cor- CASE  
poration for an exception to 8781  
Division Order R-3221, Lea County,  
New Mexico.

BEFORE; Richard L. Stamets, Chairman  
Ed Kelley, Commissioner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Oil Conservation Division: Jeff Taylor  
Legal Counsel to the Division  
Oil Conservation Division  
State Land Office Bldg.  
Santa Fe, New Mexico 87501

For Petro-Thermo: John Paul Weber  
Attorney at Law  
MADDOX, RENFROW & SAUNDERS  
P. O. Box 5370  
Hobbs, New Mexico 88241

For Snyder Ranches and Pollution Control: W. Thomas Kellahin  
Attorney at Law  
KELLAHIN & KELLAHIN  
P. O. Box 2265  
Santa Fe, New Mexico 87501

1 T. E. (TIM) KELLY,  
2 being called as a witness and being duly sworn upon his  
3 oath, testified as follows, to-wit:  
4

5 DIRECT EXAMINATION

6 BY MR. KELLAHIN:

7 Q Mr. Kelly, would you please state your  
8 name and occupation?

9 A My name is Tim Kelly and I'm a consulting  
10 hydrologist with Geohydrology Associates in Albuquerque.

11 Q Mr. Kelly, will you summarize your  
12 educational background and your work experience in the field  
13 of geohydrology?

14 A I have a Bachelor's degree from the Uni-  
15 versity of Dayton in 1959 and a Master's degree from the  
16 University of Kansas in 1981, and I have additional graduate  
17 work at the University of Alaska, University of North  
18 Dakota, and University of Wisconsin.

19 After graduating from the University of  
20 Kansas I was employed as a development geologist by Standard  
21 Oil of California for approximately two years and was then  
22 employed by the Water Resources Division of the U. S.  
23 Geological Survey, first at the North Dakota District and  
24 later at the New Mexico District.

25 I resigned in May of 1975 at the time I

1 was a supervisory hydrologist, and established a consulting  
2 firm of Geohydrology Associates in Albuquerque at that time,  
3 and I've been in consulting since 1975.

4 Q Would you describe for us what work you  
5 have done as a hydrologist in this portion of Lea and Eddy  
6 County that is the general subject matter of the application  
7 today?

8 A Well, we've done a number of studies. We  
9 did a very comprehensive study beginning in 1978 under con-  
10 tract with the Bureau of Land Management to assess the water  
11 resources in a three county area of Eddy, Lea, and Chaves  
12 Counties. That report was subsequently published by the New  
13 Mexico Bureau of Mines and Mineral Resources and is avail-  
14 able from them.

15 We then did a follow-up study, which was  
16 a detailed study of the water resources in the Nash Draw  
17 area and we --

18 Q Which is the Nash Draw in relation to La-  
19 guna Plata?

20 A Nash Draw is the topographic -- major  
21 topographic feature occupied by the potash companies,  
22 approximately six to eight miles west of Laguna Plata. Our  
23 study area included Laguna Plata.

24 Q What other hydrologic assessments or  
25 studies have you made of this general area, Mr. Kelly?

1           A           We've made approximately three studies  
2 for disposal of oilfield brines in the Nash Draw area. We  
3 made a study for Pollution Control on the use of Laguna  
4 Gatuna as a disposal area, and then we've also done addi-  
5 tional work for the Sandia Corporation as part of the WIPP  
6 site and a regional overview which included this area, and  
7 then we've also worked further east for other industrial  
8 clients.

9           Q           Where is the WIPP site area in relation-  
10 ship to Laguna Plata?

11          A           Oh, it's approximately ten miles  
12 south/southeast, I would estimate.

13          Q           Is it in the same hydrologic system that  
14 Laguna Plata is tied into?

15          A           Yes, it is.

16          Q           Have you testified before the Oil Con-  
17 servation Commission as an expert hydrologist?

18          A           Yes, sir.

19          Q           Did you appear as a consulting hydrolo-  
20 gist for Pollution Control at a hearing back in 1984?

21          A           Yes, I did.

22          Q           For approval of Laguna Gatuna as a dis-  
23 posal facility?

24          A           Yes, sir.

25          Q           Have you had an opportunity review and

1 examine the information and opinions of Dr. Stephens that  
2 he's presented on behalf of his client?

3 A Yes, I have.

4 Q And are you appearing today as a paid  
5 consultant by Pollution Control for review of the hydrology  
6 of this application?

7 A Yes, sir.

8 MR. KELLAHIN: We tender Mr.  
9 Kelly as an expert hydrologist.

10 MR. STAMETS He is considered  
11 qualified.

12 Q Mr. Kelly, before we get into the nuts  
13 and bolts of the Petro-Thermo application, I would like for  
14 you as an expert to give us an overview opinion of the gen-  
15 eral hydrology in which we find Laguna Gatuna, Plata, Tos-  
16 ton, on through Williams Sink to Nash Draw and on to the  
17 Pecos La Sala Grande at the south and the town of Lovington  
18 is shown from these area with the Pecos River cutting across  
19 the southwest corner of the map.

20 MR. KELLAHIN: You mean Loving.

21 A Loving, excuse me.

22 Exhibit One is identified as Plate I with  
23 water levels in the uppermost aquifer. This is Plate I from  
24 a report that was published by the Sandia Corporation by R.  
25 L. Hunter, which shows generally a -- generally the same

1 area somewhat expanded of the Nash Draw area, and this par-  
2 ticular report is referenced by Dr. Stephens. The complete  
3 reference is in his report.

4 By way of the hydrology, basically the  
5 Nash Draw area and particularly the various platos to the  
6 east, are all collapse features as a result of groundwater  
7 flow in what is sometimes referred to as the rubble zone,  
8 which is at the base of the Rustler formation or at the top  
9 of the salt beds, and as a result of solution of the salt,  
10 this entire area has collapsed. It is the source of water  
11 for groundwater discharge at La Sala Grande and is also the  
12 source of much of the salt in the Malaga Bend area entering  
13 the Pecos River.

14 These, our water table contours on both  
15 maps and in general the groundwater flow is normal to the  
16 contours so that it flows at right angles to the contours,  
17 as shown.

18 The various platos to the east side are  
19 all assumed to be small collapse features similar to Nash  
20 Draw and in fact this one elbow in Nash Draw lines up very  
21 well with Laguna Toston, Laguna Plata, Laguna Gatuna, and  
22 Laguna Tonto, and it is a safe assumption that at some point  
23 in time this entire area may become a part of the collapse  
24 feature of an extended Nash Draw.

25 The hydrologic system is very complex be-

1 cause of the collapse features and the amount of salt that  
2 not only has been removed from the rubble zone on top of the  
3 salt itself, but also from within the Rustler formation, so  
4 that water at any given place is really a function of the  
5 amount of fracturing that has occurred along the collapsed  
6 zones.

7 Many of the springs associated with the  
8 various platos indicate a source of groundwater that is  
9 fairly deep and yet we have been able to determine, Link  
10 (sic) has determined, our studies have shown, that all of  
11 these platos were not created equal. They are all somewhat  
12 unique and so that while they have the same general origin  
13 because of the local geology, groundwater conditions, the  
14 hydrology of each individual site must be considered in de-  
15 tail and it is not a safe assumption that what happens at  
16 one plata is going to happen at the other.

17 Ultimately any water from the east side  
18 of Nash Draw is going to end up in the Pecos River. None of  
19 us will live to see it, but certainly that is the general  
20 direction of groundwater flow. It is to the west in this  
21 area; it is to the southwest in this area; again to the west  
22 here, but once you get into Nash Draw, it all pretty much  
23 channels in towards La Sala Grande or to the Pecos River.

24 Q If you are ready at that point now where  
25 you would like to discuss Dr. Stephens' report, we can go



1 then to Laguna Plata and talk about what his study shows and  
2 what your comments are about the information in the study.  
3 Are you prepared to do that now?

4 A Yes.

5 Q All right, let's do that.

6 Do you have a copy before you, Mr. Kelly,  
7 of Dr. Stephens' report that he submitted in evidence today  
8 --

9 A Yes.

10 Q -- as Exhibit Number Eight?

11 A Yes, I do.

12 Q All right.

13 MR. STAMETS: Eight or Nine?

14 MR. KELLAHIN: I believe it's  
15 Nine.

16 Q All right, sir, let's turn to Figure III  
17 on page 13 and at the same time I would like to reference  
18 you, sir, to the exhibit we have marked as Pollution Control  
19 Exhibit Number Three.

20 A Yes, sir.

21 Q Do you have one of these? I'm not sure  
22 Mr. Weber's got one. Do we have one for him?

23 A I bet we can find one. Yes, sir.

24 Q What is the source of the information by  
25 which Mr. Stephens has prepared Figure No. III, shown on

1 page 13?

2 A Most of the information, it's my under-  
3 standing from reading his report and from his testimony,  
4 that this is information that came from various published  
5 sources, which are given in his list of references.

6 Q Have you checked his references to deter-  
7 mine the accuracy of the information depicted with regards  
8 to Laguna Plata?

9 A The data seems to be plotted reasonably  
10 accurately, yes, sir.

11 Q Let me show you what we've marked as Ex-  
12 hibit Number Three and have you, using Figure No. 3 and your  
13 Exhibit Number Three, talk about Mr. Stephens' conclusio  
14 that Laguna Plata constitutes a closed structure whereby  
15 produced water disposed of on the surface at the proposed  
16 facility is going to migrate and be contained within Laguna  
17 Plata.

18 Do you have any comments or opinions with  
19 regards to his conclusion on that issue?

20 A Yes, sir. His conclusion is not consis-  
21 tent with the data that is available.

22 On Figure 3 of his report he has closed  
23 the 3440 foot contours. That is a contour on the water  
24 table but, in fact, the two illustrations, Pollution Control  
25 Figures 1 and 2, or Exhibits One and Two, both show the same

1 area marked in black on your particular copy in front of  
2 you, and nobody felt that there was sufficient control to  
3 close any contours in that area, so the people who've worked  
4 on the area, with the exception of Dr. Stephens, did not  
5 find that to be a closed groundwater basin.

6 Also, the illustration, Exhibit Number  
7 Three, which you referred to, is a Xeroxed copy of a larger  
8 plate which was included in the 1974 report for Pollution  
9 Control entitled Lea County, New Mexico, Salt Lakes Area,  
10 Western Lea County by Ed L. Reed, and this is a contour map.  
11 The heavy contours on this illustration, on Exhibit Three,  
12 are contour maps drawn by -- contours drawn by Mr. Reed on  
13 the top of the redbeds, and as you can see, the 3450 foot  
14 contour does not close around Laguna Plata but in fact is  
15 open to the west, which would indicate that there is a bed-  
16 rock low on the top of the Triassic which would be draining  
17 towards the west and towards Nash Draw and Williams Sink.

18 Q Using the available data that you have,  
19 what conclusion do you draw about the migration of the water  
20 disposed of at the surface of this facility towards Laguna  
21 Plata?

22 A There are two things. One is the con-  
23 tours on both of these illustrations show that the general  
24 direction of groundwater flow is from east to west and the  
25 springs, as shown on all of the publications, have the

1 springs located on the east side of Laguna Plata, which is  
2 also consistent with Mr. Cherry's information.

3 That is the exact position in which you  
4 would expect the springs to be located with an east to west  
5 direction of groundwater flow. In other words, groundwater  
6 is moving into the east side of Laguna Plata. The absence  
7 of springs on the west side suggests to me that there is  
8 groundwater flow out the west side of Laguna Plata, and  
9 again continuing towards Williams Sink and Nash Draw.

10 That is consistent with all of the other  
11 work that's been done in the area.

12 Q What significance does that have to you  
13 as a hydrologist and what significant should that have to  
14 the Commission in deciding disposition of this case?

15 A That Laguna Plata is not a closed ground-  
16 water sink but rather simply a surface exposure of the water  
17 table, and that the general direction of groundwater flow is  
18 from the east to the west and out of Laguna Plata towards  
19 Nash Draw.

20 In other words, it's not going to stay in  
21 Laguna Plata but it may well move to the west.

22 Q As the discharge water moves to the west,  
23 what is the ultimate, eventual outcome of that discharge?

24 A The Pecos River.

25 Q Let me direct your attention now to what

1 I have marked as Exhibit Number Four. With regards to  
2 Exhibit Number Four, Mr. Kelly, were you requested by your  
3 client to make an evaluation and study of Dr. Stephens'  
4 report to determine what, if any, issues were unaddressed by  
5 his report?

6 A Yes, I was.

7 Q And were you further asked to make an  
8 examination of his report to determine whether or not in  
9 your opinion you felt his report was complete and adequate?

10 A Yes, I have.

11 Q Have you done such a review?

12 A Yes, sir.

13 Q Does Exhibit Number Four represents your  
14 opinions and summary conclusions about the deficiencies of  
15 that report.

16 Q Let's start --

17 A It also includes my typing, for which I  
18 accept the responsibility or credit.

19 Q Let me direct your attention to that is-  
20 sue, and ask you, sir, as a hydrologist to go through and  
21 identify for us those significant issues in which you feel  
22 that Petro-Thermo's report has not adequately addressed the  
23 problems before the Commission today.

24 A Well, I have listed on this exhibit eight  
25 different items which I feel are either shortcomings or dif-

1 ferent interpretations of the data presented in Petro-Ther-  
2 mo's report.

3 Item 1, the thickness of the alluvial  
4 cover is unknown at the proposed site. Within Section 16  
5 the thickness ranges from 0 to 130 feet but it is completely  
6 unknown at the proposed site itself.

7 I think that the testimony that has been  
8 presented here today has shown that there has been no drill-  
9 ing at the site; that Mr. Stephens walked out one arroyo and  
10 estimated that there was 20 feet of exposed alluvial mater-  
11 ial, but we do not in fact have any idea how thick the allu-  
12 vial material is at the proposed site itself.

13 We don't know whether it is greater than  
14 -- less than 20 feet or whether it is more than 130 feet.  
15 This is information which is taken from Dr. Stephens' re-  
16 port. We simply don't know how much alluvial material is  
17 there to be saturated.

18 Q Why is it important to know the thick-  
19 ness, the permeability, the composition of this alluvial  
20 cover before a project of this type is undertaken?

21 A Well, it's critical because if you don't  
22 know how thick a zone you're dealing with, if you don't  
23 know what the elevation of the water table is, then you have  
24 -- and also if you don't know what the lithologic composi-  
25 tion is, you don't have any idea what type of a zone you're

1 dealing with as far as saturation, direction of movement, or  
2 rate of groundwater flow is.

3 Anything beyond that, as Mr. Stephens  
4 pointed out, is just a guess on his part, such as the rate  
5 of movement.

6 Q Does it aid you in making a determination  
7 of the direction and rate of the movement of the discharged  
8 water to look at the topography of the surface and determine  
9 the slope of the surface?

10 A None whatsoever. The surface of the red-  
11 beds, which is the impermeable zone to which the waste pro-  
12 duct will move, is -- was formed by erosion prior to deposi-  
13 tion of the overlying alluvial material under entirely dif-  
14 ferent geologic conditions. All we know is that it is an  
15 erosional surface with considerable relief.

16 Mr. Reed's attempt to contour it shows  
17 that there is a bedrock low draining to the west.

18 Q You've indicated a second issue that  
19 gives you a problem with Dr. Stephens' report. What is  
20 that?

21 A Well, that pertains to the erosional sur-  
22 face and the lack of information of the redbed surface. We  
23 don't know what the redbed surface is. It could be dipping  
24 to the south for all we know, in which case the water would  
25 not move towards Laguna Plata but it would move to the

1 south. We simply don't know.

2 Q Let me ask you to again address number 3.  
3 I believe you commenced your testimony with a discussion of  
4 the general migration of the water from east to west.

5 Would you amplify for us your problem  
6 number 3?

7 A Yes, sir. The report by Petro-Thermo  
8 does not disprove any of the work that Reed did in 1969,  
9 which indicates that there is a bedrock channel which would  
10 result in the westward migration of groundwater to -- from  
11 Laguna Plata, and in fact, the Stephens' report Figure III,  
12 where the contour 3440 has been closed, in itself shows no  
13 control.

14 So, again, we do not know what is happen-  
15 ing other than from Mr. Reed's earlier work in 1969 on the  
16 bedrock surface the pollution will move to the west and not  
17 be contained by Laguna Plata.

18 Q I direct your attention to your point  
19 number 4 shown on Exhibit Number Four, and ask you to ad-  
20 dress the next issue.

21 A This pertains, again, to the 3440 foot  
22 contour. Neither of the illustrations on the wall, nor any  
23 work that I have seen, show justification for closing the  
24 3440 foot contour as has been done by Mr. Stephens and which  
25 is essential in order to establish that Laguna Plata is a



1 groundwater discharge point.

2                   The absence of any control leads one to  
3 conclude that the dashed line used by Mr. Stephens is cer-  
4 tainly of a questionable nature and that it may in fact not  
5 be valid.

6                   Q           In the absence of data to show Laguna  
7 Plata is a closed depression, could you as a hydrologist re-  
8 commend that Plata be used as part of this infiltration dis-  
9 posal system as proposed by the applicant?

10                  A           No, sir.

11                  Q           Why not?

12                  A           Because it's not -- Laguna Plata is not  
13 going to hold the discharge if the discharge ever gets  
14 there.

15                  Q           Let's go to Number Five, Mr. Kelly.  
16 Would you identify that issue for us?

17                  A           No evidence is presented in the report  
18 which substantiates that the disposal ponds will function  
19 properly. In fact the very nature of drilling mud is to  
20 cause plugging of natural porosity in sediment.

21                               I haven't heard any testimony either by  
22 Mr. Stephens or Mr. Thornton that address this particular  
23 problem. I have been in attendance at OCD hearings when a  
24 similar type of operation came before the Commission from  
25 Loco Hills requesting that they be given additional evapora-

1 tion ponds because they were not functioning as -- as they  
2 had presupposed would happen.

3 The surface area, as described by Mr.  
4 Thornton, is about 6/10ths of an acre, which is in itself  
5 enough to evaporate about 130 barrels of water per day if  
6 all of the pits were filled, but it seems to me somewhat  
7 contradictory because at one point they want to put the  
8 water in and use it for an infiltration system so that they  
9 don't have to deal with evaporation, and then they turn  
10 around and compute evaporation rate for Laguna Plata where  
11 they're not putting the waste in the first place. They're  
12 just assuming it's going to get there; the subsurface  
13 information doesn't establish that.

14 Q Let's turn to Item No. 6, Mr. Kelly, and  
15 have you explain to us your concerns as identified by No. 6.

16 A Well, the evaporation of fluids should be  
17 calculated for the surface area of the disposal ponds and  
18 not Laguna Plata.

19 Once the water is put into the ponds and  
20 we assume that it's going to go into the ground, their as-  
21 sumption is that it's going to go to Laguna Plata. There is  
22 no evidence presented which will establish that; therefore,  
23 they are incorrect in using the evaporation rate off of La-  
24 guna Plata unless they intend to pipe the water directly to  
25 Laguna Plata from their holding system, which they do not.

1                   Q           Let me have you address problem No. 7  
2 identified on that exhibit.

3                   A           The report does not contain any chemical  
4 analyses of water samples from the fluid which will be dis-  
5 posed. The TDS range, as reported by Dr. Stephens, is be-  
6 tween 25 and 75,000 parts per million, but the springs at  
7 Laguna Plata are less than 9,000 parts per million, as indi-  
8 cated by the Petro chemical report Figure II, which in fact  
9 shows that the concentration is less than 9000 parts per  
10 million.

11                               So, in fact, if the best water that they  
12 put into the system is 25,000 parts per million, it is, in  
13 fact, about three times greater than the natural discharge  
14 because these springs are, in fact, the natural discharge to  
15 Laguna Plata.

16                   Q           Let me direct your attention to Item No.  
17 8, Mr. Kelly, and have you identify and describe that issue.

18                   A           The concentration of 335,100 parts per  
19 million reported in the report for Laguna Plata is a concen-  
20 trated brine resulting from evaporation on the lake floor or  
21 it is a residual concentration from potash discharge by Na-  
22 tional. I've said on this exhibit it's Kerr-McGee; it is,  
23 in fact, National.

24                               If a sample had been collected from La  
25 Sala Grande, which is a known groundwater discharge point

1 where there is no potash slurry being discharged, or from  
2 Laguna Tonto, they would have found that the concentrations  
3 on the bed of the lake is in fact about 200,000 parts per  
4 million, and, in fact, this number shows up in Figure II,  
5 where the Stephens' report shows a concentration of 196,000.  
6 This is the general concentration of total dissolved solids  
7 in the bottom of any of the lakes, the salt lakes in this  
8 area, which have not been contaminated by potash brine.

9                   On the other hand, the potash brine con-  
10 sistently runs between 325 and 350,000 so that the number  
11 which Mr. Thornton got from his sample is in my opinion con-  
12 sistent with that which would be expected from discharge  
13 from National Potash and not from evaporation of salts on  
14 the floor of Laguna Plata.

15                   Q               Based upon the current status of Dr.  
16 Stephens' report for Petro-Thermo on this project, would you  
17 recommend that the Commission approve this application?

18                   A               No, sir.

19                   Q               Let me take you to another subject, now,  
20 and ask you to show us the differences, if any, between La-  
21 guna Gatuna as a disposal facility for produced water, and  
22 have you compare it to Laguna Plata.

23                   In order to make that comparison I have  
24 taken out of your July '84 hydrology report for Pollution  
25 Control, introduced in that hearing in Case 8292, and I have

1 made copies, sir, of your Figure No. 4 on page 28.

2 A Yes, sir.

3 Q Do you have that before you?

4 A Yes, I do.

5 Q That represents a drawing showing Laguna  
6 Gatuna?

7 A Yes, sir.

8 Q All right. Now if you'll go back and  
9 take the drawing, Pollution Control Exhibit Number Three for  
10 Laguna Plata, we'll have before us a schematic of both of  
11 the platos from which to make some comparisons.

12 Before you make those comparisons, I want  
13 to ask you, Mr. Kelly, were you asked in preparation for  
14 your testimony, to make a comparison between those two  
15 lagunas of the geohydrologic conditions?

16 A Yes, I was.

17 Q And have you done so?

18 A Yes, sir.

19 Q And have you resulted that -- have you  
20 taken that comparison and reduced it to an exhibit, a  
21 summary exhibit?

22 A Yes, sir.

23 Q I show you Exhibit Number Six and ask you  
24 if that is your work product and whether that represents  
25 your summary.

1           A           Yes, sir, it does.

2           Q           Taking Exhibit Number Three, which is the  
3 schematic on Laguna Plata, and schematic number five on La-  
4 guna Gatuna, would you identify for us the significant dif-  
5 ferences between those two platos in terms -- lagunas in  
6 terms of whether those features are closed or not?

7           A           Yes, sir. First I should perhaps direct  
8 your attention to a couple of typos on this Exhibit Six.  
9 One, in the first section under Laguna Gatuna, it states  
10 "similar to water water". That should, in fact, read "waste  
11 water".

12                       And also under Laguna Plata, the third --  
13 excuse me, the second section, the word should read "out-  
14 flow" not "ourflow".

15                       In comparing the two sites I felt that  
16 there were three criteria which were most significant --  
17 which showed significant differences between the two platos  
18 -- the two lagunas.

19                       These are the natural water quality,  
20 groundwater flow, and the distribution of Triassic rocks,  
21 all of which are critical to an understanding of the geohy-  
22 drologic conditions at the two and also for making the com-  
23 parison.

24                       At Laguna Gatuna the chloride concentra-  
25 tions from the natural springs, and these are shown in Fi-

1 gure II of the Petro-Thermo report, range from 27,657 to  
2 163,105 parts per million chlorides.

3 For -- I would also like to point out  
4 that most of the brine being discharged in Laguna Gatuna by  
5 Pollution Control is similar in concentration to that which  
6 would be discharged by Agua, Incorporated, in range from 25  
7 to 75,000 parts per million chloride.

8 As you can see at Laguna Gatuna the  
9 natural discharge from the springs is very similar or even  
10 higher than the concentrations in the oilfield brines which  
11 are being discharged at Laguna Gatuna in the Pollution Con-  
12 trol facility.

13 On the other hand, the -- at Laguna  
14 Plata, as we pointed out, the concentration is about three  
15 times as high in the best water proposed to be discharged by  
16 Agua, Incorporated, as compared with the natural spring dis-  
17 charge into Laguna Plata, and this does not take into con-  
18 sideration the statements made by Mr. Cherry today in which  
19 there is potable water, certainly water which is suitable  
20 for stock watering in the Laguna Plata area.

21 The next criteria of groundwater flow I  
22 have alluded to to some extent, and that is in Exhibit Six  
23 you will note that the springs, the natural springs, in  
24 Laguna Gatuna are on the -- basically on the west side of  
25 Laguna Gatuna.

1           Q           I think you misspoke. We're looking at  
2 Exhibit Number Five; you called it Six.

3           A           I'm sorry, Exhibit Number Five.

4           Q           All right, sir.

5           A           The springs are on the west side. Since  
6 all of the regional groundwater flow is from east to west,  
7 in order for the springs to be present on the west and not  
8 on the east, there has to be a reversal in the groundwater  
9 flow from the regional to a local phenomenon at Laguna  
10 Gatuna, indicating then that Laguna Gatuna is in fact a  
11 groundwater discharge point because the springs flow from  
12 west to east rather than from east to west.

13                   The opposite is true, as shown by Exhibit  
14 Number Three, in which all of the springs that have been  
15 confirmed by the Petro-Thermo report and by Mr. Cherry, that  
16 the springs are on the east side, which is consistent with a  
17 ground -- regional groundwater flow from east to west.  
18 There are no springs on the west side, therefore the ground-  
19 water flow from the west end of Laguna Plata in all prob-  
20 ability is towards the west and it is not a closed ground-  
21 water basin.

22                   The third criteria which I would like to  
23 address your -- address my attention is the distribution of  
24 Triassic rocks. It has been well established by Dr.  
25 Stephens and by all of the work that has been done there



1 that the Triassic rocks, that is the redbeds, are imperme-  
2 able to groundwater movement for all practical purposes in a  
3 downward direction; therefore, the distribution of the bed-  
4 rock is critical to the direction of groundwater flow.

5 In Laguna Gatuna, as shown by Exhibit  
6 Number Five, there are outcrops of Triassic rocks on vir-  
7 tually all sides of the lake.

8 Q How is that shown by the exhibit?

9 A That is shown by the identification "TR"  
10 and the black, dark areas.

11 Q What do you conclude from those outcrops?

12 A From this we can concludes that the  
13 Triassic rocks are very near the surface; that there is a  
14 very thin to lacking, or absent, alluvial fill and therefore  
15 any movement from the Pollution Control facilities are going  
16 to be within a very short distance of the bedrock, that is  
17 the redbed, and move directly into Laguna Gatuna, at which  
18 these two sites are located on the brink of the lake itself.

19 However, at Laguna Plata the only Trias-  
20 sic rocks, again shown the dark band in Exhibit Three, keep  
21 me honest --

22 Q Three.

23 A -- are on the north side, so that for  
24 probably 60 to 70 percent of the -- of Laguna Plata, we have  
25 no idea where the Triassic rocks are, which is consistent

1 with the work by Reed that we don't have any idea what the  
2 bedrock configuration looks like, other than his subsurface  
3 map, which shows a westward drainage channel.

4 But for all practical purposes at the  
5 proposed site, which has been presented at this hearing,  
6 there is a complete absence of Triassic rocks and therefore  
7 a total unknown as to the depth or direction at which this  
8 surface slopes.

9 Q Without knowing the contours of the red-  
10 bed within the area of Laguna Plata, can you predict as a  
11 hydrologist the direction at which the disposal water will  
12 migrate?

13 A No, sir.

14 Q Can you as a hydrologist tell us some-  
15 thing about the specific site that Petro-Thermo proposes to  
16 use in terms of how the discharge water will enter the sur-  
17 face? Will it go vertically down? Will it saturate hori-  
18 zontally? What happens?

19 A What is going to happen once it leaks  
20 from the ponds or the pits is purely conjectural. Since we  
21 have no subsurface information, we have no idea what direc-  
22 tion it's going to go, how far down it's going to go, or how  
23 fast it's going to move. It would depend on the lithology  
24 of the alluvial material. It would depend on the gradient  
25 of the water table and it would depend on the configuration

1 of the bedrock, the redbed.

2 Q What, in your opinion, is the potential  
3 risk to vegetation, surface plants, root systems, with re-  
4 gards to the approval of this facility with the current  
5 state of the information?

6 A Well, I would say the lack of information  
7 would lead me to conclude that -- that it could be assumed  
8 that these -- that the surface or vegetation, and so forth,  
9 would be in danger.

10 Q Do we know whether or not the redbeds are  
11 those impermeable layers upon which the disposal fluids will  
12 be caught, whether that is uniform and consistent in any  
13 direction?

14 A No, sir, we don't.

15 Q Is it reasonable to expect that that dis-  
16 charged water could percolate to the surface at various  
17 points within and without the facility?

18 A Yes, sir, that's -- that's entirely pos-  
19 sible. In fact, I'd say it's highly likely because from our  
20 experience throughout this area caliche is a very common  
21 subsurface occurrence. Once a discharge reaches that cal-  
22 iche zone it's -- it's going to do one of three things.

23 If the caliche is a solid, impermeable  
24 zone the water will simply follow along the top of the  
25 caliche until it reaches a discharge point and it may be

1 far above the redbeds. If the caliche is in fact fractured,  
2 as it frequently is, then it will essentially pipeline the  
3 waste products in whichever direction the fractures go.  
4 This is impossible to predict, but it could greatly  
5 accelerate the rate at which water would move toward Lagauna  
6 Plata and virtually eliminate any of the infiltration  
7 process which they are depending on to clean up their waste.

8 If the water moves through the caliche  
9 zone vertically, it could encounter underlying permeable  
10 material and then act the way they are predicting, but until  
11 there is subsurface information, we have no idea.

12 Q In making your review of the hydrology  
13 underlying the application were you asked to make a review  
14 of the hydrologic findings of fact that the Division made  
15 pursuant to an Examiner order?

16 A Yes, I was.

17 Q I show you a copy of the Examiner order,  
18 Mr. Kelly as a reference point.

19 I would ask you, sir, to turn to the  
20 Examiner order to page two, and starting with Finding No. 9,  
21 if you'll commence with subparagraph A, and give us your  
22 opinions with regards to whether or not you believe the  
23 current information available supports that finding.

24 A Item 9-A states Triassic redbed comprised  
25 of the Chinle shale, Santa Rosa sandstone, and the Dewey

1 Lake formation underlies both Laguna Plata and the proposed  
2 water disposal site.

3 I believe that's a correct statement.

4 MR. STAMETS: If you agree with  
5 these, if you'll just say you agree, that will save us some  
6 time.

7 Q Let's go to 9-B, Mr. Kelly.

8 A 9-B, I agree with.

9 Q Let's look 9-C.

10 A 9-C, I agree with in part. There is no  
11 question that the -- no, excuse me, Item 3, the surface of  
12 the Triassic redbeds is depressed in the vicinity of the  
13 waste disposal site in Laguna Plata, thus creating a col-  
14 lapse feature.

15 We have no -- we have insufficient sub-  
16 surface data to establish this. Inasmuch as the Triassic  
17 redbeds are only exposed on one side, we have no surface ex-  
18 pression throughout most of the perimeter, and we also have  
19 very little or no subsurface information. Therefore, I  
20 don't believe that that conclusion can be reached with the  
21 data that has been presented.

22 Q All right, sir, let's go to 9-D on page 3  
23 and ask you whether or not you believe as a hydrologist that  
24 item.

25 A Item 9-D, I concur that the surface flow

1 is towards the boundaries of Laguna Plata; however, I do not  
2 agree that the subsurface flow is towards Laguna Plata.

3 We know that a groundwater mound will be  
4 created but in the absence of any subsurface information, we  
5 have no idea what its direction of migration might be and in  
6 fact it may be towards the west, as indicated by Reed's ear-  
7 lier work.

8 Q All right, sir, let's go to Finding 9-E,  
9 I believe.

10 A Again, Item E, there is no evidence to  
11 support this conclusion because we don't know. We have no  
12 subsurface information to reach that conclusion.

13 Q All right, sir, and F?

14 A In Item F, this assumes that it is going  
15 to get into Laguna Plata. This would be a correct statement  
16 if in fact the water was piped to Laguna Plata, but since  
17 it's not going to, we don't know how much is going to get  
18 there and therefore what the evaporation would be.

19 If the total amount were piped to the  
20 lake, then it would be a true statement.

21 Q G?

22 A Is correct.

23 Q H?

24 A That's incorrect. The data has shown  
25 that the -- that there is not only potable water but that

1 the maximum natural groundwater discharge is less than  
2 10,000 parts per million.

3 Q All right, sir, and I?

4 A Item I refers again to the sample which  
5 was collected by Mr. Jorgenson (sic) and is -- is your name  
6 Jorgenson?

7 MR. WEBER: No.

8 A I apologize, Mr. Thornton. I apologize.  
9 And is much more in agreement with what type of sample would  
10 be expected from a potash refining waste product rather than  
11 a natural evaporation brine.

12 Q J.

13 A This is probably correct.

14 Q Okay, and K?

15 A And K is an overall conclusion which I do  
16 not believe is supported by the documentation.

17 Q Mr. Kelly, I'd like to direct your atten-  
18 tion now to the question that has developed subsequent to  
19 the last hearing and that is the suitability of the plan  
20 that has been discussed between Petro-Thermo and the OCD  
21 staff hydrologist in terms of monitoring wells. You have  
22 heard described in today's hearing a system of monitoring  
23 wells. What is your comments and conclusions with regards  
24 to the adequacy of the location, first of all, of the pro-  
25 posed monitoring wells?

1           A           I believe that they are located in the  
2 direction which you would expect in a perfectly uniform, hy-  
3 drologic system but at a distance which would require a con-  
4 siderable amount of contaminant to get into the ground be-  
5 fore it was ever identified.

6                       Therefore I feel that the two sites pro-  
7 posed by Petro-Thermo are not only inadequate but probably  
8 poorly located.

9           Q           Where would you locate proposed moni-  
10 toring wells?

11           A           First of all, I would locate them at the  
12 boundary of the property so that -- or the boundary of the  
13 facility, so that as soon as the material showed up you  
14 would be able to begin to monitor it rather than wait until  
15 a large amount of area had been saturated in the subsurface.

16                       Second of all, we have no knowledge what-  
17 soever of the redbeds or of the water table. Those loca-  
18 tions are compatible with a monitoring well of a surface  
19 spill but not of a subsurface groundwater mound. Therefore  
20 I would propose a minimum of three wells, one directly to  
21 the north of the first unit; one to the northeast; and one  
22 to the northwest, and that would be a minimum.

23           Q           Would you locate the wells that close to-  
24 gether between 1 and 2?

25           A           No, sir.



1           Q           What purpose is served by having the  
2 wells located that close together?

3           A           I don't know of any purpose.

4           Q           What is the purpose of having a monitor-  
5 ing well, Mr. Kelly?

6           A           It's to keep track of the changes that  
7 are occurring in the subsurface.

8           Q           Is the monitoring well system a method  
9 that could be converted into a reclamation operation or a  
10 clean-up procedure in the event contamination levels at the  
11 monitoring wells exceed the standards the Commission desires  
12 to apply?

13          A           While small capacity submersible pumps  
14 could be put into these units, since we do not know what the  
15 transmissivity of the aquifer is, we have no idea what the  
16 magnitude of the cone of depression would be as created by  
17 pumping these, therefore I would say that a facility of this  
18 type might enable the operator to pull some of the contamin-  
19 ant out of the ground but there could be 90 percent bypass  
20 and they would never know it.

21          Q           Rather than use a system of monitoring  
22 wells, is it an accepted method of your discipline and pro-  
23 fession to model the groundwater movement or projected move-  
24 ment to predict it with comprehensive computer modeling?

25          A           That is a technique which is generally

1 accepted when there is a large amount of data available.

2 Q What data would you have to have avail-  
3 able in which to program a computer model to determine the  
4 direction and rate of flow of the produced water at the  
5 point of introduction into the ground?

6 A You would have to know the configuration  
7 of the water table, the configuration of the bedrock sur-  
8 face. This would give you the amount of saturation.

9 You would have to know the transmissivity  
10 and the coefficient of storage of the aquifer material, and  
11 this throughout the area, this information would have to be  
12 available throughout the area over which the modeling was  
13 going to be performed in order to predict the movement of a  
14 waste plume.

15 I might mention that we are presently in  
16 the -- we are presently modeling such a problem in south-  
17 eastern New Mexico, in Lea County, in fact, and we have ap-  
18 proximately 40 monitoring wells which have been measured,  
19 sampled, and tested over a period of four years.

20 Q I think it's generally assumed, Mr.  
21 Kelly, that there is not an abundance of fresh drinking  
22 water available in this area. Are you comfortable with the  
23 current state of information as a hydrologist that you would  
24 recommend the Commission to approve this facility, even  
25 knowing that there is a lack of abundant fresh water which

1 to protect?

2           A           No, sir. I think that based on our  
3 studies down there, not only local but region wide, the dis-  
4 tribution of fresh water in that area, as presented in the  
5 Petro chemical report, and to some extent in our own re-  
6 ports, is misleading.

7                       There are -- there is ample evidence of  
8 numerous windmills which have fallen into disrepair in the  
9 area. The presence of the windmill indicates that in the  
10 past water has been used for stock watering and in many  
11 cases, such as the item shown on one of the exhibits, at the  
12 Snyder Ranch, where the water was in fact consumed as pot-  
13 able by inhabitants.

14                      Contrary to what Mr. Stephens said, it is  
15 not tremendously expensive to pipe water in. In fact, the  
16 water is given to these operators, to these landowners, by  
17 the potash refineries, who are piping water across the land,  
18 and most of these landowners were smart enough to make the  
19 concession that they could tap the pipeline for water;  
20 therefore, the reason that there are no fresh water wells  
21 down there is simply because they've fallen into disrepair  
22 because it's a lot easier to turn on a tap than it is to  
23 operate a windmill.

24                      So I believe that there is a lot more  
25 fresh water down there than is commonly supposed.

1           Q           Upon reflection and having re-examined  
2 the hydrology for this area, are you still comfortable with  
3 the conclusions and recommendations that you made this Com-  
4 mission for the utilization of Laguna Gatuna by Pollution  
5 Control as a surface disposal facility?

6           A           Yes, sir.

7           Q           With regards to the information available  
8 to you and that information study and the conclusions you've  
9 made, do you believe that that it is reasonably justified to  
10 use Gatuna Plata -- Laguna Plata as an area in which we  
11 could have surface disposal of produced water from oil and  
12 gas wells?

13          A           No, sir, I don't. There are -- there are  
14 basically four well known platos there and our studies have  
15 indicated that Laguna Gatuna is the best of the four as a  
16 disposal site. Laguna Plata is the poorest of the four, and  
17 Laguna Tonto and Laguna Tostin are probably somewhere in be-  
18 tween.

19          Q           You characterized the hydrology in this  
20 particular area the other day as having a domino effect.  
21 Could you reiterate for us that type of characterization of  
22 the collapse structures in here?

23          A           Well, as I mentioned in my earlier testi-  
24 mony, and in reference to what you're saying, the water,  
25 basically the groundwater flow is from east to west and ul-

1 timately into the Pecos River.

2           The farther away you are from Nash Draw  
3 the farther you are away from the Pecos River, so that in  
4 the event that there was a problem at Laguna Gatuna, you are  
5 -- you still have several miles in which to clean up an area  
6 before it's going to get into Laguna Plata. Once it gets  
7 into Laguna Plata there's no doubt in my mind that it's  
8 going to go to Williams Sink and then to Nash Draw.

9           So I feel that the domino effect simply  
10 means that the farther you are away the more time you have  
11 to clean up if you have a problem.

12                       MR. KELLAHIN: That concludes  
13 my examination of Mr. Kelly.

14                       We move the introduction of his  
15 Exhibits One through Six.

16                       MR. STAMETS: These exhibits  
17 will be admitted.

18

19                       (Thereupon a recess was taken.)

20

21                       MR. STAMETS: The hearing will  
22 please come to order.

23                       I presume there are questions  
24 of Mr. Kelly.

25

MR. WEBER: Yes, sir, there

1 are.

2 MR. STAMETS: You may proceed.

3

4

CROSS EXAMINATION

5 BY MR. WEBER:

6 Q Mr. Kelly, you have indicated that you're  
7 a consulting hydrologist employed by Pollution Control, In-  
8 corporated. Is that correct?

9 A Yes, sir.

10 Q And you have also indicated that you tes-  
11 tified on behalf of Pollution Control, Incorporated, at a  
12 number of hearings of the Oil Conservation Division and Oil  
13 Conservation Commission, is that correct?

14 A I believe twice in their behalf.

15 Q Could you tell me what those cases were?

16 A One was Case -- in about 1982 pertaining  
17 to a site up near PCA somewhere, as I recall.

18 The other was in the application by Pol-  
19 lution Control for an expansion of their existing facilities  
20 at Laguna Gatuna and that was in 1984.

21 MR. STAMETS: Excuse me, Tim,  
22 wasn't that one -- you had one for what, C & E, down in the  
23 potash area?

24 A Well, I -- but that was not -- B & E.

25 MR. STAMETS: B & E.

1           A           But that was not for Pollution Control,  
2 in response to his question.

3                       I've appeared about four times before the  
4 Commission but for Pollution Control I think twice.

5           Q           Yes, sir. My question was did you --  
6 were you aware that Pollution Control had authority from the  
7 Oil Conservation Division to dispose of produced water in  
8 Laguna Plata as well as Laguna Gatuna, and did you so tes-  
9 tify on their behalf with regard to that authorization or  
10 any subsequent actions which related -- with relation to  
11 that?

12          A           No, sir. The one in which they obtained  
13 authorization for discharge into Laguna Plata, I believe,  
14 was one in 1969, their first application; whereas, my  
15 appearance in their behalf was for the expansion of their  
16 existing facility in Laguna Gatuna in '84.

17          Q           Given the fact that they did have  
18 authorization to dispose of produced water in Laguna Plata,  
19 was the hydrologist who testified at that point in time in  
20 error in saying that there would be no reasonable expecta-  
21 tion of contamination of existing fresh water supplies?

22          A           That was in -- as far as I know, that oc-  
23 curred in 1969 when I was employed with the U. S. Geological  
24 Survey and I have no idea what the testimony was.

25          Q           Now at the very first you discount Dr.

1 Stephens conclusion that Laguna Plata is a closed collapse  
2 structure. Is that a correct statement?

3 A I believe that my statement was that  
4 there is no evidence presented in his report to verify that.

5 Q But you're not discounting the fact that  
6 it might be a closed collapse structure.

7 A No, sir.

8 Q Are you familiar with the text Geology  
9 and Groundwater Report Conditions in Southern Lea County,  
10 New Mexico by Nicholson and Klebsch?

11 A Yes, sir.

12 Q Is that a generally recognized text?

13 A Yes, sir.

14 Q Is it generally accurate?

15 A Yes, sir.

16 Q If this text read "evidence for a col-  
17 lapse structure is found in Laguna Plata", would that be a  
18 correct statement?

19 A I would accept that, yes, sir.

20 Q If it also stated that several other de-  
21 pressions are indicated in the redbed surface in other  
22 areas, Lagunas Plata, Gatuna, Tostin, and Tonto, at the  
23 south end of Querecho Plains appear to be similar origin to  
24 San Simon Swale but of smaller size, would that be a correct  
25 statement?



1           A           Yes, sir.

2           Q           Now, you have based your determination  
3 that it's not a collapse structure based upon distribution  
4 of Triassic rocks, the absence of springs in the west corner  
5 of Laguna Plata, is that correct?

6           A           Yes, sir.

7           Q           Were you here present when Dr. Stephens  
8 testified as to his investigation of the arroyos in the  
9 vicinity of the proposed disposal site which clearly show  
10 the layer of alluvium underlain by the Triassic redbeds?

11          A           Yes, sir.

12          Q           Was that testimony also provided in the  
13 transcript which was given to you for your evaluation and  
14 consideration?

15          A           What transcript?

16          Q           Were you provided a transcript of the Ex-  
17 aminer Hearing and Dr. Stephens' testimony at that time?

18          A           No, sir.

19          Q           You have not reviewed that testimony?

20          A           No, sir.

21          Q           So you discount his personal observa-  
22 tions.

23          A           No. I base my conclusion on the work  
24 that has been done since Nicholson and Klebsch published  
25 their report, primarily by our firm for the Bureau of Land

1 Management.

2 The -- and also Dr. Stephens testified  
3 that his study was based primarily on a review of the liter-  
4 ature. The literature he's referring to is to a large ex-  
5 tent that that was performed by my firm.

6 The NicholSEN and Klebsch study is a good  
7 study but it is a regional USGS study which did not make an  
8 attempt to thoroughly analyze the hydrologic conditions at  
9 this area.

10 Also, the Nicholson and Klebsch study, if  
11 you'll notice in the title, is in Lea County. The problem  
12 does not end at the county line. It continues into Eddy  
13 County with Williams Sink and Nash Draw.

14 So it's not surprising that Nicholson and  
15 Klebsch would have referred to the portion in Lea County be-  
16 cause that's all they were getting paid to analyze.

17 In our study for the Bureau of Land Man-  
18 agement we were looking exclusively at the area of collapse  
19 with a detailed study which included a great deal of test  
20 drilling, all of which post dates the work done by Nicholson  
21 and Klebsch and which was available to Dr. Stephens but was  
22 -- but he was only basing his study on the literature,  
23 whereas mine, I feel, is firsthand experience over an eight  
24 year period.

25 Q Sir, what kind of firsthand experience

1 have you had? Have you visited the proposed disposal site?

2 A Yes, sir.

3 Q Have you noticed any evidence of Triassic  
4 redbeds on the western side of the laguna?

5 A Laguna Plata?

6 Q That's right.

7 A No, I have not.

8 Q Have you noted any springs on the western  
9 side of Laguna Plata?

10 A No, sir.

11 Q Were you here when testimony was received  
12 that there was a spring located on the southwestern edge of  
13 Laguna Plata? An analysis of that particular spring was  
14 provided on page four of the detailed engineering and design  
15 plans?

16 A I would assume that that is an intermit-  
17 tent spring, which are quite common in that area. It is  
18 certainly not shown on the -- on Figure 2.

19 Q Are you saying that it's not there or --

20 A I'm saying that it's not a perennial  
21 stream -- excuse me a perennial spring, which is indicative  
22 of the water table.

23 I'm simply saying that it may be an  
24 ephemeral spring discharging from a caliche zone or a dis-  
25 charge point for local precipitation. I don't know. I

1 haven't been to the spring. It's not shown on this map.  
2 It's not shown on the USGS topographic map. It's not shown  
3 on any of those maps. I'm not saying the spring is not  
4 there. I'm simply saying that it is probably a localized  
5 discharge point which flows periodically.

6 Q Could it also probably not be a localized  
7 discharge point?

8 A Your guess is as good as mine.

9 Q But you've been on the ground.

10 A Yes, sir.

11 Q And you have not seen that spring.

12 A No, sir.

13 Q Have you walked the arroyos in the vicin-  
14 ity of the proposed disposal site?

15 A Yes, sir. I even got my truck stuck in  
16 them.

17 Q How long ago was that, sir?

18 A In 1984.

19 Q Did you prepare on behalf of Pollution  
20 Control, Incorporated, a hydrologic assessment of the salt  
21 lakes area in western Lea County, New Mexico?

22 A Yes, I did.

23 Q And this report is dated July, 1984?

24 A Yes, sir.

25 Q And is this the report that you made re-

1       ference to as suggesting that this report might be mislead-  
2       ing?

3               A               I don't --

4               Q               Did you make that statement at all?

5               A               I don't think it's misleading. I think  
6       it's a good report.

7               Q               Very fine, sir. Did you indicate in this  
8       report that it's possible that the salt lakes of Laguna Gat-  
9       una, Laguna Plata, Laguna Tonto, --

10                               MR. STAMETS: Excuse me a  
11       minute. Let me get this where I can take a look at it and  
12       then we can proceed when we can all hear.

13               Q               -- and Laguna Tostin occupy collapse  
14       structures associated with a northwest -- northeastward ex-  
15       tension of the brine aquifer? Is that a correct statement?

16               A               I believe it is. What page are you on?

17               Q               I'm on page 15. Is it a collapse struc-  
18       ture?

19               A               The statement is, it is possible that the  
20       salt lakes occupy collapse structures associated with a  
21       northeast trending extension of the brine aquifer.

22               Q               Do the Dewey Lake redbeds underlie these  
23       features?

24               A               Yes, they do.

25               Q               As is indicated on page 15?

1           A           Gee, I'd have to go back and look at the  
2 geologic section in that area, but I think that's a correct  
3 statement.

4           Q           Now on page 18 you indicate in his case  
5 before the Oil Conservation Division, Case Number 4047 on  
6 March 19, 1969, Mr. Larry C. Squires stated there was no  
7 fresh water in the vicinity of the salt lakes.

8           A           Where are you reading, on page 18?

9           Q           Yes.

10          A           And where is that?

11          Q           About the middle of the page, sir.

12          A           Yes, sir, that statement was read cor-  
13 rectly.

14          Q           Now you indicated in the last sentence of  
15 that page that Laguna Gatuna is at least 60 feet higher than  
16 Laguna Plata.

17                      What is the impact of the relationship  
18 between the surface water elevations of the two lakes?

19          A           What is -- would you repeat the question?

20          Q           What is the impact, what is the effect of  
21 the difference in the surface elevation of the two salt  
22 lakes?

23          A           Well, the sentence stands. They're 60  
24 feet higher. I'm not sure that I'm prepared to draw any  
25 conclusions as to the differences in elevations of the sur

1 faces.

2 Q That has absolutely nothing to do with  
3 it.

4 A The inference could be made that the  
5 direction of groundwater movement would be from the higher  
6 point to the lower point but that would simply be an infer-  
7 ence which is not supported by documentation.

8 Q Now on page 26 you seem to suggest that  
9 Laguna Plata is a natural groundwater discharge point and I  
10 thought you said in your testimony that that was not the  
11 case.

12 A No. My testimony was that there is  
13 natural groundwater discharge along the east side of Laguna  
14 Plata. The springs are evidence of natural groundwater dis-  
15 charge on the east side.

16 There is natural groundwater discharge  
17 into Laguna Plata but there is no evidence presented by the  
18 applicant that the water doesn't in turn go out the west  
19 side.

20 Q Except for his, Dr. Stephens' conclu-  
21 sions.

22 A That's right, which don't agree with any-  
23 body else's.

24 Q Have you done any investigation into the  
25 brines that are found when you dig deeper wells in the

1 vicinity? Are the deep brines, so to speak, more saline  
2 than the brines at Laguna Plata?

3 A The chemical quality of the water in that  
4 area ranges under natural conditions from potable, that is  
5 less than 500 parts per million, and there's not much of  
6 that, to approximately 200,000 parts per million for the  
7 brine aquifer and what is sometimes found in the bottom of  
8 the platos, and it can fall anywhere in those ranges.

9 Q Is the brine aquifer, as you call it,  
10 more or less saline than Laguna Plata?

11 A About the same, based -- excuse me. It's  
12 about the same as shown by Figure 2 of your report, 196,000.

13 And I might mention that nothing is as  
14 concentrated as the slurry from the potash refineries, which  
15 is always on the order of 325 to 350,000 parts per million.

16 Q Yes, sir, you talked about discharge from  
17 the potash.

18 A Yes, sir.

19 Q And suggested that the saline condition  
20 of the waters of Laguna Plata was due to a potash discharge.  
21 Is that correct?

22 A That's correct.

23 Q Have you done any studies, any samples of  
24 the water in Laguna Plata to determine what the content of  
25 the water is?



1           A           I would have to refer to our 1979 report  
2 for the Bureau of Land Management in which we analyzed the  
3 discharge from all of the potash companies, including  
4 National, and their discharge points.

5                   I assume that there are some analyses in  
6 that report, or in our 1978 report, which do give a chemical  
7 analysis of the discharge of the slurry from the potash  
8 mine.

9           Q           What would you expect the composition of  
10 the water to be if it was a discharge from a potash mine?

11           A           It's almost totally sodium chloride with,  
12 as I said, concentration in excess of 325,000 parts per mil-  
13 lion.

14           Q           Would the discharge from the potash mine  
15 not be potassium chlorides rather than sodium chlorides?

16           A           I'm not sure. I would have to go back --  
17 I wouldn't -- I would assume that since the purpose of a  
18 potash refinery is to reclaim the potassium, that there  
19 wouldn't be much in the discharge, but I don't know. I'd  
20 have to go back and look.

21           Q           Would you anticipate that samples from  
22 Laguna Plata would show a very high rate of potassium if  
23 they were discharges from a potash mine?

24           A           As I said, I would have to examine some  
25 analyses of the discharge from a potash mine to make that

1 conclusion.

2 Q I have here what appears to be a general  
3 water chemistry and nitrogen analysis done for the Environ-  
4 mental Bureau, New Mexico Oil Conservation Division -- I'm  
5 sorry I have no copies -- I believe this is a matter of pub-  
6 lic record, and ask you if you -- to take a look at that and  
7 tell me what those analytical results from the sample indi-  
8 cate with regard to the origin of the salts in Laguna Plata.

9 A This -- am I to understand that this sam-  
10 ple is from a small seep in Laguna Plata?

11 Q That is my understanding.

12 A Well, it appears to me that the principal  
13 cation is calcium, followed closely by sodium, and the prin-  
14 cipal anions, the principal anion is sulfate.

15 Q Is that --

16 A Potassium is quite low.

17 Q Is that consistent with discharge from a  
18 potash mining operation?

19 A I don't know.

20 Q If there were absolutely no discharge  
21 from a potash mine in Laguna Plata, would those waters still  
22 be as saline as they are today, from evaporation, if nothing  
23 else?

24 A As my testimony has shown, in the lakes  
25 which -- for which there is no record of potash slurry being

1 discharged, such as La Sala Grande, although it was many  
2 years ago, but Laguna Tonto, these lakes, and also Laguna  
3 Gatuna, generally do not exceed 200,000 parts per million  
4 dissolved solids.

5 The potash discharge is a slurry which is  
6 too thick to stir and too soft to walk on, and it is primar-  
7 ily in excess of 325,000. As far as the total, or the  
8 anion/cation balance, I can't address that.

9 Q Did you hear the testimony of Mr. Cherry  
10 from the Bureau of Land Management to indicate only clear  
11 brine could be introduced into Laguna Plata?

12 A Well, I'm not exactly sure what he read,  
13 he read it so fast. He may have made that statement.

14 I would not know what he defined as clear  
15 brine.

16 Q Sir, I'm not sure I quite understand your  
17 large map. What are the contour lines?

18 A Are you referring --

19 Q Could you please identify the contour  
20 lines and what the meaning of those lines is?

21 A Those are water table contours, or excuse  
22 me, those are equipotential contours or water table con-  
23 tours in the project area.

24 Q In this particular area the contour lines  
25 are not completed in the vicinity of Laguna Plata, is that

1 correct?

2 A That's correct.

3 Q Is there any reason why they have not  
4 been completed on your map?

5 A Yes, sir, because this map is based on  
6 test hole data and the three nearest test holes to Laguna  
7 Plata are shown at these three sites and identified with the  
8 numbers less than 3450, 3440, and 3483.

9 Q What is this contour level? What does it  
10 mean insofar as the --

11 A That is the --

12 Q -- test holes are concerned?

13 A That is the elevation of the potentiomet-  
14 ric surface above sea level.

15 Q In layman's terms what do you hit when  
16 you hit 3450 --

17 A Water.

18 Q -- anywhere along the line?

19 A Water.

20 Q What kind of water, sir?

21 A Any kind of water.

22 Q Will you please identify this exhibit for  
23 me, please?

24 A This is Exhibit Number One from the Hun-  
25 ter report and it shows water levels in the uppermost aqui-

1       fers and it also is a contour map on the uppermost aquifers  
2       showing the level of the water table or the potentiometric  
3       surface relative to sea level.

4               Q               The contours have been generalized, have  
5       they not, sir?

6               A               Yes, sir.

7               Q               I notice a 3299 number just north of La-  
8       guna Plata. What significance does that have? Is that an  
9       aberration?

10              A               According to the explanation it is a  
11       water level measurement with anomalously high or low alti-  
12       tude, and it is completed in the Triassic rocks undivided.

13              Q               Would that particularly low rating at  
14       that point be consistent with Dr. Stephens' conclusion that  
15       this was a collapse structure entirely closed and surrounded  
16       and sealed off by Triassic redbeds?

17              A               I do not think that Dr. Stephens would  
18       draw that conclusion because it's at least a mile north of  
19       Laguna Plata and it is north of the outcrop of the Triassic  
20       rocks. If in fact it was a collapse feature the Triassic  
21       rocks would not be exposed on the north side of Laguna  
22       Plata.

23              Q               Are the uppermost waters shown here above  
24       or below the Triassic redbeds?

25              A               This map purports to show the water

1 levels in the uppermost aquifer regardless of what the  
2 water-bearing unit is and the aquifers are identified as  
3 everything from Quaternary Alluvium to the Culebre dolomite  
4 member of the Rustler formation.

5 Q Is it possible then that there are no  
6 fresh water aquifers or any water aquifers at a point above  
7 a Triassic redbed at that particular level, then?

8 In other words, do you have to go down  
9 through the Triassic redbed to reach your first level of  
10 water?

11 A I don't know the -- are you referring to  
12 this Well 3299?

13 Q I'm referring to the general area.

14 A This map was to a large extent prepared  
15 from published data or data which Mrs. Link collected and is  
16 the best available data. It does not necessarily tell you  
17 what the purpose of the test hole or the well was, so that  
18 if, in fact, a potash company was looking for water they  
19 might drill 300 feet and claim that anything less than 10  
20 gallons a minute was a dry hole whereas a rancher looking  
21 for a stock well might be satisfied with half a gallon a  
22 minute and therefore stop very shallow.

23 So this is simply a generalized map which  
24 interrelates all of the aquifers and the water level in the  
25 shallow zone. It doesn't really tell you anything about the

1 potability of the water or at any site where there is not  
2 control, what would happen there.

3 Q Are you saying then the information set  
4 forth on this map is not inconsistent with what Dr. Stephens  
5 indicated was a regional sink or collapse structure com-  
6 pletely underlain with Triassic redbeds?

7 A I'd say that neither this report nor Mr.  
8 Stephens prove it either way. That would be my conclusion.

9 Q If there were a perennial spring on the  
10 southwestern side, would that change your mind about Dr.  
11 Stephens' conclusion?

12 A It would -- it would tell me that there  
13 was northward flow of groundwater into Laguna Plata.

14 Q If your subsequent analysis of the water  
15 indicates that the source of the total dissolved solids in  
16 Laguna Plata was not from potash brine, would that be con-  
17 sistent with Dr. Stephens' theories?

18 A You're asking me to assume it's a peren-  
19 nial stream -- a perennial spring?

20 Q No, sir, we're talking about discharge  
21 and the quality of water in Laguna Plata.

22 A Okay, would you repeat the question?

23 Q If -- if the water analysis that you  
24 (not clearly understood) and if your subsequent study of the  
25 quality of the discharge from a potash mine is later corre-

1     lated and you determine that this discharge could not have  
2     been from a potash mine, would this be consistent with Dr.  
3     Stephens' conclusion?

4             A             Conclusion that what, that it is a sink?

5             Q             Original sink underlain by Triassic red-  
6     beds, where total dissolved solids and sodium is concen-  
7     trated because of evaporation and will flow into that sink  
8     and for that reason alone.

9             A             The argument here, the discussion here,  
10    is whether or not it's going out the west side, not where  
11    it's coming in or what its origin is.

12            Q            If it is a collapse structure, if the  
13    collapse structure is entirely underlain by Triassic red-  
14    beds, and would that not mean that there would be no west-  
15    ward flow of the liquids?

16            A            No, that doesn't tell you anything about  
17    the direction of groundwater flow in the alluvial material.

18            Q            If, as Dr. Stephens has testified, the  
19    alluvial material overlays the Triassic redbeds it is a col-  
20    lapse feature because of faulting along the sides, you have  
21    effectively sealed off Laguna Plata --

22            A            By what means?

23            Q            -- then it would not seem that -- by any  
24    means -- that westward movement of the water would be pre-  
25    cluded by that circumstance -- situation?



A            No, sir.  Either you and I are not on the same wavelength or my answer is no, and I'm not sure the case.

Q Now, are you indicating to us that Dr. [REDACTED] is no necessarily wrong but the evidence presented is insufficient to convince you that that is the case?

A Yes, sir.

Q Now in talking about the suitability of findings, you spent some time talking about monitor and you indicated that if monitor wells were established that would tend to confirm or deny Dr. Stephens' conclusions with regard to the direction of the movement. Is that a correct statement?

A            Well, in reference to the monitoring they are important. The other -- the information would be obtained during the drilling of the monitoring also important, and I'm assuming that subsurface information would be obtained at the same time.

If -- if a person were to give me a water sample out of a monitoring well and told me about the situation, nothing about the condition, I could not draw any conclusion. I have to understand the site conditions associated with the installation of a monitoring well.

So, if the monitoring wells were put in

1 and additional subsurface information was collected, then I  
2 think that it's conceivable that you would at least know  
3 when you had a problem.

4 Q Now, you indicated that you had a better  
5 location for the three monitor wells that are to be located  
6 in and about the disposal facility.

7 Where would you locate those wells?

8 A I believe that my testimony was that I  
9 would not locate them at the same place you did -- that you  
10 did. I did not say that it was a better location.

11 Q Where would you locate them, sir?

12 A I would locate one directly to the north,  
13 one to the northwest, and one to the northeast, and I would  
14 put them very near the boundary of the facility.

15 Q Would that be sufficient to determine the  
16 subsurface flow of groundwater or seepage from the pits?

17 A Not really. It would just tell you when  
18 it got to those observation wells.

19 Q It would provide you no clue as to sub-  
20 surface migration of water?

21 A Oh, yes, it would provide you some infor-  
22 mation but it wouldn't tell you whether or not it was  
23 actually flowing back to the south, which in fact is -- is  
24 not unreasonable to assume. It would not tell you it was --  
25 whether or not it was moving directly west, which is suppor-

1   ted by Reed's work. The redbed surface is an erosional sur-  
2   face with -- in which there are buried stream channels,  
3   regional trends, and all Reed has attempted to do is show  
4   the regional trend, but there could be buried channels  
5   there, such as are common beneath the Ogallala formation,  
6   and channel water in a total different direction away from  
7   Laguna Plata, and if your -- one of your three observation  
8   wells did not encounter that channel, then you would have no  
9   idea where that water was going.

10           Q           In your survey of the general natural  
11   salt lakes that occur, did you find any such channels?

12           A           We didn't drill with sufficient density  
13   to verify that except at the site which I referred to in my  
14   testimony in Lea County, where we had close to 40 test  
15   holes. Here we did find channeling, yes, sir.

16           Q           Where was that location?

17           A           Near Monument.

18           Q           Is that some distance north?

19           A           It's some distance east but it's dealing  
20   with the same redbed surface --

21           Q           Are there any --

22           A           -- overlain by alluvial material, so it's  
23   the same geologic sequence.

24           Q           Are there any naturally occurring salt  
25   lakes in that vicinity?

1           A           Not to my knowledge.   It's north of San  
2 Simon Swale -- San Simon Sink.

3           Q           In your particular report you said there  
4 are certain problems which have not been adequately addres-  
5 sed by Petro-Thermo.

6                       First you say the thickness of the allu-  
7 vial cover is unknown at the propose site.   Do you discount  
8 Dr. Stephens personal visit to the site and his observations  
9 there?

10          A           No, sir. He said that he personally ob-  
11 served 20 feet of alluvial fill.   I'm sure that's a true  
12 statement, but he doesn't know if he was standing on 130  
13 feet, either.

14          Q           You have indicated there is no evidence  
15 presented by the report which confirms that the redbed sur-  
16 face slopes directly towards Laguna Plata.   Do you discount  
17 Dr. Stephens' testimony that it did in fact slope directly  
18 towards Laguna Plata?

19          A           He presented no evidence to support that  
20 statement.

21          Q           Other than his personal observation.

22          A           He can't see the redbeds.   The redbeds  
23 are only exposed on the north side.   He could not draw the  
24 conclusion that the redbeds slope to the north; he's on the  
25 south side where they aren't exposed.

1           Q           Third you say his report does not dis-  
2 prove the work by Reed, which indicates a bedrock channel,  
3 which results in a western migration. But if there was in  
4 fact a collapse feature there, that would prevent the west-  
5 ward migration, would it not?

6           A           Not necessarily. The -- the collapse  
7 structures are associated with an undermining of the redbeds  
8 by solution out of the brine aquifer. The redbead surface  
9 is an erosional feature, which has an entirely different  
10 geologic history. If the collapse structures are simply  
11 superimposed on the geologic conditions that are in the area  
12 at this time, there is no geologic relationship between the  
13 erosion of the Triassic redbed surface and the collapse  
14 structures.

15           Q           Then the collapse structure does not join  
16 with the Triassic redbeds to form a regional sink?

17           A           The Triassic redbeds are collapsed as a  
18 result of undermining by the brine aquifer and if -- if and  
19 when they happened to collapse, it may have been before or  
20 it may have been after the erosion of the Triassic surface, prior  
21 to or following deposition of the alluvial material. There  
22 is no correlation between the collapse of the redbeds and  
23 the erosional surface on the Triassic surface.

24           Q           Let me show you a photograph -- once  
25 again I'm sorry I do not have additional copies of this --

1 of spring discharge in the southern portion. Can you draw  
2 any conclusions from that particular photograph?

3 A It's clearly a spring.

4 Q It is clearly a spring?

5 A Well, there, you know, I'm taking your --  
6 it says here "spring discharge". You know, somebody might  
7 have piped that water in there. I'm just taking your word  
8 for it.

9 Q Does it have features which are (not  
10 clearly understood) with the existence of a spring at that  
11 location?

12 A I've never seen a spring in this location  
13 so I don't know.

14 All of the springs which I have seen are  
15 on the east side and most of these are simply seeps, begin  
16 as seeps, out of the alluvial filled channels on the east  
17 side of the -- of the Laguna Plata, and they gradually pick  
18 up discharge as they flow towards the (not understood).

19 MR. WEBER: Sir, I have no fur-  
20 ther questions of this witness.

21

22 CROSS EXAMINATION

23 BY MR. STAMETS:

24 Q Mr. Kelly, on your Exhibit Number Three,  
25 I think, this one --

1                   A           Yes, sir.

2                   Q           -- that's taken from an Ed Reed report  
3 which you mentioned several times.

4                               In that Reed report did he reach the  
5 conclusion that Laguna Plata was not closed on the west side  
6 and that fluids would move to the west?

7                   A           I do not believe that I have ever seen a  
8 copy of that report. This map was given to me at the time  
9 that I was retained by Pollution Control for my 1984 study,  
10 and I was given the map. I don't believe I was ever given  
11 the report. I don't know what conclusions he reached.

12                  Q           Let me ask --

13                  A           Oh, I -- excuse me, it just occurred to  
14 me, I got a copy of this. Pollution Control did not have  
15 the map. I got a copy of the map from your office, which is  
16 on file in your office, and was originally filed with the  
17 1969 application, and I -- but I did not get a copy of the  
18 report.

19                  Q           Your Exhibit Number two shows, oh, maybe  
20 40 or 50 feet of elevation on the west side of Laguna Plata.  
21 What's the nature of the formation that makes up that 40 or  
22 50 feet?

23                  A           I'm not sure that I can answer that with  
24 certainty. The Gatuna formation is quite extensive in this  
25 area. It's a Tertiary Continental formation. There is also

1 a lot of dune development and I would assume that that's the  
2 material which you're referring to which makes up that topo-  
3 graphic high.

4 Q If indeed the spring that there have been  
5 a lot of questions about here at the end, the one which is  
6 shown on the Petro-Thermo exhibit, what's that number?

7 MR. THORNTON: Exhibit Number  
8 Eight, H-6.

9 Q It's been drawn on the one that's up on  
10 the wall with a red circle. Even if that is an ephemeral  
11 spring, would that not indicate that in that area the drain-  
12 age that one would expect in the subsurface would be towards  
13 Laguna Plata?

14 A Well, not if it's -- not if the spring is  
15 originating from a caliche zone, for example. It could be  
16 100 feet above the redbeds and, in fact, since the spring is  
17 discharging at least as a ephemeral spring on the south  
18 side, and there is no outcropping Triassic rocks, it would  
19 indicate to me that it may well be caliche controlled and  
20 certainly not redbed controlled.

21 Q Back on Exhibit Number Three we have this  
22 big, bold line that crosses the southwest corner of Laguna  
23 Plata that says Triassic, and are you saying that that line  
24 is not necessarily really there?

25 A I have no reason to question Reed's data.



1 If, in fact, the -- if you compare the elevation of this  
2 contour at 3450 with the elevation of Laguna Plata at 3431,  
3 this would lead me to conclude that the Triassic did in fact  
4 outcrop in the southwest corner of the lake.

5 Q But you were there and did not observe  
6 that.

7 A No, sir.

8 Q If Mr. Reed has drawn this line cor-  
9 rectly, would that help explain why that small spring is  
10 there as shown on the Exhibit Eight, Petro-Thermo Exhibit  
11 Eight?

12 A Yes, sir, it would.

13 Q On your Exhibit Number One you've shown  
14 cross hatched the area of Laguna Plata and you have -- I'm  
15 not sure if the point you were making on Exhibit Number One  
16 was that there's no closure around --

17 A No.

18 Q -- Laguna Plata?

19 A My point is there is no closure shown by  
20 Link, I believe that's the Link map, around Laguna Plata.  
21 The reason that the area is identified is simply on that  
22 blue line it was very difficult to pick out Laguna -- the  
23 location of Laguna Plata, so I simply drew it in in black  
24 and and cross hatched it.

25 Q Okay. Would it not also be correct that

1 there is no closure shown around Laguna Gatuna.

2 A That's true.

3 Q So this map isn't really useful in show-  
4 ing closure.

5 A This map is -- is intended by Link to  
6 show the regional direction of groundwater flow, which is  
7 the purpose that I referred to it, in that it is a control  
8 or shows the direction of groundwater flow but not on a loc-  
9 alized basis.

10 Q And in your Exhibit Number Five, where  
11 you do show the closure on Laguna Gatuna, it would appear as  
12 though you used a 10-foot contour to do that.

13 A Yes, sir.

14 Q And if we had this whole area contoured  
15 on 10-foot contours it might show closure around Laguna Pla-  
16 ta?

17 A Well, it might. The significance here is  
18 that there is enough control at Laguna Gatuna by the out-  
19 cropping Triassics to have that kind of control. That kind  
20 of control does not exist, nor has it been presented, for  
21 Laguna Plata.

22 MR. STAMETS: Other questions  
23 of this witness?

24 DR. KELLY: I have one concern-  
25 ing the springs.

## CROSS EXAMINATION

BY DR. KELLY:

Q           What in your -- since you've been on the ground and you've studied that area a long time, what is the geologic control there bringing this water up to surface water instead going underground? There has to be some kind of a geologic control.

A           In my opinion its a regional potentiometric head on the brine surface which is driving salt water up along the concentric fractures bordering the slump structures and forcing it to the surface.

Q           So then the slump structure, the springs on the west side of Laguna Tonto would mean the regional water flow is coming past that slump and then coming up?

A           It may be.

Q           And on the other one, the regional, if everything is moving west as you have presented, and the water coming into Laguna Plata would be properly on the east side of that and any water discharged to the southwest part of that high would never affect this spring because of location.

A           Would not affect the springs on the east, that's correct.

MR. STAMETS: Any other ques

1 tions of the witness?

2 MR. LYON: Let me ask one ques-  
3 tion, if I may.

4  
5 QUESTIONS BY MR. LYON:

6 Q If I understand your testimony, Dr. Kel-  
7 ly, the -- you're not -- you're not contesting that Laguna  
8 Plata is -- is a (not understood) lake and is containing  
9 water that comes into that lake. You're not saying that  
10 there's any seepage from the lake. Your concern is that the  
11 placement of water in the alluvium above the lake may not  
12 flow into the lake.

13 A That's my major concern, yes, sir.

14 Q Why would you -- if Reed portrays the  
15 flow of groundwater to the west, why would you not recommend  
16 a monitor well west of the site?

17 A I would. I would -- I would recommend,  
18 in addition to monitor wells at the site itself, along the  
19 west side of Laguna Plata, or certainly along the west side  
20 of this facility, but I, by Mr. Weber, I was limited to  
21 three wells.

22 I would put in a bunch of them.

23 Q Also, in the drilling of those monitor  
24 wells, if they are drilled as the two that they have pro-  
25 posed, you would get a datum on top of the redbed, is that  
true?

1           A           Yes, sir.

2           Q           And then that would give us an indication  
3 as to whether or not that flow actually would go in the  
4 direction that Petro-Thermo believes that it would.

5           A           Yes, sir, that's correct.

6           Q           Okay.

7                       MR. LYON: I believe that's  
8 all. Thank you.

9                       MR. STAMETS: Any other ques-  
10 tions of this witness?

11                      He may be excused.

12                      MR. KELLAHIN: What's the  
13 pleasure of the Commission?

14                      MR. STAMETS: Do you have a  
15 short witness?

16                      MR. KELLAHIN: I'll be happy to  
17 expedite the testimony and see if we can finish today.

18                      MR. STAMETS: Good.

19                      MR. KELLAHIN: Mr. Chairman,  
20 we'd call at this time Mr. Larry Squires.

21

22

23

24

25

1 LARRY SQUIRES,  
2 being called as a witness and being duly sworn upon his  
3 oath, testified as follows, to-wit:

4  
5 DIRECT EXAMINATION

6 BY MR. KELLAHIN:

7 Q Mr. Squires, would you please state your  
8 name and where you reside?

9 A My name is Larry Squires. I reside in  
10 Hobbs, New Mexico.

11 Q Would you describe what your relationship  
12 is with Snyder Ranches, Mr. Squires?

13 A Yes, sir. I'm the partial owner and  
14 operator, manager, and president of the Snyder Ranches.

15 Q How long have you been involved with Snyder  
16 Ranches, Mr. Squires?

17 A I've been involved with Snyder Ranches  
18 since the death of Mr. Snyder in July of 1967.

19 Q Would you describe for the Commission  
20 what has been your educational background?

21 A Well, my educational background is, of  
22 course, I graduated from high school in 1950 in Hobbs. I  
23 went from there to -- to the service. In 1953 I entered  
24 agricultural school at New Mexico State University and at-  
25 tended school there for three years and transferred to Colo-

1 rado State University and obtained a Bachelor of Science de-  
2 gree in biological science; continued on for four more years  
3 and obtained a degree in Doctor of Veterinary Medicine.

4 And I have been -- I moved back to Hobbs  
5 in 1960 and have practiced veterinary medicine there from  
6 1960 till 1968.

7 Q I'd like for you, sir, to take a moment,  
8 walk around the table, and let's go the plat of the area  
9 over here on the far corner of the room.

10 A Okay.

11 Q The number of which I cannot see from  
12 here. Is that number one?

13 A This one?

14 Q Yes, sir.

15 A Page one.

16 Q Is that page number one of an Exhibit  
17 Number Seven?

18 A Eight.

19 Q All right.

20 A Page one, Number Eight.

21 Q All right. You're going to have to speak  
22 up so she can record your testimony, Mr. Squires.

23 Would you identify for us what is depic-  
24 ted just east of Laguna Plata and identified as Snyder? What  
25 is that?

1           A           This is what we call our Snyder Ranch  
2 salt lake house. We have a ranch house here and it's been  
3 there since the early thirties.

4                   Our ranch includes all of Section 15 ad-  
5 jacent to the proposed site, Petro-Thermo's proposed site,  
6 which is Federal land and we own the grazing permit that in-  
7 volves this. Our grazing permit also encompasses approxi-  
8 mately 60 sections north and completely surrounding and con-  
9 taining all of Laguna Plata except for this westerly boun-  
10 dary right here.

11                   For practical purposes we have fenced  
12 this lake out, like this, because the old fence we had down  
13 through there, salt water got it pretty fast, pretty hard to  
14 maintain, so we just turned that over to our adjoining  
15 neighbors; we couldn't graze it anyway.

16                   This area of the ranch right here, con-  
17 trary to what's been said, I would like to describe the sur-  
18 face around this. This pasture right here is what we call a  
19 hard land pasture, or grama grass pasture.

20           Q           In Section 15?

21           A           Yes. And all the way up to here.

22           Q           When you say "here" would you describe  
23 for the record, Mr. Squires --

24           A           All the way up to the Snyder Ranch house  
25 along the southerly and westerly edge of this lake.



1 Q All right, now take your seat, please.

2 A There are some high dune areas in through  
3 here but this area is generally pretty flat and pretty gras-  
4 sy and lots of grass and no shinnery (sic), and we describe  
5 or divide these pastures with shinnery pastures to the north  
6 and non-shinnery pastures to the south.

7 Shinnery is usually associated with deep  
8 sand country and the better grasslands are not within deep  
9 sands.

10 Now, Mr. Stamets asked a minute ago about  
11 these highs right in through here.

12 Q You're talking about the north edge of  
13 Laguna Plata?

14 A The north and the east, between our house  
15 and the lake, these highs are giant sand dunes. They're  
16 real high on this side. They are not on this side. It's --  
17 it's a gradual gradient down through the lake, which is --  
18 which is commonly called hard land as contrary to sand lands  
19 on the southern edge of the lake.

20 Q Within the area adjacent to the facility  
21 on the east side in Section 15, would you describe more spe-  
22 cifically the character of the vegetation?

23 A Oh, it's excellent grassland in that  
24 area.

25 Q What, if any, use do you make of that

1 surface?

2 A We graze cattle on it.

3 Q Would you identify for the Commission the  
4 location of Pollution Control's facility at Laguna Gatuna?

5 A Yes, sir. It is located approximately in  
6 this area here where my finger is in Section 18, I believe  
7 this is, in the northwest quarter of Section 18.

8 Q Do you make any use of Laguna Gatuna by  
9 Pollution Control at other sites on that laguna?

10 A Yes. We have another disposal location  
11 located off the four-lane highway on the southern edge of  
12 the Laguna Gatuna.

13 Q All right, sir. Why don't you have a  
14 seat?

15 With regards to the ranching operations  
16 adjacent to Laguna Plata and in Section 15, Mr. Squires, how  
17 long have you been utilizing that surface for grazing pur-  
18 poses?

19 A Since the late thirties.

20 Q In your opinion does that surface con-  
21 tinue to be usable for grazing purposes at this point?

22 A Very definitely does.

23 Q Would you describe for us now, Mr.  
24 Squires, what has been your involvement with Pollution Con-  
25 trol in terms of the utilization of any portion of this area

1 for the disposal of produced water or solids?

2 A My involvement with Pollution Control be-  
3 gun back in 1968 when Representative Harold Runnels called  
4 me one day and suggested to me that some people from Midland  
5 that were involved with an oil company were very interested  
6 in using Laguna Gatuna as a salt water disposal site. And  
7 he indicated to me that they were going to do this and I  
8 indicated to him, I said, well, we don't want a waste dis-  
9 posal site on our ranch. And he said, "Well, there's pro-  
10 bably not much you can do about it."

11 At that time I reviewed the situation and  
12 decided that I would hire my own hydrologist, that we would  
13 study the area, we would come up with our own conclusions,  
14 and if it was an acceptable site, if it would not do any  
15 environmental damage to the area, then I would obtain the  
16 permit myself simply because we would own the permit and we  
17 could control the use of the surface and prevent any abuse  
18 of the surface in the area since we had substantial finan-  
19 cial interest in the surface and wanted to maintain it.

20 We had the hearing. I hired Mr. Ed L.  
21 Reed, who we've referred to his work here now. He made ex-  
22 tensive studies within the area. He determined at the time,  
23 in his opinion that brines deposited in Laguna Gatuna and  
24 Laguna Plata wouldn't bother the environment.

25 He also suggested at the time that Laguna

1 Gatuna would be the most ideal way to deposit water in.

2 The results of the hearing was that the  
3 Commission, we asked for Laguna Tonto, Laguna Gatuna, Laguna  
4 Plata. The Commission at that time -- and by the way, I  
5 might add, at that time we had received a special land use  
6 permit from the Bureau of Land Management that encompassed  
7 the whole lake bottom of Laguna Plata.

8 We also had a business lease in the  
9 southwest quarter of Section 2, or the business lease  
10 covered the south half of Section 2, which is State land.  
11 We -- we obtained a business lease and a special land use  
12 permit from the State of New Mexico -- or from the Bureau of  
13 Land Management.

14 We also decided that it was better to put  
15 our facility on Laguna Gatuna because we -- the lake was  
16 better situated. We had some facilities located on the edge  
17 of the lake, which was on some land that we had a state pur-  
18 chase contract with the State, and that it would be a much  
19 more ideal place to do it, more easily accessible from the  
20 major highways in the area.

21 Q With regards to Laguna Gatuna, are the  
22 facilities that you operate there on that laguna operated on  
23 land that is deeded land into Pollution Control or its own-  
24 ers?

25 A It is no longer a State purchase con-

1 tract. We have exercised the right to pay the contract off.  
2 We own 940-some acres Section 13 and in Section 18, which we  
3 have a patent on at the present time.

4 Q Is all of the area that is being subject  
5 to the disposal facilities as Pollution Control within pro-  
6 perty that is owned in fee by either you or the company?

7 A No, not all of it. We have a 40-acre  
8 business lease on the south edge of the lake adjacent to the  
9 four-lane highway. There we have some new facilities which  
10 we've constructed that's on a State business lease.

11 The rest of the facility up on the north  
12 end, where we do our oil treating, reclaiming, and where we  
13 dispose of semi-solids and oilfield waste solids, is -- is  
14 on land that we own.

15 Q How long have you operated Pollution Con-  
16 trol?

17 A I've operated Pollution Control solely  
18 since 1980. We -- after I received the permission from the  
19 various agencies to go into this business back in 1968, I  
20 was a practicing veterinarian, or had just been a practicing  
21 veterinarian and was a ranch manager. I was very busy. I  
22 didn't know anything about the salt water disposal business.  
23 I took this permit to some people that I trusted and had re-  
24 spect for that would recognize and respect my property and  
25 asked them if they thought they would like to go into the

1 salt water disposal business, and that person was -- was  
2 primarily Jack Maddox and James Murray.

3 They said that they would like to very  
4 much. I sold them the whole permit for \$20,000 and retained  
5 20 percent. They at that time put in some gunbarrels and  
6 some tanks and started the business of Pollution Control,  
7 Incorporated.

8 We had an excellent relationship for sev-  
9 eral years until the water began to seep out of the pits and  
10 destroy some adjacent grasslands and whenever other opera-  
11 tors, other trucking outfits began to haul drilling muds,  
12 bottoms, tank bottoms and assorted oilfield solid waste into  
13 our facility, choking the facility off, I had a running ar-  
14 gument with the management because we did not have a permit  
15 to dispose of it, because it was destroying our land, des-  
16 troying the grass, destroying mesquite on it. The -- we  
17 finally, instead of fighting all the time, I just bought  
18 them out and since that time in 1980, since I bought them  
19 out, we have been -- we came back into the Commission in  
20 '84. We updated our permit. We got permission from -- to  
21 dispose of waste solids, and we've been trying to maintain  
22 and keep it in an environmentally accepted manner.

23 At that time also we did execute the  
24 State land contract and purchased the lands.

25 Q What has happened or occurred with that

1 process which you at one time had the authority to dispose  
2 of produced salt water, I assume it wasn't the solids, just  
3 the salt water, into Laguna Plata?

4 A No, I beg your pardon, say again?

5 Q All right. You said in your testimony  
6 that at one time your initial permit from the Oil Conserva-  
7 tion Division in '68 or '69 did include Laguna Plata.

8 A Yes, it did.

9 Q What happened with the development of  
10 that as a potential disposal facility?

11 A We -- in 1975 the Bureau of Land Manage-  
12 ment nominated the area as a Historical Society area and  
13 they revoked our special land use permit. At that time I,  
14 you know, the facility wasn't needed on that lake. The lake  
15 was not as good to put water in as the other lake. We had  
16 never intended to use it anyway, so we didn't argue with  
17 them and we dropped all our permits and leases and bowed to  
18 their decision. It was their land and we had never put any  
19 salt water in it, and we let the permits go.

20 Q Let's go back to what is currently occur-  
21 ring at Laguna Gatuna in terms of the capacity at which that  
22 facility is running. I understand you have a permitted ap-  
23 proval for a maximum of 30,000 barrels of produced fluids a  
24 day.

25 A That's correct.

1           Q           All right.   What is currently the volume  
2 of disposal rates, approximately, for that facility?

3           A           It varies very dramatically.   We may go  
4 along in 5-6 loads a day for a month or two weeks, and then,  
5 as Mr. Abbott testified to, at these tremendous waterflows  
6 that Texaco had and at the other Vacuum waterflow that was  
7 produced there along the Buckeye Road, there was continuous  
8 trucks day and night, and we supervised the unloading of all  
9 this water. We were able to handle it without any problems  
10 at all.

11                   And he's correct when he says that there  
12 were 40 trucks running continuously day and night for almost  
13 three or four days. We were completely able to handle this  
14 whole volume of water without any particular problems but  
15 the day to day usage and since -- since natural gas prices  
16 have slumped as much as they have, a lot of -- back two  
17 years ago, or three, whenever it was, the water disposal --  
18 the need for a water disposal facility in that area is not  
19 as great. The number of barrels of water has dropped dram-  
20 atically and it's dropped dramatically again since the price  
21 of oil has dropped.

22                   We're not disposing near as much water  
23 there now as we were in '81-'82.

24           Q           Can you give us an approximation of the  
25 perhaps average monthly volumes of disposal for the first



1 portion of this year?

2 A The first portion of this year approxi-  
3 mately 10 to 15,000 barrels a month, somewhere in that  
4 neighborhood.

5 Q Is this a facility that is accessible to  
6 the public for a fee?

7 A Oh, yes, very much so.

8 Q Has Mr. Abbott and Petro-Thermo disposed  
9 of produced water and solids at your facilities in the past?

10 A Yes, sir, they sure have.

11 Q Is that facility available to Mr. Abbott  
12 and Petro-Thermo currently?

13 A No, it is not.

14 Q Under what circumstances have you denied  
15 Mr. Abbott the opportunity to utilize this facility?

16 A Sometime in June of this last year Mr.  
17 Abbott owed us a total of close to \$40,000, and it was 90 to  
18 120 days arrears and it had been like that for three or four  
19 years, that every 90 days I'd have to call and beg for  
20 money, which I'd get a check. I got tired of it so I told  
21 him that I would like for him to pay up and pay what he owed  
22 me; that we were competitors. I did not like to subsidize  
23 my competitors, and I felt like he ought to be prompt in  
24 paying his bill, and I told him he had till July the 1st to  
25 pay -- pay his bill.

1                   On July the 10th we received approximate-  
2 ly \$40,000 which was a combined amount that he owed me from  
3 Salty Dog and from Pollution Control. The July bill from --  
4 was not included in that and I was tickled to death to get  
5 the money and then on July the 15th I decided that I wasn't  
6 going to get in that situation again because \$40,000 is a  
7 lot of money to me.

8                   Q           What were --

9                   A           I needed it to pay my bills, so I wrote  
10 Mr. Abbott, or told his organization that we didn't want to  
11 get in that situation any more and that we didn't want his  
12 business any more.

13                  Q           Under what terms and conditions, Mr.  
14 Squires, would you make Pollution Control's site at Laguna  
15 Gatuna available to Petro-Thermo for disposal?

16                  A           If he pays very promptly and -- and the  
17 people that use our facility that are employed by him do a  
18 good job in our area and they clean up their messes, we have  
19 no problem with him using our facilities, if he pays timely.

20                  Q           Have you had experience with regards to  
21 difficulties in the operation of your facilities in terms of  
22 the handling of solids and waste products?

23                  A           Yes, sir, on numerous occasions we've had  
24 problems with mud being put in the wrong place by drivers  
25 that didn't care or didn't understand or for whatever

1 reason. These -- these accidents create a mess and a clean  
2 up and an expensive for you. They -- they need to be super-  
3 vised on a continuous basis to supervise the unloading of  
4 the -- especially the solid materials.

5 Q You've heard the testimony today about  
6 Petro-Thermo's application for a disposal facility at this  
7 site. Were you present at the December 18th hearing before  
8 the examiner of this case?

9 A Yes.

10 Q And do you understand how they propose  
11 to construct and operate this facility at Laguna Plata?

12 A Basically I think I understand what  
13 they're --

14 Q Based on your experience and knowledge of  
15 the operations at Laguna Gatuna by your company, Pollution  
16 Control, and your experience and knowledge in the immediate  
17 area, what are your concerns as, first of all, an owner of  
18 grazing property immediately adjacent to the disposal facil-  
19 ities?

20 A My concerns are that the pits will leak.  
21 In my opinion I feel that they will leak in a radial direc-  
22 tion. They will create a bog. They will create a salt  
23 water seepage out there and destroy the grass.

24 These pits will filtrate and leak, I'm  
25 sure, very well for a period of time until -- and I'm talk-

1 ing about the water pits, they'll leak very well, and the  
2 water, we don't know where it's going to go, but wherever it  
3 goes, it will destroy the vegetation in front of it and  
4 around it and will create a bog and a swamp.

5 The pits will eventually seal off by par-  
6 ticles of iron sulfate, bentonite, mud particles, and even-  
7 tually, the pits will eventually fill -- seal the bottom and  
8 it will start to overflow if they're continued to be used,  
9 and when they overflow on the surface, well, of course,  
10 they'll migrate to the lake.

11 Q Is that opinion based upon your  
12 experience and knowledge of the operations at Pollution Con-  
13 trol?

14 A Yes, it's -- that's exactly what's hap-  
15 pened to us. Of course, we -- we discharge directly into  
16 the lake but the -- whenever we have built -- whenever we've  
17 built some new pits at Pollution Control, or whenever -- the  
18 former management had built some new pits back in the seven-  
19 ties, the water sub-irrigated and migrated in a circular  
20 fashion and killed quite a bit of vegetation and in fact de-  
21 stroyed approximately ten acres. We had a debate about it  
22 being ten acres. I thought it was more than ten acres; my  
23 partners said that -- had it surveyed and I believe Don and  
24 Jim Maddox were my partners in Pollution Control at that  
25 time, and they had this survey done by Mr. West, which de-

1   picts the destroyed acreage adjacent to our pits, and which  
2   is in a south and easterly flow from the pits migrating down  
3   towards the lake, and all the grass and vegetation was com-  
4   pletely destroyed in this area.

5                   MR. STAMETS:   I think now is  
6   kind of a good time to figure out where we are in this case.

7                   How much longer do you antici-  
8   pate Mr. Squires testimony is going to be?

9                   MR. KELLAHIN:   Oh, about ten  
10   minutes, I would assume, then I'll be finished.

11                  MR. STAMETS:   Mr. Weber, how  
12   much time in cross examination?

13                  MR. WEBER:   Sir, I would anti-  
14   cipate about fifteen to twenty minutes. I would like, if at  
15   all possible, to take the opportunity to consult with my  
16   clients with regard to how to approach this further.  
17   There's a possibility of some rebuttal evidence and I'd like  
18   to consider how we proceed from here, but I'd like to take a  
19   moment to decide if that would not be inappropriate.

20                  MR. STAMETS:   Why don't we just  
21   take a short break and do that.

22

23                   (Thereupon a short recess was taken.)

24

25                  MR. STAMETS:   You may proceed,

1 Mr. Kellahin.

2 Q Mr. Squires, with the knowledge you have  
3 of the area as a rancher and as an operator and manager of a  
4 disposal facility, do you have an opinion as to whether the  
5 proposed Petro-Thermo facility can be operated by Mr. Ab-  
6 bott, by you, or by anyone else, successfully as it is de-  
7 signed and proposed by the applicant?

8 A No, sir, I don't think it can be. I  
9 think the pits will seal up and prevent (not clearly under-  
10 stood) and the particles in the drilling mud will seal the  
11 pits off and I think if the pits continue to be used they'll  
12 overflow and they'll destroy all the vegetation that's sur-  
13 rounding the site and I think they'll be over on the Federal  
14 land and I think they'll be over on my ranch and I think the  
15 water will overflow directly into Laguna Plata.

16 Q With regards to the propose method by  
17 which Mr. Thornton recommends that he will handle the solid  
18 waste material by placing it in a series of solid waste pits  
19 and then rotating the use of those pits, drying that mater-  
20 ial and removing it from the pits and placing it on the  
21 loading pad, what has been your experience and what, in your  
22 opinion, is the likelihood of the success of that design?

23 A We have some pits that have been drying  
24 now for a year and a half and we cannot walk on them without  
25 bogging out of sight. It would be impossible. The only way

1 you can get that material out of there is with a dragline  
2 and we've seriously considered using a dragline.

3 You cannot get a piece of equipment in  
4 there; it will -- it will sink out of sight.

5 The top six or eight inches of these mud  
6 pits will dry and crust and they'll appear to be dry. We  
7 continually vacuum some fluid off of these pits in an effort  
8 to dry them and the more we vacuum the fluid off of the top,  
9 the more it shrinks down, but we find that a foot below the  
10 surface of the pits is still extremely boggy down to 15  
11 feet, and these pits are 15 feet deep.

12 Q Mr. Squires, I'll put it pretty bluntly,  
13 is this simply an effort by you to control and discourage  
14 competition --

15 A No.

16 Q -- in the area for the disposal of waste  
17 products and produced salt water?

18 A No, it is not. I have been consistent in  
19 protecting the environment since 1968. The only reason  
20 we're in the water disposal business in the first place is  
21 because we own a rather unique area that happened to be on  
22 our ranch and we wanted to own it and control it and be able  
23 to control this situation.

24 MR. KELLAHIN: I have nothing  
25 further.

1 MR. STAMETS: Mr. Weber?

2 MR. WEBER: Sir, if I may.

3  
4 CROSS EXAMINATION

5 BY MR. WEBER:

6 Q You indicated before that you retained  
7 Mr. Ed Reed, your own hydrologist, to do an acceptable study  
8 and he indicated that disposal of brines in Laguna Gatuna  
9 and Laguna Plat would not be harmful to the environment, is  
10 that correct:

11 A Yes, sir.

12 Q And you indicated that Petro-Thermo Cor-  
13 poration is one of your competitors. In what area are you  
14 competitors?

15  
16 (Due to faulty reproduction on the  
17 tapes this portion is not transcribed.)  
18

19 A The pit was right here. The material  
20 leaked laterally to this area and then towards the arm of  
21 the lake.

22 Q All right, sir. So in other words, the  
23 -- the leaking was towards Laguna Gatuna.

24 A To begin with the leaking was laterally  
25 and then as the water increased, it created salt water



1 springs all along this whole area that we have depicted  
2 here. There would be outcroppings of water along there 300  
3 yards from the surface of the lake itself and flow over the  
4 top of the (not clearly understood.)

5 Q Yes, sir. You operate a disposal system  
6 where you directly discharge into the waters of Laguna  
7 Gatuna, is that not correct?

8 A That's correct.

9 Q Would you not concede that the proposal  
10 by Petro-Thermo Corporation to use infiltration would be a  
11 more environmentally safe method?

12 A No, I would not. I think the filtration  
13 system would plug up with bentonite and clays and -- and  
14 particles associated with produced water.

15 MR. WEBER: I have no further  
16 questions of this witness.

17 MR. STAMETS: All right, this  
18 witness may be excused.

19 MR. WEBER: Sir, at this point  
20 if we can reach stipulation as to admissibility into evi-  
21 dence of these photographs, which are described on the back,  
22 a description of spring discharge, photograph of Pollution  
23 Control's disposal facility, photograph of the dunes south  
24 of Laguna Plata, and the arroyos and looking north to show  
25 the nature of the vegetation around the proposed disposal

1 site.

2 At this time I would move to  
3 introduce Petro-Thermo Corporation's Exhibits One through  
4 Ten.

5  
6 (REPORTER'S NOTE: Petro-Thermo's tendered  
7 photographs were numbered Exhibits Eleven through  
8 Fifteen and all Petro-Thermo Exhibits were admitted  
9 in evidence.)

10  
11 At the hour of 5:30 o'clock p. m. the hearing was  
12 adjourned.

13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

## C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO  
HEREBY CERTIFY the foregoing Transcript of Hearing before  
the Oil Conservation Division (Commission) was reported by  
me; that the said transcript is a full, true, and correct  
record of the hearing, prepared by me to the best of my  
ability.

Sally W. Boyd CSR