

STATE OF NEW MEXICO  
ENERGY AND MINERALS DEPARTMENT  
OIL CONSERVATION DIVISION  
STATE LAND OFFICE BLDG.  
SANTA FE, NEW MEXICO

9 January 1986

EXAMINER HEARING

IN THE MATTER OF:

Application of Doyle Hartman for a                   CASE  
nonstandard gas proration unit and                   8803  
unorthodox gas well location, Lea  
County, New Mexico.

BEFORE: David R. Catanach, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Division:

Jeff Taylor  
Attorney at Law  
Legal Counsel to the Division  
State Land Office Bldg.  
Santa Fe, New Mexico 87501

For the Applicant:

William F. Carr  
Attorney at Law  
CAMPBELL & BLACK P. A.  
P. O. Box 2208  
Santa Fe, New Mexico 87501

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

I N D E X

DANIEL S. NUTTER

Direct Examination by Mr. Carr	3
Cross Examination by Mr. Catanach	10

E X H I B I T S

Hartman Exhibit One, Plat	5
Hartman Exhibit Two, Cross Section A-A'	8
Hartman Exhibit Three, Cross Section B-B'	11
Hartman Exhibit Four, Cross Section C-C'	12

1  
2 MR. CATANACH: Call next Case  
3 8803.

4 MR. TAYLOR: The application of  
5 Doyle Hartman for a nonstandard gas proration unit and an  
6 unorthodox gas well location, Lea County, New Mexico.

7 MR. CARR: May it please the  
8 Examiner, my name is William F. Carr, with the law firm  
9 Campbell & Black, P. A., of Santa Fe. We represent Mr.  
10 Hartman.

11 I have one witness.

12 MR. CATANACH: Are there any  
13 other appearances in this case?

14 Will the witness please stand  
15 and be sworn?

16  
17 (Witness sworn.)  
18

19 DANIEL S. NUTTER,  
20 being called as a witness and being duly sworn upon his  
21 oath, testified as follows, to-wit:

22  
23 DIRECT EXAMINATION

24 BY MR. CARR:

25 Q Will you state your full name and place

1 of residence?

2 A Dan Nutter, and I live in Santa Fe, New  
3 Mexico.

4 Q Mr. Nutter, by whom are you employed and  
5 in what capacity?

6 A I'm a consulting petroleum engineer and I  
7 have been employed by Mr. Hartman in this particular case.

8 Q Have you previously testified before this  
9 Division and had your credentials as a petroleum engineer  
10 accepted and made a matter of record?

11 A Yes, I have.

12 Q Are you familiar with the application of  
13 Mr. Hartman in this case?

14 A I am.

15 Q Are you familiar with the subject area?

16 A Yes, I am.

17 MR. CARR: Are the witness'  
18 qualifications acceptable?

19 MR. CATANACH: The witness is  
20 considered qualified.

21 Q Would you please state what Mr. Hartman  
22 seeks with this application?

23 A Mr. Hartman seeks the approval of a non-  
24 standard gas proration unit in the Jalmat Gas Pool and the  
25 approval of an unorthodox location for a well to be drilled

1 on that nonstandard proration unit.

2 Q Would you refer to what has been marked  
3 for identification as Hartman Exhibit Number One, identify  
4 this and review it?

5 A Exhibit Number one is a land plat showing  
6 the wells that have been drilled in the vicinity of our pro-  
7 posed proration unit, as well as the wells that have pre-  
8 viously been drilled on that proration unit.

9 Also depicted on the land plat are the  
10 structures on the base -- on the top of the Yates formation.

11 The nonstandard proration unit which we  
12 are seeking approval for today is in the west half of Sec-  
13 tion 34 of Township 25 South, Range 37 West. That nonstan-  
14 dard proration unit is outlined in yellow on the exhibit.

15 Q And you mean 37 East, do you not, Mr.  
16 Nutter.

17 A 37 East. The nonstandard proration unit  
18 is outlined in yellow on the exhibit.

19 At a point 990 from the south line and  
20 660 feet from the west line of Section 30 is a red dot which  
21 is our proposed Doyle Hartman Dabbs Well No. 3.

22 Also depicted on the exhibit are three  
23 cross sections, which we will go into as further exhibits.

24 You will note that the west half of Sec-  
25 tion 3 has had a total of six -- five wells drilled on it.

1 Our proposed well will be the sixth well.

2 The northernmost well, which is located  
3 in Unit E of Section 34, was a deep test drilled by Western  
4 Natural to a total depth of 10,273 feet in the Devonian for-  
5 mation. It was plugged and abandoned as a dry hole.

6 The second well in Unit E is a Langlie  
7 Mattix well which was tested in the Jalmat a number of years  
8 ago and produced from the Jalmat and then was completed in  
9 the Langlie Mattix Field; however, the Commission's records  
10 at the present time reflect that this is a Jalmat oil well,  
11 but we will -- we've recently acquired this lease and we  
12 will file papers to reclassify this well as a Langlie  
13 Mattix, because there are no perforations at the present  
14 time open in the Jalmat.

15 In Unit letter M there are three wells,  
16 including the one that we're proposing to drill at this  
17 time.

18 The Dabbs No. 1 Well is the gas well  
19 that's shown at the intersection of cross sections A-A' and  
20 B-B'. This well was formerly a Jalmat gas well but has not  
21 produced in recent years.

22 Also in that same 40-acre tract is a dry  
23 hole which was drilled to the Devonian formation. This is  
24 the Enfield Dabbs Well No. 1, and we will make reference to  
25 that when we get into our cross sections, and also, of

1 course, our proposed location. Then there is another dry  
2 hole that was drilled to the Devonian formation in Unit  
3 letter L to the north there, which was drilled to a depth of  
4 9004 feet and plugged and abandoned.

5 Q Mr. Nutter, this plat also contains a  
6 blue line which indicates the boundary of the Rhodes Gas  
7 Storage Project, does it not?

8 A Yes, it does. Directly offsetting, or  
9 diagonally offsetting the southwest corner of the proposed  
10 proration unit, is a blue line that is the northeast corner  
11 of the Rhodes Gas Pool. Now this was formerly designated as  
12 the Rhodes Gas Storage Area, but El Paso Natural Gas no  
13 longer uses it for gas storage. They're in the process of  
14 withdrawing the gas from this pool at the present time and  
15 recently came in, had the pool, had this area deleted from  
16 the Jalmat Gas Pool. It's a nonprorated gas pool which is  
17 producing small volumes of gas now. They've just about  
18 blown the whole thing down at the present time.

19 Q What is the red line on the right of the  
20 exhibit running north and south?

21 A This is a pinchout that runs north and  
22 south throughout Township 25 South, Range 37 East, and to  
23 the east of this the porosity is decreased to a great ex-  
24 tent.

25 Some wells that are drilled very close to

1 the porosity pinchout are nonproductive, but if you move  
2 farther east there's a chance of getting porosity and  
3 productivity in the Jalmat Pool.

4 However, to the west of this porosity  
5 pinchout the Jalmat Pool is productive.

6 Q Mr. Nutter, will you now refer to cross  
7 section A-A', which is Exhibit Number Two and review it for  
8 the examiner?

9 A Cross Section A-A' is a north/south cross  
10 section and starting from left to right we're going from  
11 north to south on the plat, Exhibit Number One.

12 The first well is the well that I men-  
13 tioned before, being the Dabbs No. 2 Well, which was drilled  
14 in 1952. They attempted an open hole completion in the well  
15 from 2920 to 3300 in the Seven Rivers and the Queen. This  
16 was before the Jalmat and the Langie Mattix were separated  
17 and the Queen was part of the same pool; however, that well  
18 made a small amount of oil, lots of water, and was plugged  
19 back to 2875 feet, which is in the current boundaries of the  
20 Jalmat Gas Pool

21 It was then perforated from 2745 to 2828  
22 and produced gas from the Jalmat Gas Pool from August of  
23 1952 until February of 1982. The last production in 1982  
24 resulted in a cumulative production 744-million cubic feet  
25 of gas; three-quarters of a billion cubic feet of gas has



1       been produced from the Jalmat in this well.

2               In the month of -- in the year of 1981,  
3       which was its last year of production, it was 350 MCF per  
4       month.

5               The well, as I mentioned before, is now  
6       classified as a Langlie Mattix well. In 1982, when it was  
7       taken off the Jalmat, it was recompleted, cleaned out to  
8       3300 feet, perforated from 3185 to 3235 feet and treated,  
9       completed as a Langlie Mattix oil well.

10              That's its status at the present time,  
11      and as I mentioned, we will file forms redesignating it.

12              This lease has gone through many hands  
13      over the years and the most recent acquisition has been by  
14      Mr. Hartman from Texaco. Texaco acquired it in the Getty  
15      takeover. Getty acquired it from Skelly. Skelly acquired  
16      it from Reserve. I think some of the wells were originally  
17      drilled by Culbertson and Irwin and also back in the old  
18      days, Southern California Exploration had a hand in this lease.

19              It's hard to keep the record straight on  
20      some of these old wells and when the well was reclassified  
21      back in -- or recompleted in the Jalmat back in 1982, for  
22      some reason the forms weren't filed redesignating it as a  
23  
24  
25

1 Langlie Mattix rather than Jalmat, but we will correct that.

2 The next well on the exhibit is the Cul-  
3 bertson and Irwin Dabbs No. 1. Now I must point out that  
4 this is not the log of that well. The No. 1 Well was  
5 drilled back in 1948 and no logs are available for the well.

6 So we have used the log from the Enfield  
7 Dabbs dry hole that is 330 feet to the south and to the east  
8 of Dabbs Well No. 1. Dabbs No. 1, as I mentioned, was drill-  
9 led in 1948. It produced from the Jalmat from 1948 until  
10 1982. The total cumulative production from the well is  
11 3.46-billion cubic feet. It ceased producing in 1981 and  
12 had an average production in 1981 of 305 MCF per month.

13 The next well on the cross section is one  
14 of the better wells in the pool. That would be located in  
15 Unit letter D of Section 3 to the south. This is the  
16 Amerada Kegel "C" Well No. 1 and has produced a total of  
17 7.6-billion cubic feet. I might point out that that well is  
18 located in Unit D of Section 3. The north half of Section 3  
19 is dedicated to the well as a 320-acre proration unit. The  
20 well is located 990 feet from the north line and 990 feet  
21 from the west line of Section 3 and is the same distance  
22 from the boundary -- the northern boundary of this proration  
23 unit as our proposed well is from the southern boundary of  
24 its proration unit.

25 Q So we'd be in a position no closer than

1 they are to the common lease line.

2 A That is correct. They have a 320-acre  
3 unit dedicated to a well 330 feet from -- 990 feet from our  
4 line. We would have a 320-acre well dedicated to a well 990  
5 feet from their line.

6 Q And hopefully we'd be offsetting drainage  
7 with counter-drainage.

8 A Offsetting drainage with counter-drain-  
9 age.

10 Q Would you -- have you now finished your  
11 review of the C. C. Kegel "C" No. 1 Well?

12 A Yes, I have. Now, there are three other  
13 wells on this cross section, which I won't go into in a  
14 great detail. They just go on down into the Rhodes Gas  
15 Pool. Two of the wells are not producing; one of the wells  
16 is producing. That would be the Bates No. 1, which is  
17 located in Unit letter L of Section 10, and it had average  
18 withdrawals of 287 MCF per day in 1985.

19 Q Would you now refer to Exhibit Number  
20 Three, Hartman's cross section B-B' and briefly review that  
21 for the examiner.

22 A B-B' is the orange line depicted on the  
23 Exhibit Number One. I won't bother with going into the  
24 wells on the west end of the proration unit.

25 These exhibits were designed to show the

1 productivity of the area -- of the area in which we're pro-  
2 posing our nonstandard proration unit. I think it can be  
3 well established that it's productive without going ot the  
4 extreme far west, so I won't even mention the wells in Sec-  
5 tion -- in letters I-31, P-31, or P-32, or E Section 32.

6 I will mention the next well, which is in  
7 letter J of Section 33, which is two locations to the west  
8 of the proposed well.

9 The well in Unit letter J of Section 33  
10 was completed in 1955. It was perforated in the Jalmat Gas  
11 Pool. It last produced in March of 1983 and the cumulative  
12 gas production from the Jalmat was 8.2-billion cubic feet of  
13 gas, and I believe that it establishes that the southeast  
14 quarter of Section 33, which is offsetting the southernmost  
15 160 acres of our proration unit, has been productive from  
16 gas and probably still is productive of gas from the Jalmat.

17 The next well on this cross section is  
18 the Amerada Kegel Well No. 1, which we referred to in the  
19 previous cross section in Unit letter D of Section 3, and  
20 then we'll go on to the C. C. Kegel "C" No. 2, which is Unit  
21 letter O of Section 3, and it's getting over close to that  
22 porosity barrier, so you'll see that while it did show gas  
23 on the drill stem test, it was never completed as a Jalmat  
24 gas well and has been plugged and abandoned since it was  
25 completed in 1957.

1                   Q           All right, Mr. Nutter, would you now go  
2 to the C-C' cross section, Hartman Exhibit Four, and review  
3 this?

4                   A           Exhibit Number Four is the purple line on  
5 Exhibit Number One. It runs across section from inside the  
6 Rhodes Gas Pool, the first well being El Paso's Farnsworth  
7 Well No. 1, located in Unit letter M of Section 4; the next  
8 well being El Paso's Farnsworth "C" No. 2, which is located  
9 in Unit letter G of Section 4; then we go on to the Texaco  
10 Dabbs No. 1 Well, which we're referred to previously. It's  
11 the cross section -- it's on the cross section, the inter-  
12 section of cross sections A-A' and C-C'. And finally on  
13 over to the easternmost well.

14                               The left well on the exhibit is still  
15 producing from the Rhodes Storage, or the Rhodes Gas Pool.  
16 In 1985 it had an average production of 394 MCF gas per day.

17                               The next well, there's no log available  
18 for it so we have used the log from an offset well, which is  
19 located 330 feet to the west and 330 feet to the south of  
20 that well. It also produced in 1985 and had an average pro-  
21 duction of 54 MCF per day.

22                               The next well is the Dabbs No. 1, which  
23 we previously discussed.

24                               Now the easternmost well on the exhibit  
25 is the Schemmerhorn Dabbs Well No. 1. It's located in Unit

1 letter E of Section 34. It was drilled in 1953. It pro-  
2 duced gas and was abandoned in the Jalmat Gas Pool in 1964.  
3 It has a cumulative production of 40-million cubic feet of  
4 gas and when it was taken off production, it's last year of  
5 production averaged 184 MCF per month.

6 So it does show that there is gas present  
7 up to the porosity barrier and that there's a small amount  
8 of reserves in that far eastern end of that section.

9 Q Now is that the general conclusion you've  
10 reached from your review of these cross sections?

11 A Yes, it is.

12 Q In your opinion, Mr. Nutter, will gran-  
13 ting this application impair correlative rights?

14 A No, it won't, because we're no closer to  
15 the line offsetting -- of any proration units offsetting us  
16 than they are to us.

17 Q And in your opinion will granting of this  
18 application prevent waste?

19 A I believe that it will, because we know,  
20 as Mr. Hartman has demonstrated many times in the Jalmat Gas  
21 Pool, if the locations are carefully selected and properly  
22 treated, that some of these old low pressure reserves can be  
23 produced, and we would expect to recover a considerable  
24 amount of gas from a well drilled at this proposed location,  
25 which would result in the recovery of reserves that other-

1 wise would not be produced and would prevent waste.

2 Q How soon is Mr. Hartman prepared to go  
3 forward with his -- with the drilling of this well?

4 A Mr. Hartman is ready to move a rig on  
5 this well and start next week.

6 Q Do you therefore request that the order  
7 be expedited?

8 A I certainly would, yes, sir.

9 Q And if the order cannot be expedited will  
10 we be requesting verbal permission to at least commence the  
11 drilling prior to approval of the location?

12 A We would like to be able to file an ap-  
13 plication for a permit to drill with the Hobbs Office and  
14 get approval of that location, of course, subject to the  
15 condition that it would not be produced until the order was  
16 entered approving an unorthodox location.

17 But we do want to get started drilling as  
18 soon as possible.

19 Q Have you reviewed Exhibits One through  
20 Four and can you testify from your own knowledge as to their  
21 accuracy?

22 A Yes, sir, I have gone over these exhi-  
23 bits. These exhibits, frankly, were not prepared by me.  
24 The geology is done by Mr. Hartman. I went over the geology  
25 with him and I agree with him on the geology.

1 MR. CARR: At this time, Mr.  
2 Catanach, we would offer into evidence Hartman Exhibits One  
3 through Four.

4 MR. CATANACH: Exhibits One  
5 through Four will be admitted as evidence.

6 MR. CARR: That concludes my  
7 direct examination of Mr Nutter.

8  
9 CROSS EXAMINATION

10 BY MR. CATANACH:

11 Q Mr. Nutter, is the well in Section 3  
12 still producing at this time?

13 A Yes, it is. The Amerada Kegel Well?

14 Q Yes, sir.

15 A Yes, it is. Its cumulative production  
16 through June of 1985 was 7.6-billion. Its average produc-  
17 tion in 1985, let's see, its average production in 1985 was  
18 240 MCF per day, with a cum in June of '85 of 7.6-billion.

19 Q Mr. Nutter, the lease in Section 33, the  
20 east half of the southeast quarter, do you know who that is  
21 leased to?

22 A There's a large proration unit there, Mr.  
23 Catanach, which I did not describe to you. It's a -- it's a  
24 -- it's a 440 acre proration unit. It comprises the south  
25 half of Section 33, the west half of the northwest quarter



1 and the southeast of the southwest -- of the northwest quar-  
2 ter.

3           The producing wells on that, I mentioned  
4 that the well in Unit letter J was no longer producing, but  
5 the wells to the west there are operated by Alpha Twenty-  
6 One, that No. 5 in Unit letter E, which is on the cross sec-  
7 tion, is currently producing from the Jalmat, and the well  
8 that's designated as TPO El Paso No. 2, located in Unit let-  
9 ter L of Section 33 is producing from the Jalmat.

10           So those two wells, which are in the far  
11 west of that proration unit, are producing for that prora-  
12 tion unit.

13           There's another proration unit to the  
14 northwest. That would be comprising the east half of the  
15 northeast quarter of Section 33 and the southwest quarter of  
16 the northeast quarter of Section 33, a 120-acre unit, and  
17 that is being drained by the well in -- No. 1, which is lo-  
18 cated in Unit letter C of Section 33.

19           To the north there's a 120-acre proration  
20 unit comprising the southwest quarter and the east half of  
21 the southwest quarter, and it's being drained by that well,  
22 Santa Fe No. 1, located in Unit letter M of that section.

23           And then, of course, with the Amerada  
24 320-acre unit to the south of the proration unit and they  
25 don't have proration units in the Rhodes Gas Pool because it

1 is nonprorated, but I believe the acreage dedication for  
2 that Well No. 2-C, which is on the cross section, is the  
3 northeast quarter.

4 So those are the proration units that  
5 surround the proposed proration unit. There's no proration  
6 unit at the present time in the east half of Section 34.  
7 When that well was plugged and abandoned, that proration  
8 unit was abandoned.

9 Q The operator of the proration unit in  
10 Section 33, the large proration unit, is Alpha Twenty-One?

11 A Yes, sir.

12 MR. CATANACH: I have no fur-  
13 ther questions of Mr. Nutter.

14 Are there any further questions  
15 of the witness?

16 MR. CARR: No further ques-  
17 tions.

18 MR. CATANACH: Mr. Nutter may  
19 be excused.

20 Is there anything further in  
21 Case 8803?

22 If not, it will be taken under  
23 advisement.

24

25

(Hearing concluded.)

## C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY  
CERTIFY the foregoing Transcript of Hearing before the Oil  
Conservation Division (Commission) was reported by me; that  
the said transcript is a full, true, and correct record of  
the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is  
a complete record of the proceedings in  
the Examiner hearing of Case No. 8803  
heard by me on Jan 9 1986

David R. Catanach, Examiner  
Oil Conservation Division