

STATE OF NEW MEXICO  
ENERGY AND MINERALS DEPARTMENT  
OIL CONSERVATION DIVISION  
STATE LAND OFFICE BUILDING  
SANTA FE, NEW MEXICO

5 February 1986

EXAMINER HEARING

IN THE MATTER OF:

Application of Pollution Control,                      CASE  
Inc., for salt water disposal,                      8817  
Lea County, New Mexico.

BEFORE: David R. Catanach, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Oil Conservation Division:	Jeff Taylor Legal Counsel to the Division Oil Conservation Division State Land Office Bldg. Santa Fe, New Mexico 87501
---------------------------------------	--

For the Applicant:	W. Thomas Kellahin Attorney at Law KELLAHIN & KELLAHIN P. O. Box 2265 Santa Fe, New Mexico 87501
--------------------	--

## I N D E X

JOE D. RAMEY

Direct Examination by Mr. Kellahin 4

Cross Examination by Mr. Catanach 11

## E X H I B I T S

Applicant Exhibit One, Form C-108 4

Applicant Exhibit Two, Plat 4

Applicant Exhibit Three, Schematic 3

Applicant Exhibit Four,

Applicant Exhibit Five, Water Analyses 9

Applicant Exhibit Six, Document 10

Applicant Exhibit Seven, Return Receipts 11

Applicant Exhibit Eight, Letter 12

1  
2 MR. CATANACH: Call Case 8817.

3 MR. TAYLOR: The application of  
4 Pollution Control, Inc., for salt water disposal, Lea Coun-  
5 ty, New Mexico.

6 MR. CATANACH: Are there  
7 appearances in this case?

8 MR. KELLAHIN: If the Examiner  
9 please, I'm Tom Kellahin of Santa Fe, New Mexico appearing  
10 on behalf of the applicant and I have one witness.

11 I'd like the record to reflect  
12 that Mr. Joe Ramey is my professional petroleum engineer.  
13 He's my technical witness for this case and that he has pre-  
14 viously been sworn and qualified as an expert.

15 MR. CATANACH: Mr. Ramey, I  
16 would advise you that you are still under oath in this case.

17 MR. RAMEY: Yes, sir. I always  
18 tell the truth, anyway.

19  
20 JOE D. RAMEY,  
21 being called as a witness and being previously sworn upon  
22 his oath, testified as follows, to-wit:

23  
24  
25

## DIRECT EXAMINATION

BY MR. KELLAHIN:

Q Mr. Ramey, have you been employed as a petroleum engineer to make an examination on behalf of Pollution Control, Inc., of its request in this case for approval of use of its L & B Oil Company, Inc. State "AG" Well No. 1 as a salt water disposal well?

A Yes, I have been.

Q Pursuant to that employment have you prepared Commission Form C-108 and the attachments required by the Division?

A Yes, I have.

Q Let me show you what is marked as Exhibit Number One and ask you if that is a true and correct copy of the C-108 form that you prepared?

A Yes, it is.

Q Let's turn to Exhibit Number Two and have you identify for us the proposed disposal well.

A The proposed disposal well is in the southwest quarter of the northeast quarter of Section 33, Township 18 South, Range 36 East. This is the formerly L & B Oil Company State "AJ" Well No. 1 and the well was drilled as an oil and gas test. It was drilled to a total depth of 12,164 feet to the Devonian. The well was spudded on 12-17-82 and plugged and abandoned on 12 -- or 2-17-83.

1           Q           What is the proposed disposal interval  
2 that Pollution Control, Inc. will utilize in the well?

3           A           The, probably the main disposal interval  
4 will be the Devonian; however, we are seeking the entire  
5 open hole interval from 5000 feet down to the total depth of  
6 12,164 for disposal purposes.

7           Q           On Exhibit Number Two, Mr. Ramey, have  
8 you made any investigation of any possible wellbores that  
9 produce from or penetrate through the disposal interval  
10 within the half mile radius surrounding the disposal well?

11          A           Yes. There are no wells within the --  
12 within the area of review. There's one well just outside  
13 the area of review but it is not within the one-half mile  
14 radius prescribed by the Division.

15                   There are -- there are oil wells within  
16 two miles of the -- of the well, which are producing from  
17 the San Andres, and since the San Andres will be open in  
18 this interval, why, it was necessary to have a hearing on  
19 the well.

20          Q           Can you describe for the Examiner what  
21 the applicant proposes to do in terms of maximum daily vol-  
22 ume of disposal?

23          A           The initial volume will be around 2000  
24 barrels per day that they are -- that Pollution Control is  
25 hauling in the immediate area which would go to this well,

1 and they're -- they're anticipated maximum volume would be  
2 -- would be 10,000 barrels a day.

3 Q Do you have a recommendation to the Exa-  
4 miner in terms of a surface limitation pressure?

5 A Yes. My application requested, well, on  
6 the fourth sheet on the application, on the discussion  
7 sheet, I listed 2430 psi, which is the top of the Devonian  
8 and more appropriately, the top of the injection interval  
9 should be 5000 feet, so a maximum pressure of 1000 psi is  
10 requested. So if you would make that change, Mr. Examiner.

11 Q What is to be the source of the water  
12 that will be disposed of in the disposal well?

13 A Primary source is -- is from the Bone  
14 Spring in the Scharb area. That's where the initial volumes  
15 will come from, but this will be -- this will be an open  
16 system and available for truck delivery. They will make a  
17 commercial disposal well out of it, so that it could be from  
18 -- from any water producing formation in this area.

19 Q What recommendations do you have to the  
20 examiner with regards to submittal of an analysis to demon-  
21 strate the compatibility of disposal fluids with formation  
22 fluids found in the injection interval?

23 A Well, Pollution Control will obtain a,  
24 you know, a large volume of the water in the wellbore upon  
25 conversion and will retain this, and then they will, for any

1 -- any type water that is brought in they will run compat-  
2 ibility tests. In other words, they will try to get samples  
3 of San Andres water, Devonian water, Bone Spring water, any-  
4 thing that is likely to be carried to the well, and run com-  
5 patibility tests on it, so only those waters that are compa-  
6 tible to the waters in the injection formation will be al-  
7 lowed to be disposed of in the well.

8 It's certainly to their interest to pre-  
9 vent pluggage of the injection interval.

10 Q Let's turn now to Exhibit Number Three,  
11 Mr. Ramey, and have you review with us the information con-  
12 tained on the schematic of the wellbore for the disposal  
13 well.

14 A The well has 13-3/8ths set at 373 feet  
15 and cemented with 400 sacks, which is circulated.

16 And it has 8-5/8ths at 5000 feet, and it  
17 was cemented with 2300 sacks and was also circulated.

18 The hole size down to the total depth of  
19 12,164 is 7-7/8ths and of course we propose to inject into  
20 the open hole interval from 5000 to 12,164.

21 The operator will set 2-7/8ths inch plas-  
22 tic coated tubing with a -- I've listed a Baker Model D; I  
23 doubt if he will set a Baker Model D. He will probably set  
24 some kind of retrievable packer, maybe a Baker LocSet pack-  
25 er, but that will be determined and will be, you know,

1 cleared with the supervisor of the Hobbs District Office as  
2 to the proper packer before it is set in there.

3 I have listed the injection formation as  
4 Abo/Wolfcamp/Mississippian/Devonian. I think the Devonian  
5 will be the major disposal zone but if we -- if we get to  
6 the anticipated maximum interval of 10,000 barrels a day, we  
7 will probably have a relatively high fluid level in the --  
8 in the well, and so these other zones could possibly take  
9 water at that time.

10 And then it just lists the oil pools that  
11 are in the area, also, which is the West Arkansas Junction-  
12 San Andres Pool to the northwest and then the Monument and  
13 Eumont Pools to the southeast of this area.

14 Q Do you have an opinion, Mr. Ramey, as to  
15 whether or not this well has been adequately cemented so as  
16 to isolate the disposal formation from any shallow fresh  
17 water sands?

18 A Yes. It has -- it has both the surface  
19 casing and the intermediate casing that are cemented solid.  
20 They're circulated to the surface and should -- should offer  
21 adequate protection to the fresh water in the area, which is  
22 at around 280 feet.

23 Q Let's turn back to Exhibit Number Two and  
24 have you identify for the Examiner within the 2-mile radius  
25 those fresh water sources that you've been able to -- to de-



1 termine exist.

2 A There is -- there's one well within a  
3 mile of the -- of the disposal well, and that fresh water  
4 well is in -- would be in Unit A of Section 5, which is  
5 directly to the south. I did not mark those on the exhibit,  
6 Mr. Examiner, I'm sorry, but it is in Unit A of Section 5 of  
7 19, 36.

8 Then there are three wells to the east  
9 and southeast. There is one which would be in the southeast  
10 quarter of Section 27, which would be to the northeast of  
11 the well.

12 There is one in the southeast quarter of  
13 Section 34, which would be just almost due east of the well.

14 And then there's another fresh water well  
15 in Section 3, which is to the -- to the southeast of 19, 36.

16 I've attached analyses of these wells as  
17 part of the application.

18 MR. KELLAHIN: Those are set  
19 forth as Exhibit Number Five, Mr. Examiner.

20 Q In making your study, Mr. Ramey, have you  
21 found from available geologic and engineering data whether  
22 or not there's evidence of open faulting or other hydrologic  
23 communications between the disposal interval and any fresh  
24 water sands?

25 A No, I could find no evidence of any fault-

1       ting or any other hydrologic connection between any of the  
2       open hole interval and the fresh water in the area.

3               Q               And will the disposal well be equipped in  
4       accordance with Division rules for disposal or injection  
5       wells?

6               A               Yes. We will -- one thing I didn't men-  
7       tion, we will put treated oil in the annular space and of  
8       course pressure test it as required and we will also -- also  
9       put a pressure valve on the annular space.

10              Q              Would you turn to Exhibit Number Six and  
11       identify for us the affected offset operators and surface  
12       owners within the area of investigation?

13              A              Yes. There, of course, Snyder, Snyder  
14       Ranches is the -- is the surface owner. Mr. Larry Squires  
15       is President of Snyder Ranches and he's also President of  
16       Pollution Control, so I did not -- I did not send him a no-  
17       tice by certified mail.

18                              Syntero (sic) Oil and Gas Company, Inc.,  
19       is an offset operator, Chevron Oil Company, Phillips Petro-  
20       leum, and Yates Petroleum. Those were -- those were all  
21       sent notice or copies of the application by certified mail.  
22       I've got return receipts for every one but Syntero and got  
23       the -- the letter was returned and said "unable to forward",  
24       and the only address I have found available for Syntero was  
25       from the -- from the New Mexico State Land Office downstairs.

1 I have no idea where they are but an at-  
2 tempt was made to notify them.

3 Q Attached as Exhibit Number Seven, are  
4 those copies of the return receipt cards for those operators  
5 that you were able to serves with notice?

6 A Yes, Chevron, Philips, and Yates.

7 Q All right. In your opinion, Mr. Ramey,  
8 will approval of this application be in the best interest of  
9 conservation, the prevention of waste and the protection of  
10 correlative rights?

11 A Yes, it will.

12 MR. KELLAHIN: That concludes  
13 my examination of Mr. Ramey, Mr. Catanach.

14 We move the introduction of Ex-  
15 hibits One through Seven.

16 MR. CATANACH: Exhibits One  
17 through Seven will be admitted as evidence.

18 MR. KELLAHIN: We also have  
19 available to you, if you desire, logs from the District Of-  
20 fice of the disposal well, if you care to see those.

21  
22 CROSS EXAMINATION

23 BY MR. CATANACH:

24 Q Mr. Ramey, you said that you could not  
25 locate Syntero Oil Company?

1           A           That is correct. I sent them a copy to  
2 their last known address, which is the address that was  
3 filed with the New Mexico State Land Office when they --  
4 when they leased the land.

5                   MR. KELLAHIN: Mr. Examiner,  
6 for information here is the actual envelope that was mailed  
7 on January 20 and shows that it was returned to the sender,  
8 no forwarding address available.

9                   MR. CATANACH: Do you want to  
10 mark that as an exhibit, Mr. Kellahin?

11                  MR. KELLAHIN: Yes, sir, we'll  
12 mark this as Exhibit Number Eight, and if I may make a copy,  
13 I'll put that in the record.

14                  MR. CATANACH: Okay.

15           A           He could just have it, as far as I'm con-  
16 cerned.

17                  MR. KELLAHIN: Okay, thank you.

18                  MR. CATANACH: Exhibit Number  
19 Eight will be admitted into evidence.

20           Q           Mr. Ramey, you stated that the Devonian  
21 was going to be the main primary injection interval. Have  
22 you all done log analysis or anything else that would indi-  
23 cate that that would be the primary injection zone?

24           A           Just in -- just in looking at the logs.  
25 I have not, you know, I did not try to do any porosity cal-

1       culations or anything like that.

2                       In talking to Mr. Squires, he was on the  
3 well when they drill stem tested it and they recovered like  
4 5000 feet of water out of the zone, which indicates to me  
5 good porosity and good permeability, and I think that would  
6 be the primary zone.

7                       Just a few miles to the east of this well  
8 PetroTherm has a disposal well in the Abo, so I think that's  
9 -- that certainly is a zone that is capable of taking water.

10                      In analyzing the log, or just looking for  
11 good porous intervals, why, I found, you know, I found an  
12 interval in the Wolfcamp and also an interval in the Missis-  
13 sippian, which I think all of those will probably take  
14 water.

15                      Q               Now the only producing zone in that whole  
16 area is the San Andres, is that correct.

17                      A               Yes, sir, that is correct.

18                      Q               That's within two miles?

19                      A               Yes, it's just about -- it would be --  
20 there are several wells just a mile and a half or so to the  
21 north and west, which are in the -- the West Arkansas Junc-  
22 tion-San Andres Pool.

23                      There's a possibility that the San Andres  
24 will also take some water in this area, but I don't think it  
25 would ever be a factor in affecting oil production in that

1 particular pool.

2 Q Mr. Ramey, do you know when the well was  
3 originally drilled, were any of these other zones tested?

4 A There -- I do not know. There were no  
5 drill stem tests filed with the Division and no information  
6 on the 105 that was filed. I tried to find L & B Oil Com-  
7 pany and I couldn't; could get no information on that.  
8 There was nothing on the scout tickets so I would assume  
9 they were either tested or did not indicate anything. I'm  
10 sure they had a mudlogger on the place when they drilled the  
11 well; I think anyone would on a wildcat of this type and I'm  
12 reasonable certain every zone was (not clearly understood.)

13 Q Mr. Ramey, that source water is going to  
14 be trucked in, is that correct?

15 A Yes, sir. Right now Pollution Control  
16 is, or General Petroleum, which is another subsidiary of the  
17 Snyder Ranches - Pollution Control consortium, and they're  
18 hauling in excess of 2000 or around 2000 barrels a day to  
19 their disposal facility at Laguna Gatuna from the Scharb-  
20 Bone Spring area, and this would be -- this would be a shor-  
21 ter haul to this well and would save the operator some  
22 money.

23 Q Mr. Ramey, our rules require that the in-  
24 jection zones, that an analysis be done of the water in the  
25 proposed injection zones. Apparently there's no way that

1 you all can do that.

2 A I don't think so; not -- not really eco-  
3 nomical. We'd, of course, have to go in and set, you know,  
4 some kind of a open hole packer or a set of two open hole  
5 packers to isolate each zone if we did an analysis.

6 What we had anticipated doing was after  
7 -- after the well was cleaned out and all the zones cleared,  
8 was getting -- just getting an analysis of the mixed water,  
9 a large sample of mixed water (not understood.)

10 Q And can that be provided to us when  
11 that's done?

12 A Yes, sir, it will be. Certainly will be.

13 MR. CATANACH: I have no fur-  
14 ther questions of the witness.

15 Are there any other questions  
16 of the witness?

17 If not, he may be excused.

18 MR. RAMEY: Thank you, Mr. Exa-  
19 miner.

20 MR. CATANACH: Is there any-  
21 thing further in Case 8817?

22 If not, it will be taken under  
23 advisement.

24

25 (Hearing concluded.)

## C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY  
CERTIFY that the foregoing Transcript of Hearing before the  
Oil Conservation Division (Commission) was reported by me;  
that the said transcript is a full, true, and correct record  
of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is  
a complete record of the proceedings in  
the Examiner hearing of Case No. 8817,  
heard by me on Feb. 5 1986.

David R. Catonah, Examiner  
Oil Conservation Division