

STATE OF NEW MEXICO
ENERGY AND MINERALS DEPARTMENT
OIL CONSERVATION DIVISION
STATE LAND OFFICE BUILDING
SANTA FE, NEW MEXICO

5 March 1986

EXAMINER HEARING

IN THE MATTER OF:

Application of Marbob Energy Corpor- CASE
ation for salt water disposal, Eddy 8841
County, New Mexico.

BEFORE: Michael E. Stogner, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Oil Conservation Jeff Taylor
Division: Legal Counsel to the Division
Oil Conservation Division
State Land Office Bldg.
Santa Fe, New Mexico 87501

For the Applicant: William F. Carr
Attorney at Law
CAMPBELL & BLACK
P. O. Box 2208
Santa Fe, New Mexico 87501

I N D E X

DANIEL S. NUTTER

Direct Examination by Mr. Carr 4

Cross Examination by Mr. Stogner 24

E X H I B I T S

Marbob Exhibit One, Plat 6

Marbob Exhibit Two, Data Sheet 6

Marbob Exhibit Three, Schematic 7

Marbob Exhibit Four, Schematic 9

Marbob Exhibit Five, Data Sheet 10

Marbob Exhibit Six, Water Analyses 12

Marbob Exhibit Seven, Geologic Report 13

Marbob Exhibit Eight, Schematic 14

Marbob Exhibit Nine, Log 15

Marbob Exhibit Ten, Well File 15

Marbob Exhibit Eleven, Production Information 20

Marbob Exhibit Twelve, Correspondence 21

Marbob Exhibit Thirteen, Legal Notice 21

1	2
3	4
5	6
7	8
9	10
11	12
13	14
15	16
17	18
19	20
21	22
23	24
25	26
27	28
29	30
31	32
33	34
35	36
37	38
39	40
41	42
43	44
45	46
47	48
49	50
51	52
53	54
55	56
57	58
59	60
61	62
63	64
65	66
67	68
69	70
71	72
73	74
75	76
77	78
79	80
81	82
83	84
85	86
87	88
89	90
91	92
93	94
95	96
97	98
99	100

THE UNIVERSITY OF CHICAGO PRESS 88

THE UNIVERSITY OF CHICAGO PRESS 88

THE UNIVERSITY OF CHICAGO PRESS 88

88

1 MR. STOGNER: We'll call next
2 Case 8841, which is the application of Marbob Energy Corpor-
3 ation for salt water disposal, Eddy County, New Mexico.

4 We will now call for appear-
5 ances.

6 MR. CARR: May it please the
7 Examiner, my name is William F. Carr, with the law firm
8 Campbell and Black, P. A., of Santa Fe. We represent Marbob
9 Energy Corporation and have one witness.

10 MR. STOGNER: Are there any
11 other appearances in this matter?

12 There being none, will the wit-
13 nesses please stand to be sworn at this time?

14
15 (Witness sworn.)

16
17 MR. STOGNER: Mr. Carr?

18
19 DANIEL S. NUTTER,
20 being called as a witness and being duly sworn upon his
21 oath, testified as follows, to-wit:

22
23
24
25

DIRECT EXAMINATION

BY MR. CARR:

Q Will you state your full name and place of residence?

A My name is Dan Nutter. I live in Santa Fe, New Mexico.

Q Mr. Nutter, by whom are you employed and in what capacity?

A I'm a consulting petroleum engineer employed by Marbob Energy Corporation in this particular case.

Q Have you previously testified before the Division and had your credentials as a petroleum engineer accepted and made a matter of record?

A I have.

Q Are you familiar with the application filed in this case on behalf of Marbob Energy Corporation?

A I have.

Q And are you familiar with the proposed salt water disposal well?

A Yes, sir.

MR. CARR: We tender Mr. Nutter as an expert witness in petroleum engineering.

MR. STOGNER: And Mr. Nutter is so qualified.

Q Mr. Nutter, would be briefly state what

1 Marbob seeks with this application?

2 A Marbob is seeking approval for the disposal of produced water in its F. M. Robinson Well No. 1, which is located 1850 feet from the north line and 660 feet from the west line of Section 27, Township 17 South, Range 29 East, Grayburg-Upper Pennsylvanian Pool, Eddy County, New Mexico.

8 Injection would be into the Cisco formation through the perforated interval from 9279 feet to 9290 feet in that well.

11 Q Mr. Nutter, has Marbob filed Division Form C-108 as required by Division rules?

13 A Yes, they have.

14 Q What is the present status of the subject well?

16 A The present status of the subject well is a temporarily abandoned Canyon producer.

18 Q Now you indicated that Marbob proposed to dispose in the Cisco formation.

20 A That is correct.

21 Q Are there any other Cisco wells within a half mile radius of the proposed disposal well?

23 A There are no Cisco wells within two miles of the proposed well.

25 Q Would you refer to what has been marked

1. Introduction	1
2. The Problem of the Paradoxes	10
3. The Solution of the Paradoxes	20
4. The Problem of the Paradoxes	30
5. The Solution of the Paradoxes	40
6. The Problem of the Paradoxes	50
7. The Solution of the Paradoxes	60
8. The Problem of the Paradoxes	70
9. The Solution of the Paradoxes	80
10. The Problem of the Paradoxes	90
11. The Solution of the Paradoxes	100
12. The Problem of the Paradoxes	110
13. The Solution of the Paradoxes	120
14. The Problem of the Paradoxes	130
15. The Solution of the Paradoxes	140
16. The Problem of the Paradoxes	150
17. The Solution of the Paradoxes	160
18. The Problem of the Paradoxes	170
19. The Solution of the Paradoxes	180
20. The Problem of the Paradoxes	190
21. The Solution of the Paradoxes	200
22. The Problem of the Paradoxes	210
23. The Solution of the Paradoxes	220
24. The Problem of the Paradoxes	230
25. The Solution of the Paradoxes	240
26. The Problem of the Paradoxes	250
27. The Solution of the Paradoxes	260
28. The Problem of the Paradoxes	270
29. The Solution of the Paradoxes	280
30. The Problem of the Paradoxes	290
31. The Solution of the Paradoxes	300
32. The Problem of the Paradoxes	310
33. The Solution of the Paradoxes	320
34. The Problem of the Paradoxes	330
35. The Solution of the Paradoxes	340
36. The Problem of the Paradoxes	350
37. The Solution of the Paradoxes	360
38. The Problem of the Paradoxes	370
39. The Solution of the Paradoxes	380
40. The Problem of the Paradoxes	390
41. The Solution of the Paradoxes	400
42. The Problem of the Paradoxes	410
43. The Solution of the Paradoxes	420
44. The Problem of the Paradoxes	430
45. The Solution of the Paradoxes	440
46. The Problem of the Paradoxes	450
47. The Solution of the Paradoxes	460
48. The Problem of the Paradoxes	470
49. The Solution of the Paradoxes	480
50. The Problem of the Paradoxes	490
51. The Solution of the Paradoxes	500
52. The Problem of the Paradoxes	510
53. The Solution of the Paradoxes	520
54. The Problem of the Paradoxes	530
55. The Solution of the Paradoxes	540
56. The Problem of the Paradoxes	550
57. The Solution of the Paradoxes	560
58. The Problem of the Paradoxes	570
59. The Solution of the Paradoxes	580
60. The Problem of the Paradoxes	590
61. The Solution of the Paradoxes	600
62. The Problem of the Paradoxes	610
63. The Solution of the Paradoxes	620
64. The Problem of the Paradoxes	630
65. The Solution of the Paradoxes	640
66. The Problem of the Paradoxes	650
67. The Solution of the Paradoxes	660
68. The Problem of the Paradoxes	670
69. The Solution of the Paradoxes	680
70. The Problem of the Paradoxes	690
71. The Solution of the Paradoxes	700
72. The Problem of the Paradoxes	710
73. The Solution of the Paradoxes	720
74. The Problem of the Paradoxes	730
75. The Solution of the Paradoxes	740
76. The Problem of the Paradoxes	750
77. The Solution of the Paradoxes	760
78. The Problem of the Paradoxes	770
79. The Solution of the Paradoxes	780
80. The Problem of the Paradoxes	790
81. The Solution of the Paradoxes	800
82. The Problem of the Paradoxes	810
83. The Solution of the Paradoxes	820
84. The Problem of the Paradoxes	830
85. The Solution of the Paradoxes	840
86. The Problem of the Paradoxes	850
87. The Solution of the Paradoxes	860
88. The Problem of the Paradoxes	870
89. The Solution of the Paradoxes	880
90. The Problem of the Paradoxes	890
91. The Solution of the Paradoxes	900
92. The Problem of the Paradoxes	910
93. The Solution of the Paradoxes	920
94. The Problem of the Paradoxes	930
95. The Solution of the Paradoxes	940
96. The Problem of the Paradoxes	950
97. The Solution of the Paradoxes	960
98. The Problem of the Paradoxes	970
99. The Solution of the Paradoxes	980
100. The Problem of the Paradoxes	990
101. The Solution of the Paradoxes	1000

1 for identification as Marbob Exhibit Number One, identify
2 this, and review it for the examiner?

3 A Exhibit Number One is a plat of the gen-
4 eral area. In the southwest quarter of the northwest quar-
5 ter of Section 27, in the center of the half mile circle, is
6 the well that we propose to dispose of water in. That well
7 is indicated by a gas well symbol. There's a half mile rad-
8 ius circle drawn around the well, as well as a two-mile cir-
9 cle drawn around the well.

10 Q Does this plat also show the lease owner-
11 ship in the area?

12 A Yes, it does. It indicates that the
13 lease ownership is Jack Plemons. It's his Continental State
14 Well -- State Lease.

15 Q Mr. Nutter, would you now like to go to
16 Exhibit Number Two and identify this, please?

17 A Exhibit Number Two is the injection well
18 data sheet. I won't go into a lot of detail on the comple-
19 tion of the well but it does indicate -- because I'll cover
20 that later on another exhibit -- however, it does indicate
21 that injection would be through perforations from 9270 feet
22 to 9290 feet and through 2-3/8ths inch plastic coated tubing
23 set in a 5-1/2 inch Guiberson Uni-6 packer at approximately
24 9215 feet.

25 As mentioned before, injection would be

1 into the Cisco formation.

2 Now with respect to Item 4 at the bottom
3 of this page, has the well ever been perforated in any other
4 zones? List all such perforated intervals and give plugging
5 detail. We have an attachment to the injection well data
6 sheet which describes the previous perforations, but we'll
7 also go into those later on in the testimony.

8 Q Will you now refer to Marbob Exhibit Num-
9 ber Three, identify this and review it, please?

10 A Exhibit Number Three is a sketch of the
11 well in its present condition.

12 You'll note that a 26-inch hole was drill-
13 led and 20-inch conductor pipe set at 190 feet cemented with
14 350 sacks of cement and 12 yards of cement. Cement was cir-
15 culated.

16 Then a 17-1/2 inch hole was drilled to
17 750 feet and 13-5/8ths inch surface casing set with 650
18 sacks, which was circulated.

19 Following this an 11-inch hole was drill-
20 led and 8-5/8ths inch intermediate pipe was set at 3470
21 feet, with 1225 sacks of cement in three stages. Cement
22 circulated on that string of pipe.

23 Following the setting of the intermediate
24 pipe a 7-7/8ths inch hole was drilled to a total depth of
25 11,060 feet. It was plugged back to 10999 feet and 5-1/12

THE HISTORY OF THE

THE HISTORY OF THE

THE HISTORY OF THE

THE HISTORY OF THE

THE HISTORY OF THE

THE HISTORY OF THE

THE HISTORY OF THE

THE HISTORY OF THE

THE HISTORY OF THE

THE HISTORY OF THE

THE HISTORY OF THE

THE HISTORY OF THE

THE HISTORY OF THE

THE HISTORY OF THE

THE HISTORY OF THE

THE HISTORY OF THE

THE HISTORY OF THE

THE HISTORY OF THE

THE HISTORY OF THE

THE HISTORY OF THE

THE HISTORY OF THE

THE HISTORY OF THE

THE HISTORY OF THE

THE HISTORY OF THE

THE HISTORY OF THE

THE HISTORY OF THE

THE HISTORY OF THE

1 inch pipe -- after which 5-1/2 -- before 5-1/2 inch pipe was
2 run at 11062.

3 These depths are confusing because at
4 various times in the well file the depth of the well is
5 given as 11060, 11062, and 11063. However, upon initial
6 completion it was plugged back to 10999. That's pretty well
7 established.

8 The 5-1/2 inch pipe is indicated to have
9 been set at 11062 with 1220 sacks of cement in two stages.
10 The top of that cement is at 5850 feet.

11 Upon setting the 5-1/2 inch pipe the Mor-
12 row formation was perforated from 10911 to 29. It was aci-
13 dized and tested. The calculated absolute open flow upon
14 initial completion was 7,198 MCF per day plus 42 barrels of
15 condensate per day.

16 This went on producing the well until --
17 from the Morrow, until 5-29-79, about two years later, when
18 the perforations in the Morrow formation were squeezed with
19 150 sacks and an attempt was made in the Atoka formation.

20 This formation was perforated from 10363
21 to 65. It was acidized and tested. It was shut in on 6-26-
22 79 after it was determined that the recompletion was unsuc-
23 cessful in the Atoka.

24 In November of 1979 they squeezed these
25 perforations in the Atoka with 75 sacks and plugged back to

1 10200 feet and perforated in the Canyon formation. Perfora-
2 tions in the Canyon are from 9835 feet to 50 feet. This
3 formation was acidized and tested and on 5-22-80 the well
4 flowed 73 barrels of oil, 14 barrels of water, and 431 MCF
5 of gas per day.

6 The well has since quit producing from
7 the Canyon. The tubing has been pulled and it sits there
8 with the perforations still open in the Canyon but no tubing
9 in the well.

10 Q Will you now go to Exhibit Number Four
11 and review the proposed completion for the well?

12 A Exhibit Number Four is an adaptation of
13 the previous exhibit. The first thing we will note is that
14 the -- at the bottom the old Atoka perforations have been
15 squeezed. Those are the perforations from 10363 to 65.

16 The old Morrow perforations from 10911 to
17 29 have also been squeezed.

18 The present Canyon perforations from 9835
19 to 50 feet will be squeezed upon approval by this Division
20 of this application.

21 We'll then set cast iron bridge plug top-
22 ped with two or three sacks of cement at approximately 9500
23 feet and perforate in the Cisco formation from 9270 to 9290
24 feet.

25 We'll then run 2-3/8ths inch plastic

1 lined tubing, set it in the Guiberson Uni-6 packer at approx-
2 imately 92 feet -- 9215 feet, and load the annulus with an
3 inert fluid.

4 After this a pressure gauge will be at-
5 tached at the annulus between the tubing and the long string
6 of 5-1/2 inch pipe.

7 And injection will commence.

8 Q And with this gauge on the surface it
9 will be possible to pressure test the well in accordance
10 with the Federal Underground Injection Control Program --

11 A Yes, it will be possible to determine if
12 there's any leakage in the tubing, casing, or packer.

13 Q Will you now go to Exhibit Number Five?

14 A Exhibit Number Five is the data sheet.
15 This indicates that the average daily rate of injection
16 would be 2000 barrels per day. The maximum would be 5000
17 barrels per day.

18 I might point out at this time that this
19 will not be a commercial disposal well. It will be primar-
20 ily for the disposal of an excess amount of waterflood in-
21 jection -- waterflood production from the Grayburg formation
22 in the event that the injection system for the Grayburg
23 waterfloods in this area are shut down because of failures
24 of injection pumps and so forth.

25 Also, some San Andres water that's

1 produced by the Applicant on other leases in the general
2 area would be disposed of into the Cisco formation.

3 The system will be open. It's antici-
4 pated that the injection may go into the Cisco on a vacuum;
5 however, if it doesn't go in on a vacuum, the injection rate
6 would not exceed 0.2 of a pound per foot down to the upper-
7 most perforation in the well, which is at 9270 feet, or a
8 maximum pressure of 1854 psi.

9 Source of the disposal water, as I men-
10 tioned, is the San Andres, and also some of this Grayburg
11 waterflood water.

12 Disposal is to be into a zone that is not
13 productive of oil or gas within two miles of the disposal
14 well. A review of the records revealed that there are not
15 any analyses of water from this zone on file. Water analy-
16 sis reports were checked with Halliburton and the Western
17 Company and they could not find any record of any water
18 analysis.

19 A review was made with the Artesia Oil
20 Conservation Division Office for material on this zone in
21 this area and we anticipate that the formation water will
22 contain lower chlorides than our disposal water but that it
23 will be compatible with the formation.

24 I might point out that exactly one town-
25 ship to the west in Section 27 of Township 17 South, Range

1 28 East, there is a disposal well in which San Andres Water
2 is going into the Cisco formation and there have been no
3 compatibility problems with that water.

4 Q Mr. Nutter, what is currently being done
5 with the water that Marbob proposes to dispose in this -- in
6 the subject well?

7 A Well, it's being injected into the water-
8 flood at this time.

9 Q Would you refer to Exhibit Number Six and
10 identify that, please?

11 A Exhibit Number Six is an analysis of the
12 San Andres water that's being produced in the area. You'll
13 note that the chloride content is 102,908 parts per million
14 of chlorides. It's expected that this water is nastier than
15 the actual formation water insofar as chlorides are con-
16 cerned.

17 Q Are there any fresh water zones in the
18 area?

19 A No, there are no fresh water zones within
20 a mile of this well.

21 Q And so there are no fresh water wells
22 within that area, either.

23 A That's correct.

24 Q Have you examined available geologic and
25 engineering data on this area?

1 A Yes, and we found no evidence of any open
2 faults or hydrological conditions between the disposal zone
3 and underground sources of drinking water.

4 Q Would you now go to what -- and exhibit
5 -- Marbob Exhibit Six-A is also an affirmative statement
6 confirming what you've just stated --

7 A That is correct.

8 Q -- concerning open faults.

9 A That is correct.

10 Q Would you now go to Exhibit Number Seven
11 and identify that, please?

12 A I won't go into a great deal of detail on
13 this. I didn't prepare it. It's a geological report pre-
14 pared by Jack Allen, a consulting geologist in Roswell, New
15 Mexico.

16 The formation tops are indicated on the
17 first page of his report. These are operators tops of for-
18 mations as reported by the driller of the well. I will men-
19 tion that Allen suggests that there should be no problem for
20 disposing the water because of high porosity, including a
21 fracture porosity, (not clearly understood) 20 percent in
22 the area -- in the -- in the well.

23 So it's not anticipated there will be any
24 problems at all and I'll get into why there won't be any
25 problems disposing into this zone in a minute.

1. The University of Chicago Press	1
2. The University of Chicago Press	2
3. The University of Chicago Press	3
4. The University of Chicago Press	4
5. The University of Chicago Press	5
6. The University of Chicago Press	6
7. The University of Chicago Press	7
8. The University of Chicago Press	8
9. The University of Chicago Press	9
10. The University of Chicago Press	10
11. The University of Chicago Press	11
12. The University of Chicago Press	12
13. The University of Chicago Press	13
14. The University of Chicago Press	14
15. The University of Chicago Press	15
16. The University of Chicago Press	16
17. The University of Chicago Press	17
18. The University of Chicago Press	18
19. The University of Chicago Press	19
20. The University of Chicago Press	20
21. The University of Chicago Press	21
22. The University of Chicago Press	22
23. The University of Chicago Press	23
24. The University of Chicago Press	24
25. The University of Chicago Press	25
26. The University of Chicago Press	26
27. The University of Chicago Press	27
28. The University of Chicago Press	28
29. The University of Chicago Press	29
30. The University of Chicago Press	30
31. The University of Chicago Press	31
32. The University of Chicago Press	32
33. The University of Chicago Press	33
34. The University of Chicago Press	34
35. The University of Chicago Press	35
36. The University of Chicago Press	36
37. The University of Chicago Press	37
38. The University of Chicago Press	38
39. The University of Chicago Press	39
40. The University of Chicago Press	40
41. The University of Chicago Press	41
42. The University of Chicago Press	42
43. The University of Chicago Press	43
44. The University of Chicago Press	44
45. The University of Chicago Press	45
46. The University of Chicago Press	46
47. The University of Chicago Press	47
48. The University of Chicago Press	48
49. The University of Chicago Press	49
50. The University of Chicago Press	50
51. The University of Chicago Press	51
52. The University of Chicago Press	52
53. The University of Chicago Press	53
54. The University of Chicago Press	54
55. The University of Chicago Press	55
56. The University of Chicago Press	56
57. The University of Chicago Press	57
58. The University of Chicago Press	58
59. The University of Chicago Press	59
60. The University of Chicago Press	60
61. The University of Chicago Press	61
62. The University of Chicago Press	62
63. The University of Chicago Press	63
64. The University of Chicago Press	64
65. The University of Chicago Press	65
66. The University of Chicago Press	66
67. The University of Chicago Press	67
68. The University of Chicago Press	68
69. The University of Chicago Press	69
70. The University of Chicago Press	70
71. The University of Chicago Press	71
72. The University of Chicago Press	72
73. The University of Chicago Press	73
74. The University of Chicago Press	74
75. The University of Chicago Press	75
76. The University of Chicago Press	76
77. The University of Chicago Press	77
78. The University of Chicago Press	78
79. The University of Chicago Press	79
80. The University of Chicago Press	80
81. The University of Chicago Press	81
82. The University of Chicago Press	82
83. The University of Chicago Press	83
84. The University of Chicago Press	84
85. The University of Chicago Press	85
86. The University of Chicago Press	86
87. The University of Chicago Press	87
88. The University of Chicago Press	88
89. The University of Chicago Press	89
90. The University of Chicago Press	90
91. The University of Chicago Press	91
92. The University of Chicago Press	92
93. The University of Chicago Press	93
94. The University of Chicago Press	94
95. The University of Chicago Press	95
96. The University of Chicago Press	96
97. The University of Chicago Press	97
98. The University of Chicago Press	98
99. The University of Chicago Press	99
100. The University of Chicago Press	100

1 Q Mr. Nutter, Exhibit Seven, Mr. Allen's
2 report, was prepared for Marbob Energy Corporation, was it
3 not?

4 A That is correct.

5 Q And this report is kept in the records
6 and was taken from the records of Marbob Energy?

7 A That is correct.

8 Q Would you now go to what has been marked
9 as Marbob Exhibit Number Eight, and review this for Mr.
10 Stogner?

11 A Within the area of review, which is the
12 area within a half mile radius of the disposal well, there
13 is only one well that has penetrated the disposal zone.
14 That would be Atlantic Richfield Company's F. M. Robinson
15 Federal Com No. 1. This well is located 1825 feet from the
16 south line and 2220 feet from the west line of Section 27,
17 Township 17 South, Range 28 East -- 29 East.

18 That well was plugged and abandoned
19 December the 11th, 1977, and if you'll look at your plat 1,
20 Mr. Examiner, you'll see that that well is indicated to be
21 located in Unit K of Section 27.

22 Q Will you now go to Exhibit Number Nine?

23 A No, I want to finish with this one first.

24 Q All right.

25 A This well was plugged -- as I mentioned,

1. The purpose of this study is to explore the experiences of...	1
2. The study was conducted in a university setting...	2
3. The participants were selected through a purposive sampling...	3
4. The data was collected through semi-structured interviews...	4
5. The findings of the study indicate that...	5
6. The study has several limitations...	6
7. The study contributes to the understanding of...	7
8. The study was approved by the Institutional Review Board...	8
9. The study was funded by a grant from the National Science Foundation...	9
10. The study was conducted in accordance with the ethical standards...	10
11. The study was published in the Journal of Management Education...	11
12. The study was reviewed by the editorial board...	12
13. The study was accepted for publication...	13
14. The study was published online...	14
15. The study was published in print...	15
16. The study was published in the print edition...	16
17. The study was published in the online edition...	17
18. The study was published in the print edition...	18
19. The study was published in the online edition...	19
20. The study was published in the print edition...	20
21. The study was published in the online edition...	21
22. The study was published in the print edition...	22
23. The study was published in the online edition...	23
24. The study was published in the print edition...	24
25. The study was published in the online edition...	25
26. The study was published in the print edition...	26
27. The study was published in the online edition...	27
28. The study was published in the print edition...	28
29. The study was published in the online edition...	29
30. The study was published in the print edition...	30
31. The study was published in the online edition...	31
32. The study was published in the print edition...	32
33. The study was published in the online edition...	33
34. The study was published in the print edition...	34
35. The study was published in the online edition...	35
36. The study was published in the print edition...	36
37. The study was published in the online edition...	37
38. The study was published in the print edition...	38
39. The study was published in the online edition...	39
40. The study was published in the print edition...	40
41. The study was published in the online edition...	41
42. The study was published in the print edition...	42
43. The study was published in the online edition...	43
44. The study was published in the print edition...	44
45. The study was published in the online edition...	45
46. The study was published in the print edition...	46
47. The study was published in the online edition...	47
48. The study was published in the print edition...	48
49. The study was published in the online edition...	49
50. The study was published in the print edition...	50
51. The study was published in the online edition...	51
52. The study was published in the print edition...	52
53. The study was published in the online edition...	53
54. The study was published in the print edition...	54
55. The study was published in the online edition...	55
56. The study was published in the print edition...	56
57. The study was published in the online edition...	57
58. The study was published in the print edition...	58
59. The study was published in the online edition...	59
60. The study was published in the print edition...	60
61. The study was published in the online edition...	61
62. The study was published in the print edition...	62
63. The study was published in the online edition...	63
64. The study was published in the print edition...	64
65. The study was published in the online edition...	65
66. The study was published in the print edition...	66
67. The study was published in the online edition...	67
68. The study was published in the print edition...	68
69. The study was published in the online edition...	69
70. The study was published in the print edition...	70
71. The study was published in the online edition...	71
72. The study was published in the print edition...	72
73. The study was published in the online edition...	73
74. The study was published in the print edition...	74
75. The study was published in the online edition...	75
76. The study was published in the print edition...	76
77. The study was published in the online edition...	77
78. The study was published in the print edition...	78
79. The study was published in the online edition...	79
80. The study was published in the print edition...	80
81. The study was published in the online edition...	81
82. The study was published in the print edition...	82
83. The study was published in the online edition...	83
84. The study was published in the print edition...	84
85. The study was published in the online edition...	85
86. The study was published in the print edition...	86
87. The study was published in the online edition...	87
88. The study was published in the print edition...	88
89. The study was published in the online edition...	89
90. The study was published in the print edition...	90
91. The study was published in the online edition...	91
92. The study was published in the print edition...	92
93. The study was published in the online edition...	93
94. The study was published in the print edition...	94
95. The study was published in the online edition...	95
96. The study was published in the print edition...	96
97. The study was published in the online edition...	97
98. The study was published in the print edition...	98
99. The study was published in the online edition...	99
100. The study was published in the print edition...	100

1 was plugged and abandoned in December of 1977. You'll note
2 that the plugs have been set in the well. It looks like
3 it's very adequately plugged and should provide no avenue of
4 escape for the waters that are disposed of into the Cisco
5 formation in the subject well.

6 Q Are you now ready to go to Exhibit Number
7 Nine, Mr. Nutter?

8 A Yes, sir, I am.

9 Q Would you do that, please, and identify
10 that for the Examiner?

11 A Exhibit Number Nine is a log of the
12 Atlantic Richfield Robinson Gas Com No. 1. This is the sub-
13 ject well that we're asking for disposal, and indicated at
14 9270 feet to 9290 feet is the proposed disposal zone.
15 That's pretty far back in the log.

16 Q Would you now identify for Mr. Stogner
17 what is marked as Marbob Exhibit Number Ten?

18 A Marbob Exhibit Number Ten is a copy of
19 the well file for the subject well and I'm going to go into
20 some of the things that I alluded to previous to this.

21 It's a complete copy of all the documents
22 that are in the well file and on the sixth page into the
23 exhibit, which is a C-103, Mr. Stogner, dated 2-24-75 -- 77,
24 and approved 2 -- February 25, '77.

25 This is a report of spudding the well on

1 2-13-77; setting the 20-inch casing at 190 feet.

2 They resumed drilling to 750; ran the 13-
3 3/8ths to 750; cemented with 350 sacks of cement followed by
4 another 300 sacks of cement; circulated 10 sacks of cement.

5 The next page over shows they finished
6 drilling the hole to 3470; ran the 8-5/8ths inch casing; set
7 casing at 3470 and a lot of cement jobs and there was some
8 lost circulation problems in cementing that, but finally
9 they did get the complete cement job on the well.

10 The next page is the C-103, dated 5-10-77
11 and approved May 16th, '77.

12 This shows that they ran the 5-1/2 inch
13 casing and it was set at 11062. They cemented the casing in
14 two stages and in the sixth line down you'll notice it says
15 the top of the cement is at 5850.

16 They perforated the Cisco. Now this is
17 our disposal zone. They perforated the Cisco from 9179 to
18 9184, and swabbed the Cisco 8-1/2 hours. They recovered 52
19 barrels of load water, 84 barrels of formation water, and a
20 small trace of oil.

21 They swabbed 10 hours, recovered 145 bar-
22 rels of formation water, with a trace of oil.

23 They swabbed a total of 431 barrels of
24 water from the Cisco in 3 days.

25 They reset the packer at 8069 and

1 squeezed those Cisco perforations from 9179 to 9184.

2 They perforated up in the Abo formation
3 form 6482 to 86; swabbed the Abo, 6482 to 96, for 11 hours;
4 recovered 88 barrels of load water, 76 barrels of formation
5 water, a trace of oil.

6 They squeezed the Abo formation perfora-
7 tions and went ahead to the next page.

8 Now we'll note here on the next page,
9 this is a report of lost circulation problems that they had
10 in drilling this well through the area of interest, the zone
11 of interest that we've got here.

12 It notes here that on 3-20-77 they lost
13 full returns at 9265. They mixed 400 barrels of lost circu-
14 lation material. They were unable to regain circulation.
15 They drilled dry from 9269 to 9404 feet. This was where
16 they completely lost circulation and this is the zone that
17 we will be disposing in. It's a lost circulation zone.

18 I mentioned that Allen, in his report,
19 had said that with all these fractures and high porosity is
20 why we anticipate this will be a good disposal zone.

21 That was the ninth page, so about --
22 about five pages over to the next sheet, Mr. Examiner, is a
23 C-103 dated 5-16-77, approved May 31, '77.

24 This is where they perforated the Morrow
25 at 10911 to 10929. They took a 4-point back pressure test

1 on May 18th, 1977, and the calculated absolute open flow was
2 7,198,000 cubic feet per day.

3 The well was shut in waiting on a pipe-
4 line connection.

5 The next sheet is the 105 file for the
6 well. It shows that the 4-point test was made with that
7 7998 calculated absolute open flow. 42 barrels of conden-
8 sate, zero barrels of water. The condensate had a gravity
9 of 53-3.

10 About six pages on over, then, you'll
11 find the notice of connection when Transwestern Pipeline
12 connected the well on September the 14th of 1977 in the
13 Grayburg-Morrow Pool.

14 The third sheet over from that is a C-103
15 filed February 16th, 1979, and approved February 22nd, 1979,
16 where they proposed to plug and abandon the Morrow.

17 And the next page is the C-101 that was
18 filed on the same date and approved February 22nd, 1979, a
19 proposal to complete in the Atoka formation.

20 Two sheets over from that is the final
21 report on plugging the Morrow formation and the next sheet
22 is the report on plugging -- on perforating the Atoka from
23 10363 to 365. I won't go into the details but the last line
24 there says "recompletion unsuccessful; pending approval to
25 P&A, final report."

1 The next page, we find that they have
2 plugged the Morrow formation, a notice of intention to plug
3 the Morrow formation. They erroneously marked this as a
4 subsequent report, but this should be a notice of intention
5 to plug and abandon the Atoka formation.

6 The following sheet is the C-101 where
7 they're proposing to plug and test the Canyon from 9835 to
8 50, and you'll notice on the next sheet they still filed a
9 320-acre plat for the Canyon. They anticipated getting a
10 gas well in the Canyon.

11 About three sheets over, then, is the re-
12 port on the Canyon where they had determined it was not a
13 successful -- where they reported having plugged from 10363
14 to 365 in the Atoka, and were going to set -- they -- they
15 set a 30-foot cement plug on top of the packer at 10326, but
16 it didn't hold, so they set a cast iron bridge plug at
17 10200, dumped two sacks of cement on top of that, and the
18 Atoka zone was plugged and abandoned.

19 So then they went on up into the Canyon
20 and the next sheet is the 105 on the Canyon, a 24-hour test
21 indicating there were 73 barrels of oil, 431 MCF of gas and
22 14 barrels of water produced on the test in the -- in the
23 Canyon.

24 About four sheets over you'll notice that
25 they filed a new plat. This was when the Canyon was reclas-

1. The University of Chicago Press	1
2. The University of Chicago Press	2
3. The University of Chicago Press	3
4. The University of Chicago Press	4
5. The University of Chicago Press	5
6. The University of Chicago Press	6
7. The University of Chicago Press	7
8. The University of Chicago Press	8
9. The University of Chicago Press	9
10. The University of Chicago Press	10
11. The University of Chicago Press	11
12. The University of Chicago Press	12
13. The University of Chicago Press	13
14. The University of Chicago Press	14
15. The University of Chicago Press	15
16. The University of Chicago Press	16
17. The University of Chicago Press	17
18. The University of Chicago Press	18
19. The University of Chicago Press	19
20. The University of Chicago Press	20
21. The University of Chicago Press	21
22. The University of Chicago Press	22
23. The University of Chicago Press	23
24. The University of Chicago Press	24
25. The University of Chicago Press	25
26. The University of Chicago Press	26
27. The University of Chicago Press	27
28. The University of Chicago Press	28
29. The University of Chicago Press	29
30. The University of Chicago Press	30
31. The University of Chicago Press	31
32. The University of Chicago Press	32
33. The University of Chicago Press	33
34. The University of Chicago Press	34
35. The University of Chicago Press	35
36. The University of Chicago Press	36
37. The University of Chicago Press	37
38. The University of Chicago Press	38
39. The University of Chicago Press	39
40. The University of Chicago Press	40
41. The University of Chicago Press	41
42. The University of Chicago Press	42
43. The University of Chicago Press	43
44. The University of Chicago Press	44
45. The University of Chicago Press	45
46. The University of Chicago Press	46
47. The University of Chicago Press	47
48. The University of Chicago Press	48
49. The University of Chicago Press	49
50. The University of Chicago Press	50
51. The University of Chicago Press	51
52. The University of Chicago Press	52
53. The University of Chicago Press	53
54. The University of Chicago Press	54
55. The University of Chicago Press	55
56. The University of Chicago Press	56
57. The University of Chicago Press	57
58. The University of Chicago Press	58
59. The University of Chicago Press	59
60. The University of Chicago Press	60
61. The University of Chicago Press	61
62. The University of Chicago Press	62
63. The University of Chicago Press	63
64. The University of Chicago Press	64
65. The University of Chicago Press	65
66. The University of Chicago Press	66
67. The University of Chicago Press	67
68. The University of Chicago Press	68
69. The University of Chicago Press	69
70. The University of Chicago Press	70
71. The University of Chicago Press	71
72. The University of Chicago Press	72
73. The University of Chicago Press	73
74. The University of Chicago Press	74
75. The University of Chicago Press	75
76. The University of Chicago Press	76
77. The University of Chicago Press	77
78. The University of Chicago Press	78
79. The University of Chicago Press	79
80. The University of Chicago Press	80
81. The University of Chicago Press	81
82. The University of Chicago Press	82
83. The University of Chicago Press	83
84. The University of Chicago Press	84
85. The University of Chicago Press	85
86. The University of Chicago Press	86
87. The University of Chicago Press	87
88. The University of Chicago Press	88
89. The University of Chicago Press	89
90. The University of Chicago Press	90
91. The University of Chicago Press	91
92. The University of Chicago Press	92
93. The University of Chicago Press	93
94. The University of Chicago Press	94
95. The University of Chicago Press	95
96. The University of Chicago Press	96
97. The University of Chicago Press	97
98. The University of Chicago Press	98
99. The University of Chicago Press	99
100. The University of Chicago Press	100

1 sified from a gas well to an oil well and there's only 40
2 acres dedicated as a wildcat Canyon well.

3 That's -- about three or four sheets
4 over, then, is a notice of gas connection in which Phillips
5 Petroleum Company reports that they connected the casinghead
6 gas on the wildcat Canyon Pool on April the 21st of 1981.

7 That's the final report on the well.
8 There was no temporary abandonment report filed by ARCO, but
9 the next form that is filed in this well file is the C-104,
10 which was filed by Marbob on January -- on January the 9th
11 of 1986, for a change of ownership from ARCO to Marbob Ener-
12 gy Corporation.

13 The 104 was approved by Les Clements on
14 January 26th, -- 22nd, 1986.

15 Then there are some copies of the scout
16 reports in the well file. That is the complete well file
17 that you've got on this well.

18 Q Would you now go to Exhibit Number Ele-
19 ven, production information, and review that for Mr. Stog-
20 ner?

21 A Yes, sir. We're attempting to show that
22 this was a productive well and we have copied the pages from
23 the annual reports by the New Mexico Oil and Gas Engineering
24 Committee from 1977 through 1984, and you'll see that the
25 well has been producing from the Morrow until such time as

1. The purpose of the study is to investigate the impact of the use of technology on the learning process of students in a management education program.	1039
2. The study is a quantitative study that uses a survey method to collect data from students.	1040
3. The study is a cross-sectional study that collects data from students at a single point in time.	1041
4. The study is a descriptive study that aims to describe the current state of technology use in management education.	1042
5. The study is a correlational study that aims to identify the relationship between technology use and learning outcomes.	1043
6. The study is a quasi-experimental study that uses a pre-test/post-test design to measure the impact of technology use on learning outcomes.	1044
7. The study is an experimental study that uses a randomized controlled trial design to measure the impact of technology use on learning outcomes.	1045
8. The study is a longitudinal study that collects data from students over a period of time to measure the impact of technology use on learning outcomes.	1046
9. The study is a case study that focuses on a single case or a small number of cases to explore the impact of technology use on learning outcomes.	1047
10. The study is a content analysis study that analyzes the content of student assignments and exams to measure the impact of technology use on learning outcomes.	1048
11. The study is a focus group study that uses focus groups to explore the impact of technology use on learning outcomes.	1049
12. The study is an interview study that uses interviews to explore the impact of technology use on learning outcomes.	1050
13. The study is a document analysis study that analyzes documents such as student assignments and exams to measure the impact of technology use on learning outcomes.	1051
14. The study is a meta-analysis study that synthesizes the results of multiple studies to measure the impact of technology use on learning outcomes.	1052
15. The study is a systematic review study that synthesizes the results of multiple studies to measure the impact of technology use on learning outcomes.	1053
16. The study is a literature review study that synthesizes the results of multiple studies to measure the impact of technology use on learning outcomes.	1054

1 it was recompleted in the Canyon, but it shows production
2 from the Morrow and the Canyon formations over a number of
3 years there.

4 Q Mr. Nutter, was a copy of the application
5 filed by Marbob provided to each operator within the area of
6 review and also to the surface owner?

7 A Yes, it was. The Exhibit Number Twelve
8 is a copy of the letters. These letters to the offset oper-
9 ators were to all operators in both the shallow zones that
10 own shallow rights, as well as operators that own deep
11 rights. The rights in this area are split, deep and shal-
12 low, but all operators of either deep or shallow rights were
13 notified.

14 Q Now, Mr. Plemons and Mr. Boyd only own
15 shallow rights, is that correct?

16 A That is correct.

17 Q And the owner of the deep rights was also
18 notified of the application.

19 A That is correct.

20 Q Was notice of the hearing provided in the
21 newspaper as required by Oil Conservation Division rules?

22 A Yes, sir. You'll notice that Exhibit
23 Number Thirteen has an ad for boats for sale and it also is
24 a legal notice that Marbob published in the Artesia Daily
25 Press for notifying the public that this well would be con

1 verted to salt water disposal.

2 If you're interested you can buy a fish
3 and ski boat fully rigged for \$11,500.

4 Q Mr. Nutter, in your opinion will granting
5 this application be in the best interest of conservation,
6 the prevention of waste, and the protection of correlative
7 rights?

8 A It will not cause waste inasmuch as
9 there's no hydrocarbons in the disposal formation.

10 It will protect correlative rights in
11 that it will permit the operator to conduct an efficient
12 waterflood operation and also to dispose of water from the
13 other formations into the San Andres.

14 That San Andres, by the way, will be
15 flooded eventually.

16 Q Mr. Nutter, were Marbob Exhibits One
17 through Thirteen either prepared by you or compiled under
18 your direction and your supervision?

19 A Yes, they were.

20 Q And can you testify of your own knowledge
21 as to the accuracy of these exhibits?

22 A Yes, sir, except for the well file. I
23 don't know how accurate that is. I presume it's accurate.

24 Q And the well file is part of the public
25 records of the Oil Conservation Division?

1. Introduction	1
2. Theoretical background	2
3. Methodology	3
4. Results	4
5. Discussion	5
6. Conclusion	6
7. References	7
8. Appendix	8
9. Bibliography	9
10. Index	10
11. Glossary	11
12. Acknowledgements	12
13. Declaration of interest	13
14. Funding	14
15. Data availability	15
16. Author contributions	16
17. Ethics approval	17
18. Consent to publish	18
19. Consent to participate	19
20. Consent to publish	20
21. Consent to publish	21
22. Consent to publish	22
23. Consent to publish	23
24. Consent to publish	24
25. Consent to publish	25
26. Consent to publish	26
27. Consent to publish	27
28. Consent to publish	28
29. Consent to publish	29
30. Consent to publish	30
31. Consent to publish	31
32. Consent to publish	32
33. Consent to publish	33
34. Consent to publish	34
35. Consent to publish	35
36. Consent to publish	36
37. Consent to publish	37
38. Consent to publish	38
39. Consent to publish	39
40. Consent to publish	40
41. Consent to publish	41
42. Consent to publish	42
43. Consent to publish	43
44. Consent to publish	44
45. Consent to publish	45
46. Consent to publish	46
47. Consent to publish	47
48. Consent to publish	48
49. Consent to publish	49
50. Consent to publish	50
51. Consent to publish	51
52. Consent to publish	52
53. Consent to publish	53
54. Consent to publish	54
55. Consent to publish	55
56. Consent to publish	56
57. Consent to publish	57
58. Consent to publish	58
59. Consent to publish	59
60. Consent to publish	60
61. Consent to publish	61
62. Consent to publish	62
63. Consent to publish	63
64. Consent to publish	64
65. Consent to publish	65
66. Consent to publish	66
67. Consent to publish	67
68. Consent to publish	68
69. Consent to publish	69
70. Consent to publish	70
71. Consent to publish	71
72. Consent to publish	72
73. Consent to publish	73
74. Consent to publish	74
75. Consent to publish	75
76. Consent to publish	76
77. Consent to publish	77
78. Consent to publish	78
79. Consent to publish	79
80. Consent to publish	80
81. Consent to publish	81
82. Consent to publish	82
83. Consent to publish	83
84. Consent to publish	84
85. Consent to publish	85
86. Consent to publish	86
87. Consent to publish	87
88. Consent to publish	88
89. Consent to publish	89
90. Consent to publish	90
91. Consent to publish	91
92. Consent to publish	92
93. Consent to publish	93
94. Consent to publish	94
95. Consent to publish	95
96. Consent to publish	96
97. Consent to publish	97
98. Consent to publish	98
99. Consent to publish	99
100. Consent to publish	100

1 A The well file is part of the public re-
2 cords of the Oil Conservation Division.

3 MR. CARR: At this time, Mr.
4 Stogner, we would offer into evidence Marbob Exhibits One
5 through Thirteen.

6 MR. STOGNER: Exhibits One
7 through Thirteen will be admitted into evidence at this
8 time.

9 Q Mr. Nutter, what are Marbob's immediate
10 plans for this well?

11 A We have a rig ready, ready to go in and
12 plug that well back to 9215 and perforate and -- or set the
13 packer at 92 -- to test the injection --

14 Q Is the --

15 A -- plug it back to 9500.

16 Q Is Marbob ready to go forward with the
17 work on the well in the immediate future?

18 A As soon as possible.

19 Q Do you therefore request that any order
20 resulting from this hearing be expedited to the extent pos-
21 sible?

22 A Yes, sir, and we'd be happy to provide
23 the examiner with an order, if he'd so desire.

24 MR. CARR: Mr. Stogner, that
25 concludes my direct examination of Mr. Nutter.

1 MR. STOGNER: Thank you, Mr.
2 Carr.

3
4 CROSS EXAMINATION

5 BY MR. STOGNER:

6 Q Mr. Nutter, I have a question on Exhibit
7 Eight.

8 A Exhibit Eight?

9 Q That's the schematic of the F. M. Robin-
10 son Federal Com Well No. 1.

11 A That's the plugged and abandoned well?

12 Q Right, plugged and abandoned well that
13 went through this particular formation.

14 A Okay.

15 Q I show you have a 200-foot plug from 8920
16 feet to 9120 feet, and then you've got another plug, another
17 200-foot plug down at 10,000 and what?

18 A Something didn't show up there. I can
19 tell you what that is. I don't know why that didn't show up
20 on the Xerox there, but I've got the plugging report here.

21 That bottom plug was at 10790 to -- 590
22 to 790.

23 Q Thank you. Now between 9120 feet and
24 10590 feet, what is in that particular space?

25 A That would be the Atoka in there, I be

1 lieve. The plug at the bottom would -- okay, in this well
2 the Cisco is at 9020, so the Cisco straddles that area
3 that's -- the top of the -- that's in the top of the Cisco.

4 The plug from 10590 to 790 would straddle
5 the top of the Morrow because the top of the Morrow is re-
6 ported at -- now wait a minute. That straddles the -- yeah,
7 that straddles the top of the Morrow because the top -- I
8 think that's a plug just above the top of the Morrow, Mr.
9 Stogner.

10 Q Okay.

11 A They've got a -- they've got a misprint
12 on their -- on their C-1 -- well, it's the Federal Form
13 9333. They've got a misprint on this. They report the top
14 of the Morrow being at 11690. The top of the Morrow is at
15 10690.

16 So that plug right there straddles the
17 top of the Morrow formation.

18 The other plug above that straddles the
19 top of the Cisco formation.

20 The plug at 7135 to 7285 straddles the
21 top of the Wolfcamp formation.

22 And I believe the plug at 5250 to 5400
23 probably straddles the top of the San Andres or the top of
24 the Glorieta. I don't know for sure. I don't have a depth
25 on the San Andres and Glorieta given in this well file.

1 Q All right, let's go back to that second
2 to last plug. What did you say in this particular well the
3 top of the Cisco was?

4 A The top of the Cisco in this particular
5 well was 9020, so this plug is from 8920 to 9120, so it goes
6 across the top of the Cisco.

7 Q What is the top of the Atoka in this
8 well?

9 A 10284, so it's in between those two lower
10 plugs.

11 Q Did this particular well produce from the
12 Atoka formation?

13 A No, it did not. This well didn't produce
14 at all from anything.

15 Q Now your injection well had production in
16 the Atoka, is that right?

17 A No.

18 Q No?

19 A It was wet in the Atoka. It only pro-
20 duced from the Morrow and the Canyon.

21 Q But this particular well, being the F. M.
22 Robinson Federal Com Well No. 1, could that act as a -- as a
23 pathway for water to seep from the Cisco into the Atoka?

24 A No, I don't see how it could, because
25 you've got plugs at 7135. You've got plugs at 5250. Into

1. The Role of the Teacher in the Classroom	1
2. The Teacher as a Facilitator	2
3. The Teacher as a Manager	3
4. The Teacher as a Mediator	4
5. The Teacher as a Model	5
6. The Teacher as a Collaborator	6
7. The Teacher as a Reflective Practitioner	7
8. The Teacher as a Professional	8
9. The Teacher as a Leader	9
10. The Teacher as a Researcher	10
11. The Teacher as a Change Agent	11
12. The Teacher as a Lifelong Learner	12
13. The Teacher as a Community Member	13
14. The Teacher as a Global Citizen	14
15. The Teacher as a Digital Citizen	15
16. The Teacher as a Data-Driven Educator	16
17. The Teacher as a Technology Integrator	17
18. The Teacher as a Professional Development Participant	18
19. The Teacher as a Professional Development Provider	19
20. The Teacher as a Professional Development Facilitator	20
21. The Teacher as a Professional Development Leader	21
22. The Teacher as a Professional Development Collaborator	22
23. The Teacher as a Professional Development Model	23
24. The Teacher as a Professional Development Mediator	24
25. The Teacher as a Professional Development Manager	25
26. The Teacher as a Professional Development Facilitator	26
27. The Teacher as a Professional Development Leader	27
28. The Teacher as a Professional Development Collaborator	28
29. The Teacher as a Professional Development Model	29
30. The Teacher as a Professional Development Mediator	30
31. The Teacher as a Professional Development Manager	31
32. The Teacher as a Professional Development Facilitator	32
33. The Teacher as a Professional Development Leader	33
34. The Teacher as a Professional Development Collaborator	34
35. The Teacher as a Professional Development Model	35
36. The Teacher as a Professional Development Mediator	36
37. The Teacher as a Professional Development Manager	37
38. The Teacher as a Professional Development Facilitator	38
39. The Teacher as a Professional Development Leader	39
40. The Teacher as a Professional Development Collaborator	40
41. The Teacher as a Professional Development Model	41
42. The Teacher as a Professional Development Mediator	42
43. The Teacher as a Professional Development Manager	43
44. The Teacher as a Professional Development Facilitator	44
45. The Teacher as a Professional Development Leader	45
46. The Teacher as a Professional Development Collaborator	46
47. The Teacher as a Professional Development Model	47
48. The Teacher as a Professional Development Mediator	48
49. The Teacher as a Professional Development Manager	49
50. The Teacher as a Professional Development Facilitator	50
51. The Teacher as a Professional Development Leader	51
52. The Teacher as a Professional Development Collaborator	52
53. The Teacher as a Professional Development Model	53
54. The Teacher as a Professional Development Mediator	54
55. The Teacher as a Professional Development Manager	55
56. The Teacher as a Professional Development Facilitator	56
57. The Teacher as a Professional Development Leader	57
58. The Teacher as a Professional Development Collaborator	58
59. The Teacher as a Professional Development Model	59
60. The Teacher as a Professional Development Mediator	60
61. The Teacher as a Professional Development Manager	61
62. The Teacher as a Professional Development Facilitator	62
63. The Teacher as a Professional Development Leader	63
64. The Teacher as a Professional Development Collaborator	64
65. The Teacher as a Professional Development Model	65
66. The Teacher as a Professional Development Mediator	66
67. The Teacher as a Professional Development Manager	67
68. The Teacher as a Professional Development Facilitator	68
69. The Teacher as a Professional Development Leader	69
70. The Teacher as a Professional Development Collaborator	70
71. The Teacher as a Professional Development Model	71
72. The Teacher as a Professional Development Mediator	72
73. The Teacher as a Professional Development Manager	73
74. The Teacher as a Professional Development Facilitator	74
75. The Teacher as a Professional Development Leader	75
76. The Teacher as a Professional Development Collaborator	76
77. The Teacher as a Professional Development Model	77
78. The Teacher as a Professional Development Mediator	78
79. The Teacher as a Professional Development Manager	79
80. The Teacher as a Professional Development Facilitator	80
81. The Teacher as a Professional Development Leader	81
82. The Teacher as a Professional Development Collaborator	82
83. The Teacher as a Professional Development Model	83
84. The Teacher as a Professional Development Mediator	84
85. The Teacher as a Professional Development Manager	85
86. The Teacher as a Professional Development Facilitator	86
87. The Teacher as a Professional Development Leader	87
88. The Teacher as a Professional Development Collaborator	88
89. The Teacher as a Professional Development Model	89
90. The Teacher as a Professional Development Mediator	90
91. The Teacher as a Professional Development Manager	91
92. The Teacher as a Professional Development Facilitator	92
93. The Teacher as a Professional Development Leader	93
94. The Teacher as a Professional Development Collaborator	94
95. The Teacher as a Professional Development Model	95
96. The Teacher as a Professional Development Mediator	96
97. The Teacher as a Professional Development Manager	97
98. The Teacher as a Professional Development Facilitator	98
99. The Teacher as a Professional Development Leader	99
100. The Teacher as a Professional Development Collaborator	100

1 -- into the what, again?

2 Q I'm sorry, from the Cisco into the Atoka.

3 A Oh, well, yes, it could possibly, because
4 the 200-foot plug at 8920 to 9120 straddles the top of the
5 Cisco and the Atoka is below that, but there's no production
6 in the Atoka, so if there was formation water going from the
7 Cisco to the Atoka it wouldn't be on any consequence.

8 And it would have to get from the dispo-
9 sal well over to this well, anyway, first, before it could
10 do that, and, of course, our disposal well has several plugs
11 in it below that -- it will have the cast iron bridge plug
12 with cement and adequate protection between the disposal
13 zone and the Atoka formation in the disposal well.

14 Q Now let's go back to Exhibit Number One
15 here. Although that plug and abandoned well is within a
16 half mile of this particular well, what's your feelings of
17 the disposal water seeping or extending over to that plugged
18 and abandoned well?

19 A I would doubt that it would ever do that
20 with the volumes that they're proposing because of the tre-
21 mendous porosity that's present in this zone, and I think it
22 would take an ocean of water before you could even make the
23 water migrate from the disposal well the half mile to the
24 other well. It's got tremendous volume; we're only propos-
25 ing to dispose of a maximum of 5000 barrels per day and it

1. The University of Chicago Press	1
2. The University of Chicago Press	2
3. The University of Chicago Press	3
4. The University of Chicago Press	4
5. The University of Chicago Press	5
6. The University of Chicago Press	6
7. The University of Chicago Press	7
8. The University of Chicago Press	8
9. The University of Chicago Press	9
10. The University of Chicago Press	10
11. The University of Chicago Press	11
12. The University of Chicago Press	12
13. The University of Chicago Press	13
14. The University of Chicago Press	14
15. The University of Chicago Press	15
16. The University of Chicago Press	16
17. The University of Chicago Press	17
18. The University of Chicago Press	18
19. The University of Chicago Press	19
20. The University of Chicago Press	20
21. The University of Chicago Press	21
22. The University of Chicago Press	22
23. The University of Chicago Press	23
24. The University of Chicago Press	24
25. The University of Chicago Press	25
26. The University of Chicago Press	26
27. The University of Chicago Press	27
28. The University of Chicago Press	28
29. The University of Chicago Press	29
30. The University of Chicago Press	30
31. The University of Chicago Press	31
32. The University of Chicago Press	32
33. The University of Chicago Press	33
34. The University of Chicago Press	34
35. The University of Chicago Press	35
36. The University of Chicago Press	36
37. The University of Chicago Press	37
38. The University of Chicago Press	38
39. The University of Chicago Press	39
40. The University of Chicago Press	40
41. The University of Chicago Press	41
42. The University of Chicago Press	42
43. The University of Chicago Press	43
44. The University of Chicago Press	44
45. The University of Chicago Press	45
46. The University of Chicago Press	46
47. The University of Chicago Press	47
48. The University of Chicago Press	48
49. The University of Chicago Press	49
50. The University of Chicago Press	50
51. The University of Chicago Press	51
52. The University of Chicago Press	52
53. The University of Chicago Press	53
54. The University of Chicago Press	54
55. The University of Chicago Press	55
56. The University of Chicago Press	56
57. The University of Chicago Press	57
58. The University of Chicago Press	58
59. The University of Chicago Press	59
60. The University of Chicago Press	60
61. The University of Chicago Press	61
62. The University of Chicago Press	62
63. The University of Chicago Press	63
64. The University of Chicago Press	64
65. The University of Chicago Press	65
66. The University of Chicago Press	66
67. The University of Chicago Press	67
68. The University of Chicago Press	68
69. The University of Chicago Press	69
70. The University of Chicago Press	70
71. The University of Chicago Press	71
72. The University of Chicago Press	72
73. The University of Chicago Press	73
74. The University of Chicago Press	74
75. The University of Chicago Press	75
76. The University of Chicago Press	76
77. The University of Chicago Press	77
78. The University of Chicago Press	78
79. The University of Chicago Press	79
80. The University of Chicago Press	80
81. The University of Chicago Press	81
82. The University of Chicago Press	82
83. The University of Chicago Press	83
84. The University of Chicago Press	84
85. The University of Chicago Press	85
86. The University of Chicago Press	86
87. The University of Chicago Press	87
88. The University of Chicago Press	88
89. The University of Chicago Press	89
90. The University of Chicago Press	90
91. The University of Chicago Press	91
92. The University of Chicago Press	92
93. The University of Chicago Press	93
94. The University of Chicago Press	94
95. The University of Chicago Press	95
96. The University of Chicago Press	96
97. The University of Chicago Press	97
98. The University of Chicago Press	98
99. The University of Chicago Press	99
100. The University of Chicago Press	100

1 will probably be much less than that, closer to the 2000,
2 even it's even 2000.

3 So I doubt if it would ever migrate to
4 the F. M. Robinson Federal Com No. 1, and even if it did, it
5 wouldn't -- wouldn't harm the Federal Com No. 1.

6 Q Because there was no production there.

7 A Because there was no production in the
8 well.

9 Q Also, staying with Exhibit Number One,
10 you show a well, looks like it's about 100 foot to the south
11 of your proposed disposal well. Could you explain that
12 well?

13 A Which one?

14 Q Well, looks like it's -- they're almost
15 touching.

16 A Okay, you mean the little oil well that's
17 immediately --

18 Q Yeah.

19 A -- south of the proposed disposal well?

20 Q Yeah, what depth is that?

21 A Okay, I can give you all the information
22 you need on that well, Mr. -- okay, that well is Jack Plem-
23 ons Continental State No. 1. It has -- it's got a total
24 depth of 2927 feet, which is 500 -- its total depth is 500
25 feet above the shoe on our 8-5/8ths inch casing, because our

1. The first part of the document discusses the importance of maintaining accurate records of all transactions and activities. It emphasizes that proper record-keeping is essential for transparency and accountability, particularly in financial matters.

2. The second part outlines the various methods and tools used to collect and analyze data. This includes the use of surveys, interviews, and statistical software to ensure that the information gathered is reliable and valid.

3. The third part focuses on the ethical considerations surrounding data collection and analysis. It stresses the need to protect the privacy of individuals and to use the data responsibly, without causing harm or discrimination.

4. The fourth part describes the process of interpreting the results of the data analysis. It highlights the importance of context and the need to consider multiple perspectives when drawing conclusions.

5. The fifth part discusses the challenges and limitations of the research process. It acknowledges that there are always uncertainties and that the results may be influenced by various factors, including the quality of the data and the skill of the researcher.

6. The sixth part provides a summary of the findings and conclusions of the study. It reiterates the key points made throughout the document and offers recommendations for future research and practice.

7. The final part of the document is a conclusion that ties all the elements together, emphasizing the overall value of the research and the importance of continuing to refine and improve the methods used.

1 shoe on our 8-5/8ths inch casing is 3470, so this would be
2 543 feet above -- our shoe is 543 feet below that well's to-
3 tal depth. That well has casing set at 2717. It has per-
4 forations from 2365 to 85, 2640 to 60, and 2665 to 85.

5 So the disposal in this well -- the dis-
6 posal in our subject well is at 9270 to 9290.

7 The disposal zone is 6,343 feet below the
8 TD on that well that's located 150 feet south of the subject
9 well, 130 feet south of the disposal well.

10 So you'd have to have a -- if that well
11 were to be affected, you'd have to have migration of water
12 vertically 6,343 feet and horizontally 130 feet, which, I
13 think, is extremely unlikely with -- considering that the
14 top of the cement on the disposal well is at 5850. This
15 gives us 3,420 feet of cement from the top of our injection
16 zone to the top of the cement in the subject well.

17 Then it would have to go up to the 8-
18 5/8ths inch shoe and it would have to migrate another 3930
19 feet from the top of the shoe up to the TD of the Plemons
20 Continental State No. 1.

21 So I think it's extremely unlikely that
22 any water would get into that well from the disposal zone at
23 9270 to 90.

24 Q Thank you, Mr. Nutter.

25 MR. STOGNER: I have no further

1 questions of this witness.

2 Is there anything further of
3 Mr. Nutter?

4 MR. CARR: I have no further
5 questions of Mr. Nutter.

6 MR. STOGNER: If not, he may be
7 excused.

8 Anything further in Case Number
9 8841?

10 MR. CARR: Nothing further.

11 MR. STOGNER: Mr. Nutter, Mr.
12 Carr, I don't believe that a rough draft order for this par-
13 ticular case will be necessary for me at this time.

14 Thank you. Case Number 8841
15 will be taken under advisement.

16

17 (Hearing concluded.)

18

19

20

21

22

23

24

25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY
CERTIFY that the foregoing Transcript of Hearing before the
Oil Conservation Division (Commission) was reported by me;
that the said transcript is a full, true, and correct record
of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 8941
heard by me on 5 March 19 86.

Michael E. Slapner, Examiner
Oil Conservation Division

1. The University of Chicago Press	1
2. The University of Chicago Press	2
3. The University of Chicago Press	3
4. The University of Chicago Press	4
5. The University of Chicago Press	5
6. The University of Chicago Press	6
7. The University of Chicago Press	7
8. The University of Chicago Press	8
9. The University of Chicago Press	9
10. The University of Chicago Press	10
11. The University of Chicago Press	11
12. The University of Chicago Press	12
13. The University of Chicago Press	13
14. The University of Chicago Press	14
15. The University of Chicago Press	15
16. The University of Chicago Press	16
17. The University of Chicago Press	17
18. The University of Chicago Press	18
19. The University of Chicago Press	19
20. The University of Chicago Press	20
21. The University of Chicago Press	21
22. The University of Chicago Press	22
23. The University of Chicago Press	23
24. The University of Chicago Press	24
25. The University of Chicago Press	25
26. The University of Chicago Press	26
27. The University of Chicago Press	27
28. The University of Chicago Press	28
29. The University of Chicago Press	29
30. The University of Chicago Press	30
31. The University of Chicago Press	31
32. The University of Chicago Press	32
33. The University of Chicago Press	33
34. The University of Chicago Press	34
35. The University of Chicago Press	35
36. The University of Chicago Press	36
37. The University of Chicago Press	37
38. The University of Chicago Press	38
39. The University of Chicago Press	39
40. The University of Chicago Press	40
41. The University of Chicago Press	41
42. The University of Chicago Press	42
43. The University of Chicago Press	43
44. The University of Chicago Press	44
45. The University of Chicago Press	45
46. The University of Chicago Press	46
47. The University of Chicago Press	47
48. The University of Chicago Press	48
49. The University of Chicago Press	49
50. The University of Chicago Press	50
51. The University of Chicago Press	51
52. The University of Chicago Press	52
53. The University of Chicago Press	53
54. The University of Chicago Press	54
55. The University of Chicago Press	55
56. The University of Chicago Press	56
57. The University of Chicago Press	57
58. The University of Chicago Press	58
59. The University of Chicago Press	59
60. The University of Chicago Press	60
61. The University of Chicago Press	61
62. The University of Chicago Press	62
63. The University of Chicago Press	63
64. The University of Chicago Press	64
65. The University of Chicago Press	65
66. The University of Chicago Press	66
67. The University of Chicago Press	67
68. The University of Chicago Press	68
69. The University of Chicago Press	69
70. The University of Chicago Press	70
71. The University of Chicago Press	71
72. The University of Chicago Press	72
73. The University of Chicago Press	73
74. The University of Chicago Press	74
75. The University of Chicago Press	75
76. The University of Chicago Press	76
77. The University of Chicago Press	77
78. The University of Chicago Press	78
79. The University of Chicago Press	79
80. The University of Chicago Press	80
81. The University of Chicago Press	81
82. The University of Chicago Press	82
83. The University of Chicago Press	83
84. The University of Chicago Press	84
85. The University of Chicago Press	85
86. The University of Chicago Press	86
87. The University of Chicago Press	87
88. The University of Chicago Press	88
89. The University of Chicago Press	89
90. The University of Chicago Press	90
91. The University of Chicago Press	91
92. The University of Chicago Press	92
93. The University of Chicago Press	93
94. The University of Chicago Press	94
95. The University of Chicago Press	95
96. The University of Chicago Press	96
97. The University of Chicago Press	97
98. The University of Chicago Press	98
99. The University of Chicago Press	99
100. The University of Chicago Press	100