

STATE OF NEW MEXICO
ENERGY AND MINERALS DEPARTMENT
OIL CONSERVATION DIVISION
STATE LAND OFFICE BUILDING
SANTA FE, NEW MEXICO

12 June 1986

EXAMINER HEARING

IN THE MATTER OF:

Application of Yates Drilling Com- CASE
pany for waterflood expansion. Eddy 8916
County, New Mexico.

BEFORE: David R. Catanach, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Oil Conservation Division: Jeff Taylor
Legal Counsel to the Division
Oil Conservation Division
State Land Office Bldg.
Santa Fe, New Mexico 87501

For the Applicant: William F. Carr
Attorney at Law
CAMPBELL & BLACK P. A.
P. O. Box 2208
Santa Fe, New Mexico 87501

1

2

I N D E X

3

4

TOBIN L. RHODES

5

Direct Examination by Mr. Carr

3

6

Cross Examination by Mr. Catanach

15

7

8

9

10

11

12

13

E X H I B I T S

14

15

Yates Exhibit One, C-108

5

16

Yates Exhibit Two, Order

6

17

Yates Exhibit Three, Order

6

18

Yates Exhibit Four, Log

13

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. CATANACH: Call next Case
8916.

MR. TAYLOR: The application of
Yates Drilling Company for waterflood expansion, Eddy Coun-
ty, New Mexico.

MR. CARR: May it please the
Examiner, my name is William F. Carr, with the law firm
Campbell & Black, P. A., of Santa Fe.

We represent Yates Drilling
Company and I have one witness.

MR. CATANACH: Are there other
appearances in this case?

Will the witness please stand
and be sworn?

(Witness sworn.)

TOBIN L. RHODES,
being called as a witness and being duly sworn upon his
oath, testified as follows, to-wit:

DIRECT EXAMINATION

BY MR. CARR:

Q My name is Tobin L. Rhodes and I reside

1 in Artesia, New Mexico.

2 Q Mr. Rhodes, by whom are you employed and
3 in what capacity?

4 A I'm employed by Yates Drilling Company as
5 an engineer.

6 Q Have you previously testified before this
7 Division and had your credentials as a petroleum engineer
8 accepted and made a matter of record?

9 A Yes, I have.

10 Q Are you familiar with the application
11 filed in this case on behalf of Yates Drilling Company?

12 A Yes.

13 Q And are you familiar with the well which
14 is the subject of the expansion of the subject waterflood
15 project?

16 A Yes.

17 MR. CARR: Are the witness'
18 qualifications acceptable?

19 MR. CATANACH: Mr. Rhodes is
20 considered qualified.

21 Q Mr. Rhodes, would you briefly state what
22 Yates Drilling Company seeks with this application?

23 A Yates is seeking approval to expand the
24 injection system of the Artesia Metex system by converting
25 the Artesia Metex Unit Well No. 35 to an injection well.

1 Q Would you refer to what has been marked
2 for identification as Yates Exhibit Number One, identify
3 this for Mr. Catanach, and generally explain what it is?

4 A Exhibit Number One is the NMOCD Form C-
5 108, accompanied by the explanation and text required by
6 each of the 13 sections of this form.

7 Q Does this form set forth the injection
8 zone in the Unit No. 35 Well?

9 A Yes, it does.

10 Q And what is the disposal interval we're
11 talking about here?

12 A This would be the Grayburg formation.

13 Q When was the No. 35 Well drilled?

14 A It was originally drilled in 1950 and
15 shortly thereafter plugged and abandoned and the well was
16 re-entered in 1983.

17 Q What is it's current status?

18 A It's currently a pumping oil well.

19 Q When did Yates File Form C-108 with the
20 Oil Conservation Division?

21 A We filed it in January of this year.

22 Q And what response did you receive to the
23 filing of this application?

24 A We received a letter from Mr. Catanach
25 stating that the application could not be approved adminis-

1 tratively but that it could be set for hearing.

2 Q And that's why we're here today?

3 A Yes, that's correct.

4 Q When was the Artesia Metex Unit originally
5 approved by the Oil Conservation Division?

6 A The unit was originally approved August
7 13th, 1973, by Order R-4608.

8 Q Is a copy of that order attached or in-
9 cluded with the packet of exhibits and marked Exhibit Number
10 Two?

11 A Yes, it is.

12 Q When did secondary recovery operations
13 commence in this unit?

14 A August 13th, 1973, and that was author-
15 ized by Order R-4609.

16 Q And have you included that order and mar-
17 ked it Exhibit Number Three?

18 A Yes, I have.

19 Q Would you now refer to the plat, which is
20 contained in Exhibit Number One, on page seven, and review
21 the information contained on this plat for Mr. Catanach?

22 A This is a plat which shows the boundary
23 of the Artesia Metex Unit.

24 It shows the proposed injection well, our
25 Artesia Metex No. 35. Around this well there's a circle

1 with a one-half mile radius. This would be the area of re-
2 view for the proposed injection well.

3 The triangles around some of the well lo-
4 cations indicate that that particular well is currently an
5 injection well. As you can see, there are fifteen wells
6 currently in the unit which are injection wells.

7 Two of these injection wells are within
8 the area of review. Also within the area of review there
9 are six producing wells, for a total of eight wells in the
10 area of review.

11 Q Were the injection wells that you just
12 referenced approved in August of 1983 by Order R-4609?

13 A Yes, they were.

14 Q And have they been used for injection
15 since that date?

16 A Yes.

17 Q On page six of Exhibit Number One there's
18 another plat. Does this plat show all the wells within the
19 two mile radius of the proposed injection well?

20 A Yes, it does. The inner circle has a
21 radius of one mile and the outer circle on this plat has a
22 radius of two miles.

23 Q Does this plat also show the lease owner-
24 ship in the area?

25 A Yes, it does.

1 Q Mr. Rhodes, would you now refer to the
2 tabular data which is contained in Exhibit Number One and
3 review this for Mr. Catanach?

4 A The tabular data is on pages eight
5 through eleven. These pages contain a listing of informa-
6 tion required for each of the wells in the area of review.

7 At this time I'd like to point out speci-
8 fically on Well No. 27 on the top of page nine and on Well
9 44 on the bottom of page ten, that neither of these wells
10 have -- have production casing. All that they have is sur-
11 face casing.

12 I would also like to point out at this
13 time that there are thirteen other producing wells in the
14 unit which only have surface casing.

15 When this C-108 was submitted for admin-
16 istrative approval, there was some concern expressed about
17 injecting water near the No. 27 and No. 44 Wells due to the
18 lack of production casing in these wells.

19 And if you would, please turn back to
20 page seven, the map that we just looked at, and you can see
21 the No. 27 Well has two offset injection wells which are
22 closer than the No. 35 Well and the 44 Well has three injec-
23 tion wells that are as close or closer than the No. 35 Well,
24 and we have never had any problem with waterflows out of
25 zone in either of these two wells or with any of the other

1 wells without any production casing in them.

2 Q Now, Mr. Rhodes, the plat which is marked
3 page seven to Exhibit Number One, this is not the same plat
4 that was originally submitted with Form C-108, is that cor-
5 rect?

6 A That's correct. The original plat was
7 not quite as clear as what this one -- this one is; there-
8 fore this, this plat was substituted in place of the origi-
9 nal plat.

10 Q Are all of the other attachments to the
11 Form C-108 the same as those originally submitted to the
12 Division?

13 A Yes, they are.

14 Q Are there any plugged or abandoned wells
15 within the area of review?

16 A No, there are no plugged or abandoned
17 wells.

18 Q Would you refer to page five of Exhibit
19 One, which is the schematic drawing of the No. 35 Well, and
20 review the information contained on that exhibit?

21 A This is a schematic which shows the pro-
22 posed well hardware configuration if the application is ap-
23 proved.

24 As you can see, the well has 7-inch cas-
25 ing set at 485 feet. There's 4-1/2 inch casing set at 1,987

1 feet.

2 If approved, we would have 2-3/8ths inch
3 tubing, plastic-lined, set in a Baker plastic-coated AD-1
4 packer, approximately 1800 feet. The injection formation
5 would be the Grayburg and the pool would be the Artesia
6 Queen-Grayburg-San Andres.

7 Q Does Yates propose to fill the annular
8 space with an inert fluid and equip the well with a pressure
9 gauge that would enable Yates to test the pressure in the
10 annular space as required by the Federal Underground Injec-
11 tion Control Program?

12 A Yes, we would do that.

13 Q Into what portion of the Grayburg are you
14 proposing to inject?

15 A The interval would be from 1858 to 1939,
16 which would include the Metex Sand of the Grayburg forma-
17 tion.

18 Q What is the source of the water you pro-
19 pose to inject in this -- in the subject well?

20 A The water would be produced water from
21 the Grayburg formation and fresh water purchased from the
22 City of Carlsbad.

23 Q What is presently being done with the
24 water that is being produced from the Grayburg in the area?

25 A It is being injected back into the injec-

1 tion wells within the unit.

2 Q What volumes does Yates propose to inject
3 in the well?

4 A As an average we propose to inject 250
5 barrels a day with a maximum of 500 barrels a day.

6 Q And will the system be open or closed?

7 A We will connect this well to the existing
8 closed system.

9 Q Do you propose to inject by gravity or
10 under pressure?

11 A We would like to inject under pressure.

12 Q And what is the maximum pressure that you
13 propose to utilize?

14 A We would like to use 1400 psig as a max-
15 imum pressure because this -- this pressure is comparable to
16 maximum pressures used in other injection wells in the unit.

17 Q And in injecting under this pressure in
18 the unit have you experienced any problem with pressurizing
19 the formation so as to fracture or damage the confining
20 strata?

21 A No, we haven't.

22 Q Do you have a water analysis of the fluid
23 which will be injected in the proposed injection well?

24 A Yes, on page seventeen of Exhibit One
25 there's a water analysis report from one of the producing

1 wells in the unit. This -- this water analysis is represen-
2 tative of produced water which will be injected if the ap-
3 plication is approved.

4 Q So the water you'll be injecting is just
5 produced water plus some fresh water from the City of Carls-
6 bad.

7 A Yes, that's correct.

8 Q There would be no compatibility problems
9 in this situation, would there?

10 A No, we've had none in the past.

11 Q Are there fresh water zones in the area?

12 A Yes, there are water zones in the area.

13 Page twelve of Exhibit One is a copy of a letter from the
14 State Engineer's Office stating that fresh water could be
15 expected in the upper 400 feet of the Artesia Group.

16 We have found by talking to the land-
17 owners there that water can first be encountered at approxi-
18 mately 100 feet.

19 Q And are there water wells within one mile
20 of the proposed well?

21 A Yes, there is one and I've included a
22 water analysis from -- from this well and it is page thir-
23 teen of Exhibit Number One.

24 Q And what interval is this water well pro-
25 ducing from, do you know?

1 A No. Again, from talking to the landowner
2 or actually leasehold, State lease holder, they have a State
3 lease for this land, he -- he's indicated that he doesn't
4 know the specific interval but the total depth of the well
5 is only 100 feet.

6 Q Would you identify what is marked as Ex-
7 hibit Number Four in this case?

8 A Exhibit Number Four is a gamma ray neut-
9 ron log from the -- from the subject well. I believe that
10 the logs were submitted to the NMOCDD when the well was re-
11 entered in 1983; however, I've included an additional log
12 just to make sure that they have a copy.

13 Q Mr. Rhodes, has notice of this hearing
14 been given to the offsetting owners and to the surface own-
15 er, as is required by Oil Conservation Division rules?

16 A Yes, they have. Page fourteen and fif-
17 teen of Exhibit One are receipts showing that notice was
18 given to offset leasehold operators and to the surface own-
19 er.

20 Q Are you familiar with similar applica-
21 tions for injection that have been approved in the immediate
22 area?

23 A Yes, the original application to commence
24 waterflood in the Artesia Metex Unit, the order approving
25 the original application is submitted with this application.

1 Q Have you reviewed the available geologic
2 and engineering data on this area?

3 A Yes, I have.

4 Q As a result of this review have you dis-
5 covered evidence of any faulting or other hydrologic connec-
6 tion between the disposal interval and any underground
7 source of drinking water?

8 A No, I know of none.

9 Q In your opinion will granting this appli-
10 cation be in the best interest of conservation, the preven-
11 tion of waste, and the protection of correlative rights?

12 A Yes, it will.

13 Q Were Exhibits One through Four either
14 prepared by you or compiled under your direction and super-
15 vision?

16 A Yes, they were.

17 MR. CARR: At this time, Mr.
18 Catanach, we would offer into evidence Yates Drilling Com-
19 pany Exhibits One through Four.

20 MR. CATANACH: Exhibits One
21 through Four will be admitted into evidence.

22 MR. CARR: That concludes my
23 direct examination of Mr. Rhodes.

24

25

CROSS EXAMINATION

BY MR. CATANACH:

Q Mr. Rhodes, if you ever had a problem with the waterflow into the No. 27 or the No. 44 Well, would you know it?

A Well, you mean an out of zone type water-flow?

Q That's right.

A If it specifically flowed into the well, no, we might not be able to tell, but we do keep the well pumped down at all times so there's -- there's no way for water to be lost out of zone in the well. If it's lost somewhere else and comes into the well, we would pump it out with the rest of the fluid, but as far as water being lost in the wellbore of 27 or 44, no.

Q The Well No. 27 is completed with 8-5/8ths casing set at 496 feet, cemented with 50 sacks. Do you think that's adequate to protect any fresh water that may be up above it?

A Well, again, if -- when we keep the wells pumped down, the fluid level is down essentially at the pump. There is no produced water to be, you know, that will be that high to get into the fresh water.

Q Mr. Rhodes, do you have any knowledge of what the fracture pressure in the Grayburg formation might

1 be?

2 A I don't have the -- I don't have the
3 figures with me. There have been step rate pressure tests
4 taken on some of the other injection wells and I can supply
5 you with that information.

6 Q Were your other injection wells only per-
7 mitted at 1400 psig?

8 A Again I'm not positive on what the orig-
9 inal permit was but I'm sure that when the step rates were
10 taken, if the pressures were raised, the step rates were
11 submitted to the state.

12 Q These wells were approved back in, when
13 did you say?

14 A 1973, I believe.

15 Q Okay, Mr. Rhodes, could you provide us
16 with any step rate information you might have of any wells
17 within the Grayburg formation in your waterflood?

18 A Yes, I will.

19 MR. CATANACH: I have no
20 further questions of Mr Rhodes.

21 Are there any other questions
22 of the witness?

23 If not, he may be excused.

24 Is there anything further in
25 Case Number 8916?

1 MR. CARR: Nothing further.

2 MR. CATANACH: If not, it will
3 be taken under advisement.

4
5 (Hearing concluded.)

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY
CERTIFY that the foregoing Transcript of Hearing before the
Oil Conservation Division (Commission) was reported by me;
that the said transcript is a full, true, and correct record
of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 8916,
heard by me on June 12, 1986.

David R. Citanach, Examiner
Oil Conservation Division