

STATE OF NEW MEXICO
ENERGY AND MINERALS DEPARTMENT
OIL CONSERVATION DIVISION
STATE LAND OFFICE BUILDING
SANTA FE, NEW MEXICO

21 & 22 August 1986

COMMISSION HEARING

VOLUME II

IN THE MATTER OF:

Application of Jerome P. McHugh and Associates for an amendment to the special rules and regulations of the Gavilan-Mancos Oil Pool... CASE 8946

and

Application of Benson-Montin-Greer Drilling Corporation for the amendment to the special rules and regulations of the West Puerto Chiquito-Mancos Pool ... CASE 8950

BEFORE: Richard L. Stamets, Chairman
Ed L. Kelley, Commissioner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Oil Conservation	Jeff Taylor
Division:	Attorney at Law
	Legal Counsel to the Division
	State Land Office Bldg.
	Santa Fe, New Mexico 87501

A P P E A R A N C E S

2	<u>For Jerome P. McHugh</u>	<u>For Benson-Montin-Greer</u>
3	W. Thomas Kellahin	William F. Carr
	Attorney at Law	Attorney at Law
4	KELLAHIN & KELLAHIN	CAMPBELL & BLACK P.A.
	P. O. Box 2265	P. O. Box 2208
5	Santa Fe, New Mexico 87501	Santa Fe, New Mexico 87501
6	<u>For Mobil Producing:</u>	<u>For Dugan Production:</u>
7	W. Perry Pearce	Robert G. Stovall
	Attorney at Law	Attorney at Law
8	MONTGOMERY & ANDREWS	Dugan Production Company
	P. O. Box 2307	P. O. Box 208
9	Santa Fe, New Mexico 87501	Farmington, New Mexico 87499
10	<u>For Koch Exploration</u>	<u>For Koch Exploration</u>
11	Ernest L. Padilla	Robert D. Buettner
	Attorney at Law	Attorney at Law
12	PADILLA & SNYDER	Koch Exploration Company
	P. O. Box 2523	P. O. Box 2256
13	Santa Fe, New Mexico 87501	Wichita, Kansas 67201
14	<u>For Mallon Oil, Mesa Grande,</u>	<u>For Meridian Oil</u>
15	<u>and American Penn</u>	
16	Owen M. Lopez	Paul Cooter
	Attorney at Law	Attorney at Law
17	HINKLE LAW FIRM	RODEY LAW FIRM
	P. O. Box 2068	P. O. Box 1357
18	Santa Fe, New Mexico 87501	Santa Fe, New Mexico 87504
19	<u>For Amoco Production</u>	<u>For Hooper, Kimball and</u>
		<u>Williams</u>
20	Kent Lund	Greg Owens
	Attorney at Law	Tulsa, Oklahoma
21	Amoco Production Company	
	P. O. Box 800	
22	Denver, Colorado 80201	

I N D E X

STATEMENT BY MR. PEARCE	8
STATEMENT BY MR. CARR	9
ALBERT GREER	
Direct Examination by Mr. Carr	12
Cross Examination by Mr. Stamets	95
Cross Examination by Mr. Lopez	97
Cross Examination by Mr. Pearce	108
Cross Examination by Mr. Padilla	118
Questions by Mr. Lyon	130
Recross Examination by Mr. Stamets	132
Cross Examination by Mr. Kellahin	140
Redirect Examination by Mr. Carr	143
Recross Examination by Mr. Padilla	144
RICHARD E. FRALEY	
Direct Examination by Mr. Cooter	151
Cross Examination by Mr. Pearce	163
Cross Examination by Mr. Stamets	166
Cross Examination by Mr. Padilla	167

I N D E X CONT'D

KATHLEEN A. MICHAEL

Direct Examination by Mr. Lopez 169

ALAN P. EMMENDORFER

Direct Examination by Mr. Lopez 173

Continued on 22 August, 1986 198

Questions by Mr. Lyon 215

Cross Examination by Mr. Kelley 220

Questions by Mr. Lyon 222

Cross Examination by Mr. Kellahin 222

Cross Examination by Mr. Carr 231

Cross Examination by Mr. Stamets 234

Questions by Mr. Lyon 238

Redirect Examination by Mr. Lopez 239

Voir Dire Examination by Mr. Stamets 241

Redirect Examination by Mr. Lopez 242

GREGORY B. HUENI

Direct Examination by Mr. Lopez 244

Voir Dire Examination by Mr. Carr 247

Voir Dire Examination by Mr. Kellahin 249

Direct Examination by Mr. Lopez (Cont) 251

Cross Examination by Mr. Carr 316

I N D E X CONT'D

1		
2		
3	Cross Examination by Mr. Kellahin	329
4	Cross Examination by Mr. Stamets	331
5	Questions by Mr. Lyon	336
6	Recross Examination by Mr. Carr	338
7	Recross Examination by Mr. Kellahin	341
8		
9	GEORGE STANLEY BENNETT	
10	Direct Examination by Mr. Padilla	347
11	Cross Examination by Mr. Carr	354
12	Cross Examination by Mr. Kellahin	355
13		
14	CARL F. POMEROY	
15	Direct Examination by Mr. Padilla	357
16		
17	JOHN J. PAULHUBER	
18	Direct Examination by Mr. Pearce	391
19		
20	LUIZ G. ZAMBRANO	
21	Direct Examination by Mr. Pearce	409
22	Cross Examination by Mr. Stamets	418
23		
24		
25		

E X H I B I T S

1		
2		
3	BMG Exhibit One, Booklet	21
4	BMG Exhibit Two, Slides & Booklet	46
5	BMG Exhibit Three, Booklet	66
6	BMG Exhibit Four, Booklet	79
7	BMG Exhibit Five, Notices & Receipts	94
8		
9	Meridian Exhibit One, Well Data	154
10	Meridian Exhibit One-A, Plat	152
11	Meridian Exhibit Two, Plot	156
12	Meridian Exhibit Three, Plot	157
13		
14	MMG Exhibit Two, Plat	171
15	MMG Exhibit Three, Structure Map	174
16	MMG Exhibit Four, Cross Section	176
17	MMG Exhibit Five, Isopach	182
18	MMG Exhibit Six, Graph	192
19	MMG Exhibit Seven, Composite	192
20	MMG Exhibit Eight, Plots	204
21	MMG Exhibit Nine, Booklet	
22	MMG Exhibit Ten, Document	
23	MMG Exhibit Eleven, Economics	
24		
25		

I N D E X CONT'D

1		
2		
3	Koch Exhibit One, Map	360
4	Koch Exhibit Two, Map	363
5	Koch Exhibit Three, Map	365
6	Koch Exhibit Four, Calculation	367
7	Koch Exhibit Five, Calculation	370
8	Koch Exhibit Six, Graph	377
9	Koch Exhibit Seven, Diagram	380
10	Koch Exhibit Eight, Economics	382
11	Koch Exhibit Nine, Economics	383
12	Koch Exhibit Ten, Summary	385
13		
14	Mobil Exhibit One, Map	393
15	Mobil Exhibit Two, Log	395
16	Mobil Exhibit Three, Report	396
17	Mobil Exhibit Four, Coregraph	397
18	Mobil Exhibit Five, Porosity Log	400
19	Mobil Exhibit Six, Graph	405
20	Mobil Exhibit Seven, Calculations	411

1
2 MR. STAMETS: The hearing will
3 come to order.

4 It's nice to see that there is
5 undiminished interest in this case.

6 I would encourage everybody to
7 be as brief as possible so that we can conclude this hearing
8 in the two days we have allocated to it this week. I know
9 that may be difficult for some of you but rest assured we
10 are capable of listening very, very fast.

11 At this point, then, we will
12 resume hearing this case and ask who's next?

13 MR. KELLAHIN: Mr. Chairman,
14 we'd like to continue with our direct presentation.

15 At this time we would like to
16 call Mr. Al Greer.

17 MR. PEARCE: Mr. Chairman, if I
18 might, before we begin that I have one brief preliminary
19 matter which I'd like to discuss, if that's acceptable.

20 MR. STAMETS: Certainly.

21 MR. PEARCE: In reviewing the
22 transcript of the last day and a half hearing on this mat-
23 ter, it has come to my attention that, at least my clients
24 are concerned, that we need to have a preliminary statement
25 because of the break to remind the Commission that we've got

1 two cases under consideration today. We've got two pools
2 under consideration today. We've got two sets of informa-
3 tion and my clients are concerned that because of the break,
4 some continuity of organization might be lost and that they
5 feel it's necessary to make clear that we've got two pools
6 and we may have two sets of data.

7 They asked me to emphasize
8 that.

9 In addition, after reading that
10 transcript, it occurs to me that although I did not rise and
11 join in a couple of Mr. Padilla's objections at the last
12 hearing, there was a lot of discussion in that record about
13 spacing.

14 Reading the ad of this case it
15 is clear that what we are talking about is reducing allow-
16 ables and reducing the gas/oil ratio and I have been asked
17 to emphasize that. I may have been asked to emphasize it to
18 myself as much as anyone else, but we are concerned because
19 of time and because of the amount of information available,
20 that we not get sidetracked into issues which are not before
21 this Commission today and not try to keep clear lines about
22 the applicability of the information that is being pre-
23 sented.

24 Thank you.

25 MR. CARR: Since Mr. Pearce has

1 decided that it is appropriate to make a brief opening
2 statement, with your permission I would like to do the same
3 and I'm going to keep in mind that it's important to keep
4 this hearing moving, but I think what we're here talking
5 about is a reservoir that's in trouble, and when we talk
6 about what is happening in that reservoir, we necessarily
7 must talk about what's going on in that formation and some
8 of the evidence that is presented might be appropriate in a
9 spacing case, but what we're presenting and will present
10 today is evidence about what is happening in the Mancos for-
11 mation and even though you may be able to utilize if we were
12 here talking about a change in spacing, we're going to be
13 talking about imposition of certain restrictions on with-
14 draws for a period of time and the data that we're going
15 to be presenting is directed toward that and so even though
16 it is true this information might be appropriate in another
17 hearing, we submit to you today that everything we're going
18 to be presenting is directed strictly to the issue that is
19 presented to you for consideration in the applications of
20 Jerome P. McHugh and of Benson-Montin-Greer Drilling Corpor-
21 ation.

22 There has been a break of two
23 weeks. As you'll recall, two weeks ago Mr. McHugh called
24 witnesses that discussed the geology of the area, the basic
25 land situation of the Gavilan area, and also presented

1 through Mr. Roe, some engineering testimony which I believe
2 clearly identified that there's a problem in this particular
3 area.

4 Today we're going to call Mr.
5 Greer. Mr. Greer is going to talk about the formations and
6 the area that are involved in the consolidated cases and we
7 believe we'll show that immediate action should be taken if,
8 in fact, you're to carry out your duty to prevent waste and
9 protect correlative rights.

10 We're also going to show you
11 why the limitation that we have proposed is the limitation
12 that must be adopted by this Commission, and we're going to
13 show you that you've got to limit the withdrawals from the
14 reservoir as well as limiting the gas/oil ratio if in fact
15 what you are being asked to do is done in a meaningful
16 fashion.

17 At this time we call Mr. Greer.
18 MR. STAMETS: While Mr. Greer
19 is coming to the stand, let me ask if there are additional
20 appearances in this case today.

21
22 ALBERT R. GREER,
23 being called as a witness and having been previously sworn
24 upon his oath, testified as follows, to-wit:
25

DIRECT EXAMINATION

BY MR. CARR:

Q Would you state your full name for the record, please?

A Albert R. Greer.

Q Mr. Greer, where do you reside?

A Farmington, New Mexico.

Q What is your relationship to Benson-Montin-Greer Drilling Corporation?

A I'm an officer and engineer in that corporation.

Q How long have you been an officer and engineer in that corporation?

A About twenty-five or thirty years.

Q What is your present office in Benson-Montin-Greer?

A I'm president.

Q And Benson-Montin-Greer is applicant in Case 8950?

A Yes, sir.

Q What interest does Benson-Montin-Greer Drilling Corporation have in the West Puerto Chiquito Mancos Oil Pool?

A Benson-Montin-Greer is the operator of the Canada Ojitos Unit, which lies within the West Puerto

1 Chiquito Pool.

2 Q For how long has Benson-Montin-Greer been
3 the operator of the Canada Ojitos Unit?

4 A Since about 1963 or 4.

5 Q Briefly summarize for the Commission your
6 educational background and your work experience.

7 A Yes, sir. I was graduated from what was
8 then New Mexico School of Mines at Socorro in 1943; Bachelor
9 of Science degree in petroleum engineering.

10 After a short time in the Navy during
11 World War II I went to work for a subsidiary of El Paso Nat-
12 ural Gas Company in Jal, New Mexico, Western Natural Gas
13 Company.

14 In a couple of years I went to work for
15 Anderson-Prichard operating out of Hobbs; then for two or
16 three years I was in Oklahoma City as a reservoir engineer
17 for Anderson-Prichard.

18 Then I spent two or three years in Dallas
19 working for an independent, Leland Fikes, and as an en-
20 gineer.

21 Then, since about 1952 I've spent most of
22 my time in the San Juan Basin of New Mexico, working as
23 principally an engineer and involved in the drilling and
24 production of wells in that area.

25 Q Have you personally been involved with

1 the Canada Ojitos Unit since its creation?

2 A Yes, sir, we helped form the unit
3 initially and have continued with it for some twenty-five
4 years.

5 Q Have you during that time period person-
6 ally been responsible for the engineering work and develop-
7 ment of this unit?

8 A Yes, sir, we've made some rather inten-
9 sive engineering studies because of the unusual nature of
10 the formation, and I've been directly involved with that.

11 Q Mr. Greer, are you familiar with the ap-
12 plications filed in these consolidated cases for Jerome P.
13 McHugh and Benson-Montin-Greer Drilling Corporation?

14 A Yes, sir.

15 MR. CARR: At this time, Mr.
16 Stamets, we tender Mr. Greer as an expert witness in the
17 field of petroleum engineering.

18 MR. STAMETS: Without objection
19 Mr. Greer is considered qualified.

20 Q Initially, Mr. Greer, would you briefly
21 explain to the Commission why you are here and what your
22 purpose is here in testifying in this matter?

23 A Yes, sir. Mr. Chairman, I'm here today
24 because one of your oil pools is in trouble. In Rio Arriba
25 County the Gavilan-Mancos Pool, with only about a third of

1 the wells on a third of the spacing units in the area that
2 appears to be productive, the pool is over-drilled and over-
3 produced.

4 There are three problems that we see that
5 we will address and identify and set out for you to con-
6 sider.

7 One is that if the existing rules
8 continue, the existing competitive operation of the pool,
9 there are going to be a large number of unnecessary wells
10 drilled and this constitutes waste, waste which we hope that
11 the Commission would recognize.

12 In addition, the high rate of production,
13 the high rate of withdrawal, this high rate of depletion
14 will deny the otherwise recoverable oil that might be
15 realized through a gravity drainage depletion process. This
16 constitutes underground waste.

17 Then there's a third problem, Mr. Chair-
18 man.

19 The majority of the tracts in the pool
20 are being denied the opportunity to protect their correla-
21 tive rights. This is a problem that's similar to the one
22 that first occurred, first was recognized as a problem in
23 the oil industry when commercial oil was first discovered
24 over some 100 years ago in the continental United States,
25 and that is that the operators in a pool had a complaint,

1 they took their complaint to the courts for relief. Their
2 complaint was that their neighbors were taking more than
3 their fair share of oil from a pool. They were pulling oil
4 out from under their land, and I know, Mr. Chairman, that
5 you well know the -- the -- how the judge ruled in that case
6 but for the similarity and the comparison in this case I
7 thinkn it's appropriate to -- to note, and if I recall,
8 about what his decision was, and that was that he concluded
9 that oil in its underground movement was like a wild animal
10 skulking through the underbrush and belonged to whoever
11 could capture it, and thus the law of capture was born, and
12 it persisted for many years.

13 Then in this century, in a more enlight-
14 ened era, the states with their laws, the commissions with
15 their regulations, adopted a change in a sense to go from
16 the law of capture to protection of correlative rights, and
17 New Mexico has been a model in the United States for regula-
18 tion and for -- for moving in what we have considered as the
19 right direction.

20 But now, Mr. Chairman, there is a blem-
21 ish; there is a blemish on our record, for in Gavilan today
22 the law of Gavilan is the law of capture, and this requires
23 your attention and we suggest here today how -- how that can
24 be corrected.

25 Now we feel that there should be no blame

1 placed on anyone that this has come about. Until this hear-
2 ing the Commission had no idea of this problem and until
3 about a month ago the majority of the operators in the pool
4 didn't realize there was a problem.

5 What the operators apparently felt and I
6 believe in good faith felt, was that they had drilled into a
7 bonanza, a world without end, reservoir without end that
8 they could produce at high rates, that would last forever.
9 They weren't deliberately trying to take oil out from under
10 their neighbor's land but regardless of their intentions,
11 that's what was happening.

12 They should not be blamed for that. The
13 Commission should not be blamed. Now that we know about it
14 we feel that the Commission and the operators should work
15 together to correct this problem.

16 Now how could it come about? How in this
17 age and with the regulations that we have, how could it come
18 about that we're operating under the law of capture?

19 Well, it's because of the nature of the
20 formation and I'll try not to be repetitious in my testimony
21 today, but over twenty-five years that we've studied this --
22 this reservoir, this formation, we have testified before
23 this Commission, we have pointed out how different it is
24 from an ordinary reservoir in which the industry used to de-
25 velop. In fact the words the geologists ordinarily use to

1 characterize formation are not the kind of words really that
2 we need to understand this formation, and I'm thinking of
3 words like deceptive, deceptive. We're indebted to Mallon
4 Oil Company for coring a well as late as last December, hav-
5 ing the core analyzed, not only analyzed, a petrographic an-
6 alysis, and the analyst in reporting on this analysis point-
7 ed to one of the log characteristics, and Mr. Chairman, we
8 have testified to this Commission many times that logs and
9 cores just cannot show the character of this formation.

10 Here core analysis made this comparison.
11 One zone showed by the log to have a porosity of 10 percent
12 but the analyst in writing up his report said, this is a de-
13 ception. This is a deception. The core porosity was one
14 percent. So the log shows 10 percent and the core shows one
15 percent; that's a 1000 percent difference in the pore space.
16 It's a deceptive formation.

17 Not only deceptive, it's treacherous, and
18 I would go so far as to say that it's insidious, and how can
19 that be? Well, an operator has a well producing 75 to 100
20 barrels a day; the pressure in the reservoir drops; the
21 gas/oil ratio increases; the well has really had a higher
22 productivity, he didn't realize it and he was pumping the
23 well at pump capacity; now with the lighter column, the ad-
24 ditional gas, the well starts to flow through the annulus,
25 so where he was making 75 to 100 barrels a day, now he's

1 making 2-to-300 and he feels that everything is great, when
2 in truth, the reservoir is on the skids.

3 MR. LOPEZ: Mr. Chairman, with
4 all due respect I would like to suggest that in the spirit
5 of trying to get through the hearing, that if we're going to
6 listen to all the conclusions that Mr. Greer has drawn, that
7 we get to his evidence and data so that we can have Mr.
8 Greer respond to direct questions.

9 I want to hear Mr. Greer's
10 story but I think there's a more expeditious way of getting
11 at it.

12 MR. CARR: Mr. Stamets, one
13 common criticism of a lot of our testimony in the past has
14 been that it's complicated, that it's extremely technical,
15 and that it is difficult to fit within a framework and keep
16 it understandable as we go forward.

17 Mr. Greer's been qualified as
18 an expert. He can give his conclusions now and he then will
19 go through and give you detailed information and comprehen-
20 sive data that support the statements he's made and the pro-
21 blem that he's identified.

22 We'll be happy if Mr. Lopez
23 wants to the other way now to move into particular exhibits,
24 but our intention was to give you an overview of the problem
25 so that as we develop each of the pieces they fit into some

1 sort of a logical pattern.

2 MR. STAMETS: If that was an
3 objection, we'll overrule it and permit Mr. Greer to con-
4 tinue.

5 Q Mr. Greer, you have identified a problem
6 in this area. How does that problem affect your interest in
7 the Canada Ojitos Unit?

8 A It affects the Canada Ojitos Unit in that
9 if over-drilling is continued in Gavilan, and Gavilan joins
10 Canada Ojitos, then in order to prevent drainage from the
11 unit to the Gavilan area, we have to do something, and we
12 would have to drill at a minimum, the same density, the same
13 number of wells, as -- as in Gavilan, and it's clear from
14 the information we now have that those would be unnecessary
15 wells, and so what we are suggesting, if I might go so far
16 ahead of my testimony to say this, is that if Gavilan be
17 unitized, then we can work out a boundary agreement between
18 Gavilan and Canada Ojitos such that the oil in the boundary
19 area can be shared by the two units without having to drill
20 the unnecessary wells.

21 For Gavilan to be unitized and be uni-
22 tized in time to -- to hopefully get the benefit of some
23 gravity drainage, it must be done soon and it must be done
24 before significantly greater amount of depletion takes
25 place, and we'll go into that later as to why that is.

1 But that's how it affects it.

2 Now, by reducing the allowables, which
3 are the subject of these applications, it does two things.

4 The first thing in reducing the allow-
5 ables is that it addresses the problem of getting the oppor-
6 tunity to protect their correlative rights.

7 The other thing it does is it slows down
8 the rate of depletion so that an opportunity can be had for
9 Gavilan to be unitized and solve these problems before its
10 too late.

11 Q Now, Mr. Greer, you have testified in a
12 general sense about the nature of the formation and with-
13 drawal effects, correlative rights, and waste problems.
14 Have you prepared particular exhibits which address these
15 concerns?

16 A Yes, sir.

17 Q Would you refer to what has been marked
18 as Benson-Montin-Greer Exhibit Number One, let's take a
19 minute and pass that out, and then I'll ask you first to
20 just identify those documents contained in this exhibit.

21 Mr. Greer, will you refer to what -- to
22 the document behind reference Tab 1, or A in Exhibit Number
23 One, and identify that, please?

24 A This is a copy of our application in this
25 case.

1 ran from 40 acres to 640 acres in the area. It seemed that
2 a reasonable transition from one area to the other would be
3 320 acres for Gavilan. That was McHugh's application; we
4 supported it at the time. We had special pool rules regarding
5 wells along the boundary because we recognized at that
6 time that the first well drilled in Gavilan had a pressure
7 which appeared that it might have been affected by -- by
8 wells in the Canada Ojitos Unit in the other pool; that
9 there was probably some kind of communication, we didn't
10 know how good it was. There appeared to be a permeability
11 restriction, but two things were -- two points of evidence
12 were very significant at that time.

13 One was that the discovery well had a
14 productivity of approximately 100 barrels per day. The
15 pressure build-up test run on that well indicated a trans-
16 missibility much like what we found in the Canada Ojitos
17 wells but which was much less than what we found to be the
18 reservoir transmissibility.

19 After six months of production the
20 working -- casing pressure on the well didn't decline at all
21 and so it was clear that the well was producing from a
22 reservoir not like the characteristics shown by the pressure
23 build-up test but that it was in communication with a high
24 capacity fracture system very much like what we found in
25 Canada Ojitos.

1 Farther to the north in Township 26
2 North, 2 West, Dugan's Tapacitos 2 Well had a flat decline
3 curve indicating the same characteristics, even though it
4 was a small well, about 40 barrels a day, it was obviously
5 in communication with a high capacity fracture system.

6 So we anticipated that there would be
7 production all along the west boundary of Canada Ojitos Unit
8 and to have some way of recognizing the problem, trying to
9 have a way to solve the problem, we had special pool rules
10 for Gavilan for wells along the boundary and a year or two
11 later we asked for special pool rules for the West Puerto
12 Chiquito wells to help meet this problem.

13 We didn't know then how serious it is.
14 We still don't know how serious it is, but we've made at-
15 tempts to solve what could be a problem, and the problem
16 being that in the Canada Ojitos Unit, for some eighteen
17 years, we've had a pressure maintenance project. We've pro-
18 duced wells at rates which fit the -- our estimate of the
19 gravity drainage potential so that we could get -- realize a
20 maximum recovery from that pool. That requires restricting
21 production to rates below the wells' capacities to produce.

22 If on the boundary we have to drill too
23 many wells, then that means we have increased the production
24 rate; we have exacerbated the problem of trying to realize
25 gravity drainage potential when that required a low rate of

1 production. So here was our problem. We had to restrict
2 production to get the maximum recovery. We had to increase
3 production to protect from -- from drainage.

4 So that's why the special pool rules we
5 had at that time. It's clear now that they're inadequate to
6 solve the problem and so now we have other -- other ways
7 that we must go to solve this problem.

8 Q Mr. Greer, the pool boundaries as
9 depicted on the first exhibit in Section A of Exhibit One
10 are the pool boundaries as they existed at the time of the
11 pool rule hearing, is that correct?

12 A Yes, sir, that's correct.

13 Q Now will you go to the next document con-
14 tained in this section of Exhibit Number One and identify
15 that, please?

16 A This shows our -- our estimate of -- of
17 what I have referred to as effective hydrocarbon pore space
18 for the different areas.

19 Q And if you would, I'd like you to go
20 through the exhibit and indicate what that pore space is,
21 and also, if you could while you're doing that, indicate how
22 those figures are derived.

23 A All right, sir. First I might point out
24 why -- why it's important to look at this -- this character
25 of the reservoir rock.

1 There is a tremendous range of recoveries
2 of oil from individual wells from as low as 10 or 20,000
3 barrels per well to up over 2-million barrels per well, and
4 although there is this wide range of recovery of production
5 from wells, the formation nevertheless over the same area
6 has relatively similar characteristic in terms of hydrocar-
7 bon pore space per acre.

8 Starting at the top of the map with the
9 Boulder Mancos, I've estimated 2500 to 4000 barrels per acre
10 of effective hydrocarbon pore space and I arrived at that
11 from the production decline curves in Boulder, comparing the
12 rate of pressure decline when the pressure was above the
13 bubble point, the rate of pressure decline when it's below
14 the bubble point. By having those two -- two characteris-
15 tics we can calculate what the oil in place per acre was.

16 Another way to estimate it would be to --
17 by recombination of the gas that was produced, the oil that
18 was produced, but in Boulder the gas was not measured so we
19 lack the -- the accuracy that we'd like to have to arrive at
20 it that way.

21 Going farther south in the orange colored
22 area in the Canada Ojitos Unit, by interference test we es-
23 timated 2000 or 3000 barrels per acre, and this was over, we
24 think represented a fairly large area, several thousand ac-
25 res covered by the interference test.

1 Then by comparison of the rate of pres-
2 sure decline and the -- and estimating, and, of course, this
3 is a problem with the normal estimates of recovery, is how
4 many acres are being drained. But from that calculation we
5 come up with 1500 to 3000 barrels an acre and in Canada Oji-
6 tos we are producing primarily one zone, whereas in the Lin-
7 drith Gallup-Dakota area to the west all the zones have been
8 opened and the first well or two in Gavilan, it looked like
9 they were planning to open all three zones in Gavilan.

10 So we've estimated in round numbers that
11 there is no reason to believe that there's any big differ-
12 ence in Gavilan than the other areas in terms of effective
13 hydrocarbon pore space.

14 Now to determine from effective hydrocar-
15 bon pore space recoverable oil, depends on a number of
16 things and we'll get to that as we get into the testimony.

17 But first we need to see the similarity.
18 They're just quite similar throughout the whole area in
19 terms of what we identify as effective hydrocarbon pore
20 space.

21 Q Will you now go to your structure map
22 which is behind index Tab C in Exhibit Number One, identify
23 this and then review the information contained on the
24 exhibit?

25 A Well, this is a structural contour map.

1 It covers the area of East and West Puerto Chiquito Pools
2 and the Gavilan-Mancos Pool.

3 Q Does this show the current boundary of
4 the Gavilan?

5 A The current boundary of Gavilan and West
6 Puerto Chiquito is the heavy north/south line which goes
7 through the upper green circle.

8 The formation outcrops on the -- as shown
9 on the east side of the map by the dashed lines, dips to the
10 west, initially dips very steeply at rates of 1000, in fact
11 3000 feet per mile initially, then down to 1000 feet per
12 mile, and as we go farther west, 400 feet a mile and 200
13 feet per mile.

14 Then the re-entrant, which we've shaded
15 with question marks in it, is an area where we anticipate or
16 we have postulated that there might be a permeability
17 restriction.

18 Also on this map we've identified with
19 the green circles the area of high withdrawal, the areas
20 that are causing the problems.

21 The upper green circled area, the two
22 wells adjoining each other across the boundary are wells
23 that were used in an interference test. We asked the
24 Commission 1st fall to conduct an interference test with the
25 cooperation of the operator of the adjoining well, Mallon

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1 area, or the Canada Ojitos Unit?

2 A The overall recoveries, if the -- if the
3 production rates continue as they have and drilling con-
4 tinues as it has, of being denied the gravity drainage
5 potential that they might otherwise recover, will reduce
6 their recoveries to something on the order of 200 barrels
7 per acre; whereas the same formation in -- or the same char-
8 acteristics in Canada Ojitos Unit, we anticipate three or
9 four times that much.

10 Q This plat also has indicated on it the
11 location of the injection wells for your pressure mainten-
12 ance project.

13 A Yes, sir. The injection wells are shown
14 by triangles.

15 Q Now, Mr. Greer, in preparing for today's
16 hearing have you made comparison of certain characteristics
17 of a fractured reservoir and contrasted those with a sand or
18 matrix reservoir?

19 A Yes, sir, I have.

20 Q And are those what is set forth in what
21 -- in the documents behind index Tab D in Exhibit Number
22 One?

23 A Yes, sir.

24 Q Would you refer to the first exhibit be-
25 hind that tab and then identify it and explain what it is?

1 A The first two gold colored pages show the
2 title of one of the Transactions from which an article and
3 statistics were taken, which is shown on the second gold
4 page, an article by Bulnes and Fitting, which showed a
5 relation between porosity and permeability for sandstone
6 type reservoirs.

7 And then I have taken that information
8 and gone to the next graph, the graph with the brown and
9 yellow stripes on it. The brown colored area represents ap-
10 proximately the area covered by --

11 MR. PEARCE: Excuse me. Could
12 the witness speak a little louder? We're having a hard time
13 back here, sir.

14 A I'll try.

15 MR. PEARCE: Thank you.

16 A The brown colored area is the same as the
17 area shown by Bulnes and Fitting, approximately, for the re-
18 lation of permeability and porosity for a sandstone reser-
19 voir.

20 To make a comparison with the fractured
21 reservoir, I started out with a simple system of parallel
22 fractures running in parallel to the direction of flow, and
23 I calculated the porosity and permeability relation for
24 three different conditions.

25 The bottom line shows the relation for

1 one fracture per foot; the middle line for 10 fractures per
2 foot; and the upper line for 100 fractures per foot.

3 Now this is a simple, exact relation
4 readily calculated. It was first presented to this Commis-
5 sion in Case 3455, November 16th, 1966, Exhibit One, Figure
6 9. At this time my counselor suggested that although I know
7 the calculations are right and he accepts them as right, it
8 might be helpful to other people to know that someone else
9 has calculated the same thing that I have.

10 So, if we skip over three or four pages
11 to the white colored sheet titled The Flow of Homogeneous
12 Fluids... we'll find where I -- I arrived at the -- or found
13 the relation of fracture thickness to permeability, and this
14 was by Muskat in the book identified there, page 425.

15 From that I went to the next sheet and
16 you can see my original notes here where I calculated
17 through the law of parallel flow what the permeability and
18 porosity relation would be.

19 From that I constructed the graph which
20 we just looked at.

21 Q Now, Mr. Greer, the red point upon the
22 bottom line in the yellow shaded area, what is that?

23 A That -- that point is a point that is
24 shown as calculated by Craft and Hawkins, by the two pink
25 sheets which follow the white one that we were just looking

1 at.

2 Q What is the blue point?

3 A And I might point out on the pink colored
4 sheet, the page shown as 283, that in the center paragraph
5 they have calculated the permeability for a fracture with
6 0.005 of an inch and an almost impermeable matrix. They
7 have a more complicated formula there, of course, because of
8 that. I eliminated that complication by assuming an imper-
9 meable matrix.

10 Then the blue colored sheet is the same
11 kind of a calculation made a few, just a few years ago by
12 another author where he shows a relation for three fractures
13 per foot 0.01 of an inch thick, and in my penciled notations
14 I show there, if you have one fracture per foot instead of
15 three you would have 500 millidarcys instead of 13,000.

16 So those -- those pink and blue sheets,
17 analyses there are, by happenstance those authors chose the
18 same points that I did on the lower line of the yellow and
19 brown colored graph, and we show this just simply to -- as
20 confirmation of how -- that this is a simple, fixed
21 relation. There's no judgment involved. If you have a
22 fracture system, fractures running parallel to the direct of
23 flow and for these characteristics that's what it is;
24 there's just no question about it.

25 Now, to -- since we just don't have any

1 way of determining reservoir pore space and the relation of
2 porosity to permeability from cores and logs, I wanted to
3 have something that would give us some kind of an idea as to
4 relation might be and I made the arbitrary assumption that
5 in a fractured reservoir there's probably fractures running
6 in different directions, not necessarily directions parallel
7 to the line of flow. Mother Nature didn't know where we
8 were going to drill the wells and how they would go.

9 If that's the case, it's probable that
10 there would be a higher porosity for any given permeability
11 if we had crossways fractures.

12 And so I have again rather arbitrarily
13 assume the upper line as perhaps might be something repre-
14 sentative of what actually happens in the reservoir.

15 I selected two points, one just above and
16 one just below and then I came up with the graph on the next
17 page, the gray shaded -- has the gray streak across it, and
18 I said this might be the best representative as we could
19 have, representation of porosity and permeability for a
20 fractured reservoir and how it compares with a sandstone re-
21 servoir.

22 And there are two things that are signi-
23 ficant here. One is if we take a range of -- as shown on
24 the lower scale -- of 10 to 100 millidarcys permeability, we
25 see that we're looking at porosities from 0.1 to .01 percent

1 on the gray shaded area.

2 A sand for a similar permeability runs
3 like from 10 percent to maybe 25 percent.

4 So we're looking at 10 to 50 times, per-
5 haps, as much reservoir pore space in a sandstone as in a
6 fractured reservoir for the same transmissibility, same per-
7 meability.

8 Now what that means is that an operator
9 goes out and he drills a well in a sand reservoir and he
10 drills another one in a fractured reservoir, they both make
11 500 barrels a day, the well in the sand reservoir he has
12 every reason to believe that he has a high volume of oil in
13 place, a high potential for recovery of oil, but in the
14 fractured reservoir he probably has only one-tenth as much;
15 not only one-tenth as much in place but if it's produced by
16 solution gas drive there will be probably a third as much
17 oil recovered from the initial oil in place.

18 So there's a tremendous difference in a
19 fracture reservoir and a sand reservoir in the amount of oil
20 that might be anticipated to be recovered from any
21 particular potential.

22 Q Now, Mr. Greer, will you go to the next
23 graph and identify that and review it, and could you speak
24 as loud as possible?

25

1
2 (Thereupon a short recess was taken
3 and a microphone obtained for Mr.
4 Greer's use.)
5

6 MR. STAMETS: Mr. Greer, why
7 don't you do some testing there and we'll see if everybody
8 can --

9 MR. GREER: Testing, testing,
10 can you hear me now? Testing.

11 MR. PEARCE: That's much bet-
12 ter.

13 MR. STAMETS: You may proceed.

14 Q Mr. Greer, I believe you were testifying
15 from an exhibit in index Tab D in Exhibit Number One. Would
16 you identify the graph you're talking about and explain what
17 it shows?

18 A Yes, sir. This shows on a different
19 scale the same information we had on the previous yellow and
20 brown colored graph and the information shown as yellow and
21 brown on the previous graph is shown as yellow and brown on
22 this.

23 Q And this graph is entitled Comparison of
24 Relation of Poroisty to Permeability.

25 A Yes, sir, and the purpose of this graph

1 is just to show an extension of the sandstone relation and
2 the fracture relation and the fact that they join at an area
3 somewhere around 50 to 100 percent porosity, and this is
4 something that we would really expect to have. It doesn't
5 make any difference if you call them a matrix porosity or a
6 fracture porosity, once the porosity is 50 to 60 to 100 per-
7 cent of the pore space we can call them the same thing.

8 So this seems to me adds a little bit of
9 rationale or reason or credibility to -- to the relation
10 that we came up with before. Certainly one would expect
11 whatever relation you have would have to meet out in the
12 righthand side of the graph as we've shown here.

13 Q Mr. Greer, would you go to your next
14 graph which shows the relation of oil in place to transmis-
15 sibility and identify the exhibit and then review what it
16 shows?

17 A Yes, sir. This yellow colored graph
18 shows for the three lines on this graph compared with the
19 three lines that we have labeled A, B, and C, on the preced-
20 ing graph, and by -- by taking the relation for, for
21 instance, the A, the A line, if we had 17 feet of formation
22 with the characteristics shown as A, then the bottom line as
23 we have shown on the yellow graph would be the relation of
24 transmissibility to -- to stock tank barrels of oil in place
25 per acre.

1 By the same token, 50 feet of the B char-
2 acteristic or 150 feet of the C characteristic would give
3 the same thing.

4 And then I calculated the same thing for
5 the X and Y lines.

6 Then we've made a comparison of what we
7 found from our interference tests and information for Boul-
8 der, and those points are shown on this yellow graph.

9 The blue dash mark shows approximately
10 where the information derived from the 1965 interference
11 test would lie.

12 The pink stripe shows a 1968 interference
13 test and the green circle shows approximately the relation
14 for the Boulder Pool, and so although we have drawn in a
15 sense an arbitrary characteristic or relation for oil in
16 place per acre, it does have some background in what would
17 be the situation for a fracture system in which the frac-
18 tures are all parallel to the line of flow, and it also by
19 happenstance, perhaps, is about the same thing as we actual-
20 ly found in the field.

21 So we think there is some -- there is
22 some reason to believe, until somebody comes up with some-
23 thing better, that for this particular area, for this forma-
24 tion, in -- in the West Puerto Chiquito and Gavilan areas,
25 that this is about the best relation we can have, and it's

1 significant in that we show that the porosity or the pore
2 space varies as the cube root of the ratio of the transmis-
3 sibility.

4 If we follow the line, say, from trans-
5 missibility of one darcy foot on the upper X line it would
6 be about 2000 barrels an acre. It goes up to about 10,000
7 an acre for an increase in transmissibility of 100-to-1. So
8 that's a relation that we think is -- has some application
9 in the treatment of these formations in this reservoir in
10 West Puerto Chiquito and Gavilan.

11 Q And is that relating transmissibility to
12 productivity, is that what you're doing?

13 A Transmissibility and productivity will
14 have some kind of a relation. The higher the transmissibil-
15 ity, the higher we can anticipate the productivity from
16 wells drilled in that area.

17 We've found this to be a characteristic
18 that probably covers a substantial part of the reservoir.
19 There's just no way that we can -- can identify one particu-
20 lar small tract and say it has exactly this amount of oil in
21 place per acre and its neighbor is substantially different.
22 Overall and for a fairly large area of the reservoir they
23 would be about the same and I should point out an example
24 as to how we really can't try to tie exactly a well's pro-
25 ductivity to oil in place per acre. An example is that we

1 drilled one well, produced it natural. We drilled it with
2 air. We found about 60 barrels a day production. We had a
3 downhole fire that melted the drill pipe, drill collars in
4 two; we left about 1000 feet of them in the hole. We pro-
5 duced the well that way for nearly a year and that well, in-
6 cidentally, was one that by analyzing its production
7 behavior led me to believe that the oil was under-saturated,
8 that we were dealing with a drainage area that was probably
9 several miles in a fairly large reservoir.

10 So in order to repair the well we went
11 back in, sidetracked the hole, bottomed the well about 100
12 feet from the initial point (unclear) and it showed abso-
13 lutely nothing. It was dry.

14 We fraced the well and managed to get
15 back the initial productivity, but this shows how in this
16 particular reservoir individual tracts close by are substan-
17 tially different, yet over all in that area the formation is
18 contributing to the production and -- and this is the prob-
19 lem that we come up with.

20 We drilled a well which would be about
21 40-acre spacing, we didn't know any better in those days,
22 north of this particular well. Instead of making 50 or 60
23 barrels a day, it made about 500 barrels a day.

24 Well, if the allowables were based on
25 just productivities, then one well 40 acres north of the one

1 we had the trouble with would get ten times as much oil form
2 the reservoir and I know in my own mind that there's no way
3 that there's ten times as much oil under that tract.

4 Q Mr. Greer, you just stated that using
5 this approach you could see that the formation was contri-
6 buting production.

7 What do you mean when you say the forma-
8 tion contributed production in this area?

9 A Well, we're speaking about the pore space
10 in the reservoir that forms the reservoir. In this instance
11 it's fracture porosity and it's -- it's what forms the pool
12 that the wells draw from.

13 Q What does this exhibit tell you, if any-
14 thing, about the oil in place that you encountered in this
15 area?

16 A Well, it tells me that -- that over fair-
17 ly large parts of any one of the pools that the oil in place
18 will vary but not significantly; vary -- to use the cube
19 root of the productivity, if you have ten times the produc-
20 tivity in one area as compared to another it doesn't have
21 ten times as much oil, it has maybe twice as much oil.

22 Q Now, would you generally describe for the
23 Commission the lithology of the reservoir rock in the areas
24 we're talking about?

25 A Yes, sir. We have a general description

1 of the lithology under Section E of our Exhibit One and I
2 believe I'd -- perhaps I'd best just read this.

3 "Although the majority of the industry's
4 oil reservoirs that are fractured are those that comprise a
5 rock with matrix porosity laced with fractures, the opera-
6 tors in the Boulder and Puerto Chiquito Pools have recog-
7 nized the producing reservoirs to be of fracture porosity
8 only."

9 And references are made to the -- to the
10 study.

11 "Performance of wells in the Gavilan Pool
12 are showing the same characteristics. It is clear that the
13 Gavilan also produces from fracture porosity only.

14 The subject reservoirs are referred to as
15 fracture reservoirs and occur in the Niobrara member of the
16 Mancos shale formation. The lithology of the rock varies
17 from shale to siltstone to sandy layers, and sometimes con-
18 taining a high percentage of calcium or dolomite."

19 And we make reference to some papers that
20 have studied that.

21 "The rock property which is significant n
22 the determination of oil in place is 'effective hydrocarbon
23 porosity'. It is an elusive physical characteristic impos-
24 sible to evaluate from currently available core and log
25 data.

1 Effective hydrocarbon porosity can be ap-
2 proximated from the statistics of depleted pools given a
3 reasonable estimate of the pool's areal size. As to reser-
4 voirs early in their production lives, the only reliable
5 method of estimating effective hydrocarbon pore space is be
6 interference testing. Conventional drawdown and buildup an-
7 alyses are woefully inadequate for this purpose."

8 Q Now, Mr. Greer, you have conducted inter-
9 ference tests in the Canada Ojitos Unit, have you not?

10 A Yes, sir.

11 Q What results did you obtain by conducting
12 these -- in conducting these tests?

13 A We found that oil in place per acre to be
14 on the order of 2000 to 2500 barrels per acre for -- for the
15 zone that we were producing, and I might add, in Canada
16 Ojitos we were dealing with one zone and so we had what an
17 engineer might refer to as a nice, neat problem to deal
18 with. We did not have the complication of additional zones
19 to -- to influence the test, and so we were able to tell a
20 very, what I consider very accurately for the kind of infor-
21 mation otherwise available, the amount of oil in place per
22 acre, and at the same time we determined the reservoir
23 transmissibility.

24 The reservoir transmissibility much
25 higher than the individual transmissibilities determined

1 from buildup tests and drawdown tests on individual wells,
2 simply because these wells are completed in what I call
3 tight fractured blocks and the tight fractured blocks sur-
4 rounded by high capacity fracture system, and this high cap-
5 acity fracture system, it appears, contains maybe half of
6 the oil in place.

7 Q Now, Mr. Greer, would you go to the next
8 page in this exhibit and review for the Commission the re-
9 sults of your work in this area concerning fracture porosity
10 as opposed to the matrix porosity in the subject area?

11 A Yes, sir. On the green sheet we make a
12 comparison of what we found in this fractured reservoir with
13 typical characteristics or characteristics typical of sand,
14 and for this 2500 barrels per acre -- I've used 2500 here --
15 that could be contained in a sand with 10 percent porosity
16 of about three feet, or about two feet of producing sand
17 with 15 percent porosity.

18 So we showed on the bottom schedule a
19 comparison, then, of the transmissibilities that would be
20 anticipated from a typical sand.

21 If it's sand three feet thick and perme-
22 ability one millidarcy, the transmissibility would be about
23 3 millidarcy feet as shown in the fourth column.

24 If the sand is two feet thick and 15 per-
25 cent porosity and 10 millidarcy permeability, it would have

1 transmissibility of 20 millidarcy feet.

2 Now we did not measure 3 or 20 or 100
3 millidarcy feet in our interference test. We measured
4 transmissibility in the range of 5 to 10,000 darcy feet.
5 This means to me that there's no way that the reservoir in
6 which we were taking the interference test was a matrix or
7 sand porosity. It just doesn't fit the characteristics of
8 sand reservoir, and this is important when we get to the
9 problem of studying the possibility or the potential of
10 gravity drainage.

11 It really doesn't have much to do with
12 whether Gavilan is in trouble. It doesn't make any differ-
13 ence whether it's producing from a fracture porosity or a
14 matrix porosity, Gavilan's in trouble.

15 So from that standpoint it doesn't make
16 any difference, but it does make a difference if we are
17 dealing with sand or fracture reservoir when it comes to
18 gravity drainage.

19 Q Now, Mr. Greer, at this time I'd like to
20 ask you some questions and direct your attention to the ef-
21 fect of solution gas drive in the Mancos formation in this
22 area.

23 MR. CARR: May it please the
24 Commission, we have some slides that I think will assist Mr.
25 Greer in presenting this part of the case. We also have

1 hard copies of this material that we have marked as our Ex-
2 hibit Number Two and can circulate at this time.

3 We need to, I think, dim the
4 lights.

5 Q Mr. Chairman, what we want to show here
6 is a comparison of recoveries from solution gas drive
7 mechanism for a sand reservoir as compared to a fractured
8 reservoir, and the solution gas drive recovery mechanism is
9 dependent on the gas dissolved in the oil that gives it the
10 energy to move and we find it is -- in deeper reservoirs
11 there's more gas involved than oil.

12 In the Gavilan the pvt data that we have
13 shows about 38 percent shrinkage or 38 percent of the reser-
14 voir pore space would be occupied by gas, if there were a
15 way to separate the gas and the oil in reservoir and measure
16 the comparative amounts.

17 Q Mr. Greer, you were talking from the
18 first slide, or page one of Exhibit Two.

19 A Yes, sir.

20 Q Would you now go to the second page,
21 which is an illustration showing relative permeability in a
22 sandstone reservoir?

23 A Yes, sir, we show on this slide some sand
24 grains surrounded by oil. I show no connate water in this
25 instance to simplify it and this is for the -- we have as-

1 sumed here 100 percent liquid saturation; pressure, if it's
2 above the bubble point and the well is produced the oil will
3 expand. The pore spaces would still stay filled with oil.
4 You'll have 100 percent liquid saturation until you reach
5 the bubble point. Then at the bubble point as the pressure
6 drops, gas starts to come out of solution and we show that
7 on the next slide.

8 Q Okay, and that's page three of Exhibit
9 Number Two.

10 A Yes, sir. And in a sandstone reservoir
11 with good relative permeability characteristics, the gas be-
12 comes trapped in the interstices between the sand grains and
13 doesn't move and oil flows around it and as the pressure
14 drops the gas, more gas comes out of solution, the oil
15 shrinks and the oil expands and that takes a little while to
16 get that concept in one's mind, but as the oil is withdrawn
17 from the reservoir by production, the remaining oil tends to
18 expand to take up that space but it can't go all the way and
19 so some gas comes out of solution to help, and we speak even
20 though the oil is expanding, we speak of it shrinking be-
21 cause the space occupied by the oil shrinks and there's just
22 more -- gas space.

23 As production continues, then, the gas
24 bubbles apparently begin to link together, as shown on the
25 next slide, and at this point the gas then moves much more

1 rapidly through the pore space. By moving rapidly through
2 the pore space there's more gas produced with each barrel of
3 oil and then the pressure drops faster with each barrel of
4 oil produced than it did before, and as the pressure drops
5 the oil shrinks, the gas space increases, and a vicious
6 cycle is started in which there is a continually increasing
7 ability for the gas to move through the pore space and the
8 pressure to drop.

9 Q Now these first four pages or slides il-
10 lustrate a typical cycle for a solution gas drive reservoir,
11 do they not?

12 A Yes, sir, for a sandstone reservoir.

13 Q Are you ready to go to the next slide on
14 page number five?

15 A Here we show the relative permeability
16 characteristics. The three solid lines on the right repre-
17 sent relative permeability characteristics for a fractured
18 reservoir.

19 The dashed line represents the line that
20 I used in calculating what we might anticipate for a solu-
21 tion gas drive in this area.

22 The wavy line on the left is -- shows
23 characteristics for a typical sand and we note at the bottom
24 of the graph, if I could point to it, this is 100 percent
25 liquid saturation on the right, 90 percent liquid saturation

1 about where the gas first starts to appear as a free gas in
2 a sand reservoir.

3 In a fractured reservoir the gas starts
4 immediately.

5 Given this relative permeability ratio
6 and the pvt data of the oil, the relative permeability char-
7 acteristic is characteristic of the reservoir rock, the pvt
8 data is characteristic of oil, given those two things an en-
9 gineer can calculate the recovery of oil in place by the so-
10 lution gas drive.

11 Q Will you now go to page six of Exhibit
12 Two, identify this and review it?

13 A This is the -- shows the relation which I
14 calculated for -- for solution gas drive for the dashed line
15 relative permeability characteristics and pvt data for West
16 Puerto Chiquito.

17 Now Gavilan pvt data, as best we know it,
18 is about the same as West Puerto Chiquito.

19 On the vertical scale on the left we show
20 the pressure scale and this is the pressure line running
21 down.

22 The gas/oil ratio scale is on the right
23 and this is the gas/oil ratio curve.

24 For this reservoir, these characteris-
25 tics, I come up with about 5-1/2 percent of the oil in place

1 to be anticipated to be recovered then at about 175 - 150
2 pounds reservoir pressure.

3 If the price of oil and such allows con-
4 tinued operations, there could be a little bit more re-
5 covered at the lower -- lower pressures.

6 Q Now, Mr. Greer, are you ready to go to
7 the next slide?

8 A Yes.

9 Q Would you identify this, please?

10 A I've shown schematically here some frac-
11 tures and here we show by brown the impermeable matrix;
12 green, a thin connate water film and then in the center of
13 the fractures the (unclear) oil.

14 Q Now go to page number eight, please.

15 A And here we show what happens when we
16 reach the bubble point in this particular reservoir. There
17 are no -- there are no restrictions to the gas in the frac-
18 tures. Once the gas comes out of solution and bubbles form,
19 they're going to move right in the direction of wherever the
20 oil is going. There's nothing to impede their progress and
21 so that's why gas/oil ratios start high quicker in a frac-
22 tured reservoir than they do in a sand reservoir.

23 Q All right, would you now go to the next
24 slide or page number nine?

25 A And here we show the high capacity chan-

1

2 nel which is going to develop soon after the gas starts to
3 move through the -- through the fracture.

4

5 The oil shrinks up against the walls,
6 thickens as the pressure drops, and will be left in such a
7 way that it's impossible to recover it by any enhanced means
8 later on. If -- if a high recovery solution gas drive is
9 intended or attempted to be achieved in the reservoir, you
10 have to do it in the primary stages, or the initial stages.
11 You can't wait to deplete it like you can in sand reser-
12 voirs, and go back and then with enhanced methods get the
13 oil you left behind. Once it's left in the fractured reser-
14 voir, it's there forever.

15

16 Q Will you go to page number ten in Exhibit
17 Number Two, the next slide? What does this show?

18

19 A Well, this shows that even in a sand
20 reservoir, depending upon the cementing characteristics of
21 the sand grains, it's possible to have a flow channel some-
22 what similar to the fractured reservoir, and in a sense this
23 sand would have a poorer relative permeability characteris-
24 tic.

25

26 We don't know if that's what happend in
27 Gallegos Gallup but Gallegos Gallup, according to the study
28 made by the consultants when secondary recovery measures
29 were contemplated some thirty years ago, they came up with a

1 relative permeability characteristic poorer than what I've
2 selected for a fractured reservoir. Perhaps this is what
3 happened in Gallegos Gallup. We don't know, but that's a
4 possibility.

5 Q All right, Mr. Greer, would you now go to
6 the next slide, the last page in the Exhibit Number Two and
7 explain that?

8 A In this graph we anticipated the produc-
9 tion histories of two reservoirs that had the same kind of
10 oil but they had different relative permeability character-
11 istics.

12 The upper curve shows pressure for a sand
13 reservoir extending on out at depletion to about 20 percent
14 of oil in place.

15 Q That's the curve that has BHP above it,
16 is that right?

17 A Yes, sir.

18 Q All right.

19 A It's corresponding gas/oil ratio follows
20 along this lower line and we know that by the time the
21 gas/oil ratio for this particular reservoir reaches about
22 3000 cubic feet per barrel (unclear) 2000 - 3000, that more
23 than half of the oil has been produced from this sand
24 reservoir.

25 By the same token, for the fractured re-

1 servoires we show a pressure decline by the red colored area
2 runs from about 4 to 6 percent of the oil in place and the
3 gas/oil ratios run much higher, of course, than in the sand
4 resevoir, and so ultimate recoveries are substantially less
5 then for the fractured reservoirs as compared to the sand
6 reservoirs. Not only is there less oil in place in a frac-
7 tured reservoir than a sand reservoir, of that oil in place
8 a smaller percent is recovered in a fractured reservoir.

9 Q Now, Mr. Greer, I'd like you to go back
10 for a minute to page eight and ask if you could briefly
11 describe the effect of gravity segregation on this example.

12 A Yes, sir. We can see here how in a frac-
13 tured reservoir it's possible to have gravity drainage and
14 gravity segregation that's going to come about much ore
15 readily than the sand reservoir.

16 For instance, once those bubbles form, if
17 they have an up-dip direction to go and the pressure grad-
18 ient from wherever these bubbles are to the producing well
19 is less than the segregation pressure, the difference in
20 densities of the gas and oil, those bubble would rise to the
21 surface, you'll have gravity segregation and variable drain-
22 age, an opportunity to recover a high volume of oil.

23 This is a very powerful force. If those
24 pressure gradients are held low in the reservoir in produc-
25 ing wells, there's just no way to stop those bubbles from

1 moving to the top and the oil from going to the bottom.

2 Q Now, Mr. Greer, at this time I'd like to
3 direct your attention back to Exhibit Number One, and that
4 concludes the slide presentation, and direct your attention
5 in Exhibit One to Section F and I'd ask you to first ident-
6 ify the first document behind the index Tab F.

7 Is this the same graph that was included
8 in Exhibit Two on page number 5?

9 A Yes, sir.

10 Q And do you have anything to add to your
11 testimony at this time from this particular exhibit?

12 A No, only that I guess we would apologize
13 for not having all of these hard copies in this particular
14 exhibit. We presented all of them at the hearing three
15 years ago and in order to save time I thought that we could
16 just skip over the details but upon review, why our
17 counselor suggested that we should not make that -- to try
18 to save time at this point, so that's why we have them in
19 this fashion.

20 Q Would you identify the next exhibit in
21 this packet?

22 A It's the same exhibit as the last slide
23 and the last page of our Exhibit Two, Page 11.

24 Q And this is colored as the slide.

25 A Colored as the slide, yes.

1 Q All right. Would you now turn to the in-
2 formation contained behind index Tab G in Exhibit Number One
3 and identify that and then, if you would, explain what this
4 comparison shows?

5 A This is a comparison of the rates of de-
6 pletion in West Puerto Chiquito and Gavilan, and the reason
7 we show this is that I have said that Gavilan is being over-
8 drilled and over-produced, and although the Canada Ojitos
9 Unit may not be an ideal comparison of what Gavilan should
10 -- should try to be the same as, the comparison is neverthe-
11 less helpful to see the difference in depletion rates that
12 are taking place in the two different pools side by side.

13 In Line 1 we show anticipated recovery in
14 barrels per acre for the two different pools and I have
15 identified by the asterisk how I arrived at those recovery
16 factors.

17 Q As to the 300 figure, would you review in
18 detail what is included within that figure?

19 A Yes, sir. In that 300 barrels per acre
20 we've included approximately 200 barrels an acre of solution
21 gas recovery and then another 100 barrels per acre divided
22 between oil production above the bubble point, a hoped for
23 thing, we're not sure that there was a pressure above the
24 bubble point when Gavilan was first drilled, but many of us
25 think that's a possibility.

1 And the rest of it is from gravity drain-
2 age.

3 Now, this was what we had hoped for if
4 there had not been too -- too many wells drilled and too
5 high a rate of production unless a change is made in the way
6 the pool is being developed.

7 So for Gavilan and for future production
8 the 300 barrels per acre is probably high, so we might keep
9 that in mind as we look down through the schedule.

10 Under Line 2, if we have an allowable
11 production rate of 700 barrels per well per day, that's the
12 same for both areas.

13 The depletion rate, then, in terms of ac-
14 res per day, this may be a depletion rate that people have
15 not really thought much about before, but in this instance
16 it's significant, how many acres a day is a well depleting;
17 in Canada Ojitos about one acre a day; in Gavilan, then, at
18 least two acres a day, maybe closer to three.

19 The well density in West Puerto Chiquito,
20 2500 barrels per acre, or within the Canada Ojitos Unit,
21 2500 acres per well, I'm sorry; in Gavilan about 320 acres
22 per well.

23 Then if we divide this well density in
24 terms of acres per well by the depletion rate in terms of
25 acres per day, we arrive at the number of days that it takes

1 to deplete that particular well's tract.

2 In Canada Ojitos it's 2500 days, several
3 years.

4 In Gavilan it only takes 140 days to pull
5 all the oil out from under the well spacing unit and this
6 doesn't mean that at the end of the 140 days that the well
7 starts pulling oil out from under its neighbors. We've
8 found from the testing that we've done that this begins to
9 take place within if not days, a matter of hours from the
10 time a well goes on production in Gavilan it's beginning to
11 drain its neighbors.

12 Then if we have an allowable it's
13 depleted at the same rate as Canada Ojitos is depleted.
14 Canada Ojitos is 700 per well; the comparable depletion in
15 rate allowable in Gavilan would be 39 barrels a day.

16 Q Now are you saying that's the proper al-
17 lowable?

18 A No, sir, we're not saying that's the pro-
19 per allowable. In this instance our applications are asking
20 for 200 barrels per day. But what we're saying is that 200
21 barrels per day is plenty. It's more than adequate.

22 Q Do you present subsequent calculations
23 that justify the 200 barrel allowable figure?

24 A Yes, sir.

25 Q And on this exhibit the 700 figure in the

1 second line, we're talking about the state's depth bracket
2 allowable, is that what we're talking about in Line 2, the
3 production rate, that 700 figure?

4 A Yes, sir, the -- the allowable for Gavi-
5 lan now is approximately 700 per well and 320-acre spacing,
6 and within the Canada Ojitos Unit wells drilled on the same
7 spacing, it's the same 700 barrels.

8 Q Now, Mr. Greer, have you participated in
9 recent meetings with operators in the area?

10 A Yes, sir.

11 Q And at those meetings what concerns have
12 you discussed concerning possible solutions of the problem
13 in the Gavilan - Puerto Chiquito areas?

14 A We've talked about, and I believe that
15 all the operators recognize that there's a problem, and they
16 appear to have differences as to -- to how to solve the
17 problem. They appear to be in agreement that allowable
18 should be reduced. They appeared not to be in agreement as
19 to the level at which the well was to be reduced and they've
20 had some -- discussed some arguments against the allowables
21 which McHugh and Benson-Montin-Greer recommended.

22 The main arguments that they put forth
23 are shown on this first page under Section H.

24 The first one is a change in allowable
25 during development of a field is an improper regulation

1 since it adversely impacts industry's plans made at an ear-
2 lier time.

3 Another argument put forth is that the
4 allowable change will cause economic hardship.

5 And another argument is reduction in pro-
6 duction rates from current levels, if undertaken, should be
7 proportional to current rates of production.

8 Q Mr. Greer, do you believe that changing
9 allowables during the development of the field is an impro-
10 per type of regulatory action?

11 A No, sir, I don't. We set out our posi-
12 tion in that respect under -- on the second page, the pink
13 colored sheet following the yellow colored sheet.

14 Q In Section H?

15 A Under Section H.

16 Q And basically what is that position?

17 A That position, as we describe it on the
18 second page under Section H is that any rule or regulation
19 of the Conservation Division is subject to change. The Con-
20 servation Division is obliged to make changes in any of its
21 rules and regulations whenever information is developed sup-
22 porting such a change and this information is brought before
23 the Commission in accordance with its rules.

24 The operators cannot be guaranteed that
25 any given allowable will remain fixed throughout any parti-

1 cular time or phase of development or depletion in the life
2 of a pool, including an operator's payout period for his de-
3 velopment program.

4 The risk of a change in allowable is just
5 one of the many risks an operator assumes when he drills a
6 well.

7 Q What about the argument that an allowable
8 change will cause economic hardship on certain operators?
9 What's your response to that?

10 A We set out our response to that on the
11 blue colored page, the third page under this section.

12 And we say, as noted in Item 1, Page 2,
13 the owner of a well assumes many risks when he undertakes
14 the drilling of a well and some of those risks are factors
15 affecting economics. Just as the Oil Conservation Division
16 cannot guarantee a fixed allowable, it cannot guarantee the
17 stability of other economic factors, such as fixed price
18 for oil.

19 Those owners developing West Puerto Chi-
20 quito have in the past faced many economic adversities, in-
21 cluding tier one category pricing and windfall profits tax
22 for oil.

23 Initial development conditions in West
24 Puerto Chiquito included a price for oil of \$2.05 per barrel
25 at the wellhead when drillins costs approximately \$180,000

1 per well, compared to today's drilling costs of approximate-
2 ly \$500,000 per well, this would equate to an oil price of
3 about \$6.00 per barrel at the wellhead.

4 Although current economic conditions are
5 not favorable, they still are not as adverse as those under
6 which the West Puerto Chiquito Pool was initially developed.

7 Q Mr. Greer, do you agree with the idea
8 that any reduction in the current level of production in
9 this area should be on a proportional basis?

10

11 (Thereupon a recess was taken.)

12

13 MR. STAMETS: The hearing will
14 come to order.

15 Q Mr. Greer, when we recessed I had just
16 asked you if you agreed with the idea that any reduction in
17 the current level of production in this area should be on a
18 proportional basis. Will you comment?

19 A Yes, sir, I feel very strongly that it
20 should not be and --

21 Q Would you explain why?

22 A -- we set out on a green sheet, the last
23 sheet under this section, our arguments, and although ordi-
24 narily I don't like to read my testimony, I think in this in-
25 stance I need to read this information set out here.

1 This argument, implicit in it are two un-
2 warranted assumptions. One is that the existing allowable
3 is a proper allowable and the other is that each well's
4 share is a proper allowable, and the other is that each
5 well's share of the pool's recoverable oil is directly
6 proportional to well productivity.

7 As to the first reason, and as shown
8 earlier herein, the existing allowable is unreasonably high
9 give the anticipated average recovery from a 320-acre
10 proration unit, absent pressure maintenance and gravity
11 drainage, which refutes this assumption.

12 As to Item -- the second one, Item B,
13 listed above, that a well's productivity is in direct
14 proportion to the well's share of the pool's recoverable
15 reserves, we note the following:

16 1. As shown earlier herein, hydrocarbon
17 pore space is greater for those parts of the reservoir which
18 have higher transmissibilities. The proportion, however, is
19 not one to one; rather the hydrocarbon pore space can be
20 expected to vary with transmissibility approximately as the
21 cube root of the ratio of transmissibilities of the two
22 areas.

23 2. This variation in reservoir pore
24 space throughout the pool can be described only on an area
25 basis, not on an individual well basis.

1 Extensive testing in West Puerto Chiquito
2 has shown that not only are individual well productivities
3 not representative of area reservoir characteristics, but
4 information derived from pressure buildup tests, although
5 yielding better information than well productivities, still
6 does not show the area's reservoir characteristics.

7 In this type of a reservoir such informa-
8 tion can be determined only through interference testing.

9 4. As a consequence of the above, it is
10 a practical impossibility to relate well productivities to
11 reservoir volume directly, such that well productivity would
12 be a proper parameter to use in determining well allowables.

13 We note, for example, that wells in West
14 Puerto Chiquito have indicated productivities up to 10 to
15 20,000 barrels per well, and a 70 percent reduction thereof,
16 the approximate reduction proposed in Cases 8950 and 8946,
17 could still result in allowables of 3000 to 6000 barrels per
18 day per well, unreasonably high figures.

19 Q Now, Mr. Greer, would you identify for
20 the Commission the document contained behind index Tab I in
21 Exhibit Number One?

22 A Yes, sir. This is a recommended proposed
23 special rules and regulations which would apply to the pres-
24 sure maintenance project in the Canada Ojitos Unit in the
25 event the Commission adopts our recommendation. This would

1 be a starting point for the Commission drawing up its rules.

2 Q Now, Mr. Greer, throughout --

3 MR. PEARCE: I apologize, Mr.
4 Carr, for interrupting your examination of this witness.

5 We are not here on an applica-
6 tion for a pressure maintenance project, are we?

7 MR. CARR: No, we are not here
8 asking for a limit on that. We're here to restrict produc-
9 tion as set forth in the application.

10 MR. PEARCE: In the -- and the
11 way in which the witness just discussed the source of these
12 special rules and regs, I don't understand. Could you have
13 the witness go through that again?

14 MR. CARR: Yes.

15 MR. PEARCE: Thank you.

16 Q Mr. Greer, would you explain why the pro-
17 posal is contained in the format it is as the last part of
18 Exhibit One?

19 A Yes, sir. The regulations and the rules
20 that we're currently living under in our pressure mainten-
21 ance project sets out the allowable and a gas/oil ratio.
22 For instance, it says the gas/oil ratio is 2000-to-1, so
23 that if the Commission adopts a different gas/oil ratio,
24 then it, perhaps, would just automatically flow through the
25 rule that the pressure maintenance project is under.

1 But it would seem to me that it's
2 appropriate for the pressure maintenance project special
3 rules to be modified so that they're compatible with what
4 this order will be if it's changed from the condition it's
5 in.

6 MR. STAMETS: Mr. Greer, these
7 rules would apply only to the West Puerto Chiquito Mancos
8 Pool and the Canada Ojitos Unit.

9 A Yes, sir, that's all --

10 MR. STAMETS: They would not
11 apply at all to the Gavilan.

12 A Well, no, no, sir. We're not talking
13 about pressure maintenance.

14 Q And that's simply where these figures are
15 contained in the rules under which you operate.

16 A Yes, sir, if we don't change these
17 special rules, then there would be a conflict between the
18 order which we hope the Commission will enter and the rules
19 that we have to live under for the pressure maintenance pro-
20 ject.

21 Q Now, Mr. Greer, throughout the -- this
22 hearing one of the conflicts which bears on, I think, all
23 the discussions is gravity drainage.

24 I'd like now to ask you several questions
25 about gravity drainage and its impact on this reservoir, and

1 would ask you now to refer to what has been marked as Ben-
2 son-Montin-Greer Exhibit Number Three.

3 A Exhibit Number Three is in a red cover.

4 Q It's also in a red cover.

5 A Also in a red cover.

6 Q All right, Mr. Greer, would you refer to
7 the first document contained in Exhibit Number Three, which
8 is a portion of a well log, identify this, and review for
9 the Commission what it shows?

10 A Yes, sir. This shows the three principal
11 producing zones that we've identified as A, B, and C Zones.
12 We recognize them in Canada Ojitos area and West Puerto Chi-
13 quito Pool.

14 It appears to be the same zones are --
15 are -- exist in Gavilan and with respect to gravity drain-
16 age, I have assumed that the different zones are separated.

17 Now we know that in places where a fault
18 exists that probably all three zones are tied together and
19 there could be gravity flow directly from top to bottom
20 through the section.

21 To be on the conservative side I've as-
22 sumed that the reservoir is a stratified reservoir. We know
23 that in some instances as far as individual wells are con-
24 cerned, that the zones are isolated.

25 So in order to calculate gravity drainage

1 I've dealt only with the dip of the formation and the as-
2 sumption that the oil will flow down dip, not down the --
3 directly down the well, or down the formation from top to
4 bottom.

5 Q Will you now go to the pink sheets that
6 follows the log section and identify those?

7 A I show here where I arrived at the method
8 of calculating gravity drainage and, Mr. Chairman, I'd point
9 out again, here where we're dealing with a different kind of
10 a formation and not as typical, namely this fractured forma-
11 tion, that the formulas ordinarily used to calculate gravity
12 drainage are not much help. The problem is, as shown on the
13 second of the pink sheets, where Muskat shows gravity drain-
14 age in terms of barrels per day per acre, the third equation
15 on the sheet, it's expressed in terms of permeability and we
16 just don't -- can't measure permeability directly in this
17 formation, nor can we measure pay thickness.

18 We can from interference testing come up
19 with transmissibility in terms of permeability feet. We can
20 get some kind of an idea from individual well testing, al-
21 though not much, but there again we're limited to perme-
22 ability feet, and to convert this to a practical formula
23 that we can use and apply in this area, I took Muskat's for-
24 mula and changed it as shown, or from that worked to a ex-
25 pression in terms of barrels per day per linear mile along

1 strike, and this information was first presented to this
2 Commission in Case 3455, in 1969, BMG Exhibit 2.

3 Q Now you're talking about the blue sheets
4 --

5 A Yes, sir.

6 Q -- in this exhibit.

7 On the second blue sheet we show Muskat's
8 formula at the first of the equations at the top of the
9 page, then how we go through and just by very simple, ele-
10 mentary mathematics convert the relations to one that's use-
11 ful to us, which gives us, at the bottom we show the differ-
12 ent barrels per day per linear mile along strike.

13 And on the third blue sheet we show what
14 that formula is, and --

15 Q Has anyone else used this basic approach
16 to calculating gravity drainage rates?

17 A Generally -- generally no, and in search-
18 ing through the literature to see if anyone else had devel-
19 oped this same kind of an approach, I found it very diffi-
20 cult to locate it, but I did find one article, which is
21 shown on the yellow colored sheets, published in the AIME
22 Transactions for 1949, and article by Elkins, French, and
23 Glenn, we show the title page of their article on the second
24 of the yellow sheets, and then on the third of the yellow
25 sheets the formula that they arrived at, they determined in

1 the pool that they were working in that they needed to know
2 a gravity drainage in terms of distance along the strike,
3 the same as I had done for this area, and their formula is
4 shown as the third, third equation on this yellow sheet, and
5 they expressed the density of the oil in terms of pounds per
6 square inch per foot, and Muskat in his work used density in
7 terms really of specific gravity in which water is equal to
8 1.

9 So we convert Elkins, French, and Glenn's
10 formula by -- back to specific gravity and when we do, as
11 shown by the penciled notations on the page, and we come up
12 with exactly the same formula that I did by working straight
13 from Muskat's initial work.

14 Q Mr. Greer, would you go to the graph con-
15 tained in this exhibit on the green sheet, entitled Gravity
16 Drainage Rates, West Puerto Chiquito --

17 A Yes, sir.

18 Q -- and would you review that, please?
19 Are you ready to go to that yet?

20 A Yes, sir. By using the formula just des-
21 cribed to calculate the gravity drainage rate in terms of
22 barrels per day per linear mile along the strike, and I've
23 shown it here for dips running from 800 feet per mile down
24 to 100 feet per mile.

25 The work which McHugh's witness, Dick El-

1 lis, mapped that he put on in the early part of this hear-
2 ing, showed dip approximating 100 feet per mile. We used
3 the bottom line here as the applicable dip for Gavilan, for
4 a good part of Gavilan, and transmissibilities we've seen
5 from the interference testing, although we can't calculate
6 oil in place directly, we can make an estimate of transmis-
7 sibility by analogy to the tests which we made in Canada
8 Ojitos.

9 In Canada Ojitos we found that we could
10 pick up an interference effect within 24 hours of observa-
11 tion wells a mile away from the producing well, and we found
12 the same thing in Gavilan.

13 Now in West Puerto Chiquito we knew that
14 the oil was under-saturated and in Gavilan we don't know
15 that it's under-saturated at the time of the test. But what
16 that means is that if the oil is under-saturated, otherwise
17 the analogy is the same, we can expect the same transmis-
18 sibility for the reservoir in the Gavilan as was found in
19 Canada Ojitos.

20 Now if the oil is saturated and not
21 under-saturated, then the transmissibility in Gavilan is
22 higher than what we have shown.

23 Those transmissibilities run in the range
24 of 5 to 10 darcy feet and those are the last lines on the
25 righthand side of the graph which projected up to 100 feet
per mile dip, show gravity drainage rates of 200 to 400 bar-

1 rels per day per linear mile along the strike, and circling
2 the Gavilan nose we can come up with 8 to 10 miles along the
3 strike and so that means like 2000 to 3-or-4000 barrels per
4 day possible potential gravity drainage rates in the Gavi-
5 lan.

6 Now even if we were to cover only a small
7 part of that, that's significant and it's something which we
8 feel the operators should strive for in Gavilan.

9 Q Mr. Greer, when you make this comparison,
10 does the dip in the West Puerto Chiquito area, is it compar-
11 able to what you see in the Gavilan?

12 A Yes, sir, it is comparable. The -- in
13 some of the discussions we've had with engineers estimating
14 gravity drainage rates, they point out, to where you have
15 those real steep dips in the Canada Ojitos Unit, up to 1000,
16 2000 feet per mile. But those steep dips in the Canada
17 Ojitos Unit are in the gas cap. They don't have anything to
18 do with the rate of gravity drainage in the main part of the
19 reservoir.

20 The main part of the reservoir with grav-
21 ity drainage has dips of 200 to 400 feet per mile and the
22 best gravity drainage area we have is 200 feet per mile, on-
23 ly twice that of Gavilan, so they are comparable. They are
24 quite comparable.

25 Q Have you prepared a comparison of gravity

1 drainage rates for a fractured reservoir and also for a mat-
2 rix sand reservoir?

3 MR. STAMETS: Could we stop for
4 just a minute?

5 MR. CARR: Yes.

6 MR. STAMETS: I'd like to be
7 clear what Mr. Greer is telling me here, based on the last
8 -- on Figure Five, the Gravity Drainage Rates.

9 Mr. Greer, are you saying that
10 in what is now designated the Gavilan-Mancos Pool, that un-
11 der -- well, under what you would consider maximum operating
12 conditions or maximum efficient rates of flow, or production
13 from this pool, that from the overall pool we could expect
14 to get 2000 to 4000 barrels a day gravity drainage within
15 the reservoir?

16 A Yes, sir.

17 MR. STAMETS: Okay. Now, is
18 this at the production rates which have been proposed by you
19 and Mr. McHugh and if the current production rates continue
20 to prevail, will this 2000 - 4000 barrels a day go away?

21 A Yes, sir, the 2000 - 4000 a day is drop-
22 ping every day and the comparison is this: As the gas/oil
23 ratios rise and the -- as you'll recall from our -- our
24 slide presentation, the ability of the gas to move increases
25 rapidly. At the same time that the gas production and gas

1 moving increases rapidly, the rate of oil movement decreases
2 rapidly, and so once the bubble point is reached and the
3 pressure drops below that, then the rate of movement of the
4 oil through the reservoir drops off fast, and this may not
5 show up in a well, in an individual well; as the gas/oil
6 ratio increases in a flowing well, the column gets lighter
7 and it will even produce better and you think you have a
8 higher productivity for the reservoir. The rate at which
9 the oil moves through the reservoir and the gravity drainage
10 part drops off significantly, and it is so significant that
11 that is one of the reasons for the timing, and why the tim-
12 ing is so critical.

13 I would estimate that somewhere in the
14 range of six months to twelve months, that that gravity
15 drainage rate will drop from its maximum amount down to al-
16 most zero. For all practical purposes it will drop down to
17 where it just would not be feasible to attempt to recover
18 and that's -- that's why the urgency of this order, to give
19 the operators an opportunity to look at the problem, to see
20 if they agree with this, and to do something about it, and
21 if, for instance, and I've taken a simple for instance, but
22 if we can change not 100 percent of the gravity drainage po-
23 tential but 10 percent of the gravity drainage potential,
24 just one-tenth of what's possible, then that is equivalent
25 to the solution gas drive, because, you see, the gravity

1 drainage potential is like 55 percent of the oil in place;
2 from the reservoir information that's available we know
3 about that. Solution gas drive is like 5 percent. So if we
4 can get one-tenth of the gravity drainage potential, we can
5 double the reservoir's recovery, and I'm estimating in round
6 numbers from the rate at which the pressure is declining and
7 the other information we had before, the Gavilan is looking
8 at something like 5-million barrels in the future. If you
9 double that to 10-million barrels, there's 5-million barrels
10 of additional gravity drainage that can be recovered, can be
11 recovered, say at \$10 a barrel is \$50,000,000.

12 If in a year that potential disappears,
13 then we've lost \$50,000,000 of future recoverable oil and
14 you convert that to dollars a day and that's like \$150,000 a
15 day that we're losing. If it's direct proportion and it
16 probably is, for every day this hearing continues, we're
17 losing another \$150,000.

18 So we're producing maybe 70, \$60 or
19 \$70,000 worth of oil a day and we're losing twice that. I
20 think that's a reasonable explanation.

21 I hope that's the answer to your ques-
22 tion.

23 Q Mr. Greer, to follow up on that, if the
24 application of Benson-Montin-Greer and McHugh is granted,
25 something happens and gravity drive, anything doesn't work

1 as you've done it, who's harmed?

2 A Oh, there'd be no harm. There'd be no
3 harm. The oil is still there and if it's solution gas drive
4 recovery that everybody is going to look to, why, then no-
5 body would be harmed, it's still there.

6 Q What's the effect of not granting this
7 application and continuing?

8 A Well, one of the effects is going to be
9 that we have a very serious problem in continuing our opera-
10 tion in -- in Canada Ojitos Unit.

11 For twenty-five years we've done our best
12 to recover the maximum amount of oil, utilizing gravity
13 drainage, restricted production rates, and we just don't
14 know that the permeability restriction which we hope is be-
15 tween the two pools will be effective enough to protect us
16 or not, and in addition to the gravity drainage recovery
17 that Gavilan is going to lose, we will lose the gravity
18 drainage recovery that we have every reason to believe and
19 expect that we should be entitled to.

20 Q And in a nutshell isn't that why you're
21 here?

22 A That's why we're here.

23 Q Have you prepared a comparison of gravity
24 drainage rates for fracture porosity reservoirs and also for
25 matrix sand porosity?

1 A Sure. We've shown that comparison as the
2 last sheet in this exhibit, Exhibit Number Three, and the
3 reason we show this is because there's such a significant
4 difference in attempting to recover oil from a sand reser-
5 voir by gravity drainage as compared to a fractured reser-
6 voir.

7 And that's why many sand reservoirs
8 realize only small, small amount of gravity drainage.

9 Within a fractured reservoir you have
10 high transmissibilities, the ability of oil to move rapidly
11 down dip and there's not much oil in place, so by gravity
12 drainage you can recover all of the oil that's possible to
13 recover in a reasonable length of time, whereas in a sand
14 reservoir that would be impossible.

15 We make this comparison and I think we
16 just need to go down through every line.

17 We have two reservoirs with the same
18 transmissibility of 10 darcy feet.

19 The sand reservoir let's say is 20 feet
20 thick, porosity 20 percent, permeability of 500 millidarcys,
21 and we have the 10 darcy feet transmissibility.

22 The fracture reservoir we don't know the
23 sand thickness, don't know the porosity, don't know the per-
24 meability but by interference test or whatever we know that
25 the oil in place is 3000 barrels.

1 The comparable oil in place per acre for
2 the sand reservoir is about 31,000 barrels, and the oil in
3 place in a 3 square mile section, say, is one mile along
4 the strike and 3 miles down dip, in a sand reservoir would
5 be 60-million barrels and in a fracture reservoir about 5.8-
6 million barrels.

7 The solution gas drive recovery percent
8 of oil in place, we'll say it's 20 percent to the sand and
9 about 6 for the fractured reservoir. That gives us a re-
10 covery per acre of 6000 barrels for the sand reservoir, 200
11 for the fractured reservoir. That's solution gas drive re-
12 covery.

13 This recovery then for this 3 square mile
14 section is 11-million barrels for the sand reservoir and
15 about 400,000 barrels for the fractured reservoir.

16 The gravity drainage recovery, and here
17 I've used $1/2$ of a maximum of 55 percent of the oil in
18 place, and I've used that because that's what we think we're
19 realizing in Canada Ojitos, and if it's a good sand reser-
20 voir you'll probably get more than 55 percent, but to make
21 them comparable, I've used about $1/2$ of 55 percent for both
22 of them.

23 The barrels per acre recovery under grav-
24 ity drainage for the sand reservoir is about 8000 barrels,
25 and about 800 for the fractured reservoir.

1 For the 3 square mile section, 16-million
2 barrels for the sand reservoir, a million and a half for the
3 fractured reservoir.

4 Gravity drainage rate for both reser-
5 voirs, now, is only 200 barrels per day per linear mile
6 along the strike.

7 Despite all the oil, all the sand, all
8 the volume in the -- in the sand reservoir, its gravity
9 drainage rate is still only the same. I've assumed here
10 that the vertical permeability is zero in order to make the
11 two columns.

12 Then the number of years that it takes
13 for gravity drainage to reach the equivalent solution gas
14 drive recovery for a sand reservoir is something like 150
15 years, whereas in a fractured reservoir it's only 5 years.

16 To obtain the entire gravity drainage re-
17 covery it would be like 200 years in the sand reservoir ver-
18 sus about 20 in the fractured reservoir.

19 So whereas gravity drainage might not be
20 feasible in all sand reservoirs, in a fractured reservoir
21 the characteristics make it entirely possible and a target
22 to shoot at.

23 Q Mr. Greer, you were present at the first
24 two days of this hearing, were you not?

25 A Yes, sir.

1 Q And at that time you heard certain ques-
2 tions asked concerning the impact of your proposal on state
3 revenue.

4 A Yes, sir.

5 Q Have you studied that question and pre-
6 pared certain exhibits which address the overall impact on
7 state revenue of what's being proposed?

8 A Yes, sir, I have.

9 Q Are those contained in the booklet with
10 the green cover that's been marked Benson-Montin-Greer Exhi-
11 bit Four?

12 A Yes, sir.

13 Q Would you refer now to the first item in
14 that booklet behind index Tab A, identify that and review
15 the information for the Commission, please?

16 A Yes, sir. We show under Tab A, we note
17 here that the chairman has asked for this information and in
18 order to answer it, to make an informed answer, we checked
19 on what the State's current situation is with respect to
20 earnings and borrowing.

21 And in Item 1 we show that in the week
22 ending August 15th, that the excess funds on deposit were
23 about 6.1 to 6.25 percent. Approximately \$184-million of
24 these kinds of funds were on deposit then.

25 The longer term interest earnings ran for

1 CD's about 6.01 percent for a year; for 182 days, 5-75 per-
2 cent.

3 \$256-million were earning interest at
4 these rates at the time, according to our inquiry.

5 The cost of money for funds borrowed is
6 that some severance tax bonds were sold in July at the rates
7 indicated there, which was about 6-1/2 percent.

8 So from the above, then, I've assumed a
9 discount rate of 6-1/2 percent per year to make my analyses,
10 and I noted in this morning's paper that the Fed lowered the
11 discount rate another .5 of a percent and that will soon be
12 reflected in such things as this, and so the 6-1/2 percent
13 that I used may be a little bit high.

14 Q But this is how you calculated the
15 discount rate.

16 A Yes.

17 Q All right, will you go to the next page,
18 please?

19 A The next page shows posted prices in the
20 Four Corners area by two of the companies, Shell up until
21 the end of 1984 and Giant Refining Company after that.

22 The price of oil was decontrolled in
23 January, 1981, and since that time we can see how the price
24 has gradually dropped until it reached its precipitous
25 decline here early this year.

1 I've shown an approximate scale here of
2 the 6-1/2 percent per year escalation, starting from the
3 point at which oil is being sold here in mid-August, and the
4 point of this, Mr. Chairman, is to show what would happen in
5 terms of state revenue if for instance oil that could have
6 been sold today was delayed until later on, say, for
7 instance, it sold two years down the line, it sold for more
8 than about \$13.00 a barrel, the State would realize a higher
9 discounted net worth from that oil than if it sold today.

10 In other words, the State could reduce
11 the allowable, could sell some severance tax bonds for a
12 similar amount, pay interest on those bonds and in two years
13 sell the oil and be ahead financially as compared to produc-
14 ing the oil and getting the income now.

15 And the question, of course, is what is
16 the price of oil going to do, and I'm sure that everybody in
17 this room studies all the information they can get in that
18 respect, and without exception we find that the analysts
19 have concluded that the price of oil is at the bottom of its
20 cycle now. It's going to have to go back up. It's just a
21 question of when and how fast.

22 So what this -- what this shows is that
23 for the current earnings or for borrowings for the State,
24 the chances, in my opinion, are very, very good that produc-
25 tion can be delayed and produced at a later date and the

1 State will be ahead by having done that.

2 Q Would you now go to the next page and ex-
3 plain that graph, please?

4 A The next graph shows what the current
5 production rate is in terms of barrels per well per day and
6 the purpose of this is to give one more, one more analysis
7 of how the State will not be hurt by reducing the allow-
8 ables. And we start off by saying, well, current average
9 production rate is approximately 130 barrels a day. In May
10 it dropped down. That was because some of the new wells
11 didn't produce the full month. 130 barrels a day is a pret-
12 ty good figure for the average production rate in terms of
13 barrels of oil per day.

14 So I've made the comparison which will
15 show the statistics under Tab B of two wells, and the as-
16 sumption that I made is that Gavilan would be instantaneous-
17 ly drilled up on 320-acre spacing. We would have current
18 production as fast as the wells would be allowed to produce
19 it, and we'd compare that, then, against restricting the
20 rate not by the amount that we're recommending in this ap-
21 plication, but rather severely to about a fourth of what it
22 currently is, and those statistics are set out on Page 1 and
23 they're a little easier to -- to see the comparison on the
24 second white sheet under Tab B, where we show for Example I
25 the initial production rate, 130 barrels a day; for Example

1 II, about a fourth of that, 37.5 barrels a day.

2 Production decline rate in percent per
3 year, 72.43 percent for Example I and 5 percent for Example
4 II.

5 In this decline rate I've used the rela-
6 tion that the ratio of the productivity from one point to
7 the next is equal to $e - e$ raised to the power of the de-
8 cline rate times t_i (sic), e being the base of a natural
9 logarithm.

10 The producing life, then, for Example I
11 is 5.2 years; Example II, 6 years.

12 The ultimate recovery for Example I is
13 64,000; Example II, 71,000 barrels.

14 The discounted present worth for both ex-
15 amples is 59,000 barrels.

16 And why I've used more recovery for the
17 well producing at the lower rate is because I have, as shown
18 here, that if the lower rate of production obtained in the
19 field and some gravity drainage results, it is necessary to
20 obtain only one percent potential gravity drainage to real-
21 ize 10 percent of the solution gas drive.

22 So I have said that if we increase the
23 solution gas drive recovery by 10 percent, then this well
24 getting some gravity drainage needs to get only one percent,
25 one percent is substantial for gravity drainage to come up

1 with enough oil that the discounted present worth is the
2 same even if the price of oil stays the same, and the sta-
3 tistics for that are shown in the yellow pages following for
4 a well for 130 barrels a day; on the second of the yellow
5 pages we make a comparison with the continuous discount rate
6 to see whether the engineer making these calculations could
7 have had a big mistake. I come up with about the same thing
8 that he did in the way of discount rate so I feel that the
9 figures are accurate.

10 On the green colored pages are the
11 statistics for the well starting off with $37\frac{1}{2}$ barrels per
12 day and on the third page we show again the comparison there
13 of the discount, the weighted average discounted at this
14 rate.

15 Q Mr. Greer, will you go to the graphs that
16 are contained in Section C of Exhibit Number Four and review
17 that for the Commission?

18 A Under Section C we show these examples,
19 first on the pink sheet plotted on semilog paper.

20 Q Initially, Mr. Greer, in the caption at
21 the top you've got a figure there and it says Per Year
22 Decline. Would you explain what you mean when you use that
23 term?

24 A Well, that's the formula I just men-
25 tioned. The one I use is the instantaneous rate of decline

1 where the ratio of productivity varies as the natural
2 logarithm e raised to the power of the decline rate times
3 time.

4 Q Now would you explain the exhibit?

5 A We show here graphically the statistics
6 that were shown on the previous pages and of course a semi-
7 log graph is sometimes a bit difficult to -- to realize or
8 get the perspective of the differences in a comparison like
9 this, so we plotted also the same information on the gold
10 colored sheet, in which we used the coordinate scales there.

11 Here we show that the well reaches an
12 economic limit at 130 barrels per day. If Gavilan was all
13 drilled up, drilled up completely on 320-acre spacing,
14 that's the decline rate that we would see. That's the fast-
15 est that you can get the oil out of the ground on average
16 that you can get the oil out of the ground, on average, as-
17 suming that the new wells would have the average production
18 of the old wells, which you have some of them making an al-
19 lowable of 700 barrels a day; some of them are making a lot
20 less.

21 Then the dashed line shows the restricted
22 rate of production and the fact that you only need 10 per-
23 cent more ultimate recovery to have the same discounted
24 present worth, even if the price of oil does not change.

25 Q Now, Mr. --

1 A So all in all I feel that the State is
2 taking no risk in -- in lost revenue by reducing allowables.

3 The State particularly has more incen-
4 tive, it seems to me, to exercise its prerogative regarding
5 conservation.

6 Q Now, Mr. Greer, you are recommending, as
7 is Mr. McHugh, a production limitation factor that is 400
8 barrels per day for a 640-acre unit and in McHugh's case,
9 200 barrels per day for each 320-acre unit.

10 Could you explain to the Commission how
11 this 200 figure is obtained or developed.

12 A Yes, sir, I will. But first I think I
13 should point out that the 700 barrel per day allowable in
14 Gavilan now has really no basis, no relation to reservoir
15 characteristics whatsoever. It's based simply on the
16 State's depth and acreage factor and overall it's probably
17 fine for the State's reservoirs overall, but overall the
18 State's reservoirs are normal reservoirs. They're certainly
19 more normal than this reservoir; this is an unusual reser-
20 voir and so the allowables which are determined for you
21 might say conventional or the average reservoir really has
22 no application here, and so -- so we look at what factors
23 might be reasonable to use in determining the allowable, and
24 first we go to the statistics of the wells as of now.

25 Q And you're looking at the first sheet be-

1 hind Tab D in Exhibit Number Four.

2 A Yes, I am. Now this sheet shows the
3 total pool production, the production in terms of barrels
4 per -- per well per month, and then we have some more sta-
5 tistics. We'll be looking at all the statistics on graphs
6 in a minute. I'd like to just run through quickly and the
7 second page, the white page, is statistics we have showing
8 again the production rate in terms of barrels per day per
9 well for all the wells in the set of figures on the lefthand
10 side and then we've deducted out wells making more than 300
11 barrels per day on the righthand side.

12 Then the next sheet, the pink colored
13 sheet, shows on the righthand side the same information
14 where we've deducted from the pool average wells making less
15 than 25 barrels per day.

16 Then the next graph, the next -- it's a
17 blue colored sheet under this tab, Tab D, we show here
18 graphically the production from the pool in total barrels
19 per month.

20 Then the next graph, the second blue
21 colored graph, using all wells, with the barrels per well
22 per day, and this the same graph that we looked at a lit-
23 tle earlier, approximately 130 barrels per day, the average
24 production rate for all the wells in the pool.

25 Then we go to the next graph and we've

1 deducted out the large wells and we see then that the pro-
2 duction for all wells except the large wells is about 80
3 barrels a day.

4 Q And that's the green shaded area?

5 A The green shaded area, and had Gavilan
6 been developed, say, with wells like that, there would not
7 be the problem that we before us today.

8 The next pink sheet shows by deducting
9 the wells with less than 25 barrels a day, we deduct them,
10 gives us a little perspective of the higher capacity wells,
11 and you can see the jump that happens about the first of the
12 year when more of the higher capacity wells came on stream.

13 Q All right, Mr. Greer, would you now, us-
14 ing this information, go to Section E of this exhibit?

15 A Yes, sir, in Section E we show in the
16 first column productivities of sample wells and then in the
17 second column an allowable, which would be -- which I would
18 consider a reasonable allowable for the Gavilan given the
19 Gavilan's characteristics, and for that we use as a base the
20 average production rate of the wells in the pool now, which
21 is 130 barrels per day.

22 Then we structure the allowable from that
23 point up and down based on the cube root of the ratio of the
24 productivities, which is what we had found earlier is one of
25 the characteristics the formation apparently exhibits.

1 Now we realize that this would not be a
2 practical formular to adopt explicitly because of difficulty
3 in measuring productivities in the wells. The Commission
4 has always controlled production by an allowable and a
5 gas/oil ratio and I see no reason to change from that now.

6 But to give an example of just what the
7 variation would be if we would adopt a theoretical formula
8 that the allowable would vary as the ratio of the cube root
9 of the productivities, then we have a second column what
10 that allowable would be. For instance, at 130 barrels a day
11 it's 130, which is our base.

12 We drop down to 300 barrels a day it
13 would be 172 barrels a day or down to 700 barrels a day it
14 would be like 228.

15 Compare those figures with what would be
16 the allowable based strictly on productivity, in a sense
17 that's what we have now, 200 barrels a day is more than the
18 majority of the wells can make, and only a few can make 700
19 barrels a day, and so the net of it is that the allowable
20 now is based strictly on productivity.

21 The comparison would be like at 200 bar-
22 rels a day in both instances, the well would be allowed to
23 produce 50 barrels a day more than its theoretical amount.

24 If you drop down to 500 barrels a day and
25 under our -- this formula the well would be allowed to pro-

1 duce 4 barrels a day less than what its theoretical amount
2 would be.

3 But on the other hand by comparison in
4 the last column that the way we're producing now, the allow-
5 able we have now, it would receive nearly 300 barrels a day
6 more than it should.

7 So there's no way to have a perfect for-
8 mula but at least we can have one that's not as far out in
9 left field.

10 For a 700 barrel a day rate we would come
11 up with the well should have 228 barrels a day. By the ap-
12 plication it would get only 200, so it would be 28 barrels a
13 day less than it really should have and otherwise it's going
14 to get nearly 500 barrels a day more than it's entitled to.

15 You can carry that on down to 1000 bar-
16 rels a day or 10,000 barrels a day. There's no reason to
17 stop at 700 barrels a day if allowable can be based on pro-
18 ductivity.

19 At 1000 barrels a day under our formula
20 it would be entitled to 257 barrels a day, 57 barrels a day
21 less than what its theoretical amount should be but by the
22 same token, based directly on productivity it would get 700
23 barrels a day more than it should, and so on, where under
24 direct proportion the well would get 10,000 a day more al-
25 lowable than it should.

1 The basing allowables on productivity we
2 consider is absolutely the only way to determine allowables.

3 Q Will you now go to the graph which is the
4 next page in Section E?

5 A This just shows graphically the same in-
6 formation that we looked at that if allowables were based on
7 the cube root of productivity as to what it would be.

8 Q Okay, go to the next graph. What does
9 that show?

10 A The yellow colored graph we've shown the
11 difference in the theoretical allowable against the 200 bar-
12 rels a day which we're proposing. The shaded area at the
13 top of the two lines on the lefthand side show how far the
14 theoretical allowable would be from 200 barrels a day, and
15 for wells with productivities less than 450 barrels a day
16 the stippled area on the bottom shows the difference there.

17 By comparison if the allowable is 700
18 barrels a day the area would be much greater and we show
19 that in color on the next graph.

20 Q Okay, why don't you do that?

21 A Here in color we compare the amount of
22 excess allowable that a well will receive with a 700 barrel
23 per day maximum allowable, as compared to what we think
24 would be a reasonable allowable if productivities -- or if
25 allowables were based on the cube root of the productivity

1 if 130 barrels a day is a base.

2 Q So this is the basis for the 200 figure
3 for the 320-acre unit that you're advancing?

4 A Yes, sir.

5 Q Now, Mr. Greer, is it your testimony that
6 production rates must be limited in this area as well as
7 simply gas/oil ratio restrictions --

8 A Yes, sir.

9 Q -- ratios being restricted?

10 A Yes, sir, absolutely. The withdrawal
11 rates, even if there were no free gas, the withdrawal rates
12 are just excessive.

13 Q Will reducing the gas/oil ratio alone re-
14 sult in an effective relief for the time being for the prob-
15 lem you see out there?

16 A No, sir.

17 Q How soon in your opinion must action be
18 taken if the problem is to be avoided?

19 A It's just a very critical problem and ac-
20 tion is needed urgently and just as fast as the Commission
21 can see its way clear to act.

22 Q If action isn't taken in the immediate
23 future, what consequences do you foresee?

24 A Well, one of the consequences, of course,
25 is the problem that we've had and we would have in contin-

1 uing to produce our Canada Ojitos Unit in a manner in which
2 we had hoped to recover the maximum amount of crude oil.

3 Q Do you believe granting this application
4 and imposing these limitations for ninety days will have any
5 adverse affect on the State of New Mexico?

6 A No, sir.

7 Q In your opinion, what is the ultimate so-
8 lution to the problem that exists in this area?

9 A The ultimate solution is very clear.
10 Gavilan has to be unitized. Gavilan just must be uni-
11 tized. That's the only way to avoid the drilling of un-
12 necessary wells. That's the only way that the maximum re-
13 covery of oil is going to be realized, and it's the best way
14 to protect correlative rights.

15 Q In your opinion when we look a the Mancos
16 formation in this area, are we talking about a typical solu-
17 tion gas drive reservoir?

18 A No, sir, this is one instance in which
19 Mother Nature gave us a choice of -- of the kind of comple-
20 tion mechanism would take place.

21 It it's produced at a high rate it will
22 be solution gas drive primarily.

23 If it's produced at intermediate rates
24 there will be solution gas drive plus some gravity drainage
25 and if produced at the lower rates it will be significant

1 gravity drainage.

2 Q Sir, I'd like to hand you what has been
3 marked for identification as Benson-Montin-Greer Exhibit
4 Number Five and I'd ask that you identify that, please.

5 Would you identify that, please?

6 A Yes, sir. This shows the notices to the
7 affected parties in the area, and the receipts.

8 Q Is the last document in that exhibit a
9 copy of a letter that was actually sent?

10 A Yes, and that's the letter that was sent
11 with the notices.

12 This is the notice.

13 Q And the return receipts and return let-
14 ters are attached there, that's the original copy?

15 A Yes, sir.

16 Q Mr. Greer, were Benson-Montin-Greer Dril-
17 ling Corporation Exhibits One through Five either prepared
18 by you or compiled under your direction?

19 A Yes, sir.

20 Q Can you testify from your own knowledge
21 as to the accuracy of those exhibits?

22 A I believe they're accurate.

23 MR. CARR: At this time, Mr.
24 Stamets, we would offer into evidence Benson-Montin-Greer
25 Exhibits One through Five.

1 MR. STAMETS: Are there any ob-
2 jections?

3 The exhibits will be entered.

4 MR. CARR: That concludes my
5 direct examination of Mr. Greer.

6 MR. STAMETS: I'd like to ask
7 just one or two questions before we take a break.

8

9 CROSS EXAMINATION

10 BY MR. STAMETS:

11 Q Mr. Greer, looking at Exhibit Number
12 Four, and we're back the fourth from the last page,
13 comparison of allowables, immediately behind Tab E.

14 A Yes, sir.

15 Q Now from your earlier testimony, are you
16 saying that the cube root of ratio of productivity is
17 roughly comparable to how much oil there is under any par-
18 ticular tract?

19 A The chain of thought, Mr. Chairman, is
20 that the oil under the tract is proportional to the cube
21 root of the transmissibilities of that area and it would be
22 on a rather large area.

23 Now the productivities of individual
24 wells within that area will be somewhat in proportion over-
25 all and on an average with the transmissibility of the for-

1 mation. But it cannot be determined exactly, just that it's
2 the best comparison that we have.

3 Q So what you're saying, in essence, is
4 that the -- that the 200 barrels a day comes much more close
5 to representing an allowable that will let everybody produce
6 their share from the individual -- from the reservoir than
7 the 700 barrels a day.

8 A That's exactly right. It will come very
9 much closer to giving each operator the opportunity to pro-
10 tect his correlative rights.

11 Q Let me ask a question off the record.

12

13 (Thereupon a discussion was had off the record.)

14

15 MR. STAMETS: We will recess
16 the hearing until 1:30.

17

18 (Thereupon the noon recess was taken.)

19

20 MR. STAMETS: The hearing will
21 please come to order.

22

23 I assume that there may be a
24 couple of questions of Mr. Greer.

25

Mr. Lopez?

MR. LOPEZ: Mr. Chairman.

CROSS EXAMINATION

BY MR. LOPEZ:

Q Mr. Greer, I'd like you to refer to your exhibit under Tab C in Exhibit One and I would like to discuss this exhibit with you.

Mr. Greer, I believe a great theme in your testimony this morning was that unless some measures are taken to restrict production immediately, that substantial waste will occur because there will not be the benefit of gravity drainage realized in the Gavilan-Mancos Pool, and in reaching these conclusions you compared the producing characteristics of the Puerto Chiquito Pool and your Canada Ojitos Unit to the Gavilan-Mancos Pool.

I believe you stated that, in this regard, that the angle of dip in the Canada Ojitos Unit where you realize the greatest recovery was approximately 200 feet per mile and that the angle of dip in the Gavilan-Mancos Pool was 100 feet per mile and therefore they compare, the two pools compare favorably.

I assume that the wells which are located in the Canada Ojitos Unit are located along the wester flank of that unit but on the east side of the permeability barrier or at least permeability restriction that you have located on this exhibit in the shaded area with question marks.

1 A Yes, sir, that's correct.

2 Q Isn't it true that these wells are at the
3 bottom of the down dip of a dip that goes to the eastern
4 boundary of the unit where you have pressure injection
5 wells?

6 A I don't believe I understand what you're
7 saying.

8 Q Well, I'm saying is it your opinion that
9 the oil that you're recovering is drained from the eastern
10 boundaries of the unit where you have pressure injection
11 facilities?

12 A Yes, sir, to -- to take an example, about
13 the center of the unit, Township 25 North, Range 1 West,
14 Section 13, where we show a well K-13, if you can find that,
15 about halfway between the K-13 and the injection well B-18,
16 located in Section 18 of 25 North, 1 East, was where we felt
17 the initial gas/oil contact was.

18 The gas cap had what we felt high gas/oil
19 ratio saturation, not a pure gas cap, but the solid oil
20 started at about that 1600 foot contour interval.

21 Going down dip from there to the west you
22 can see it's approximately 400 feet per mile. Going further
23 to the west you can see it's about 200 feet per mile.
24 That's the area where most of the production has come.

25 Q Then you'd agree with me, would you not,

1 that the dip across the unit, Canada Ojitos Unit, is much
2 more severe than any dip we see reflected in the Gavilan-
3 Mancos Pool.

4 A I believe what I said, that the best area
5 of gravity drainage that we've had in Canada Ojitos was at
6 the 200 foot per mile area, and that would be just east of
7 the well located in Section 10, just west of the area you
8 are presently talking about. You can see the contours there
9 are roughly 100 feet per mile.

10 By happenstance, the transmissibility in
11 that area, thanks to Mother Nature, was about twice as much
12 as the transmissibility further east, where the dip was 400
13 feet per mile, so we were fortunate in that the area where
14 it was 400 feet per mile and had the transmissibility, we
15 had roughly the same gravity drainage potential there as we
16 did lower down.

17 Q Now I note in the Canada -- in the Gavi-
18 lan-Mancos Pool, in the heart of the pool where most of the
19 wells are drilled, outside the northern end of the pool,
20 that there is no dip whatsoever reflected on this exhibit.

21 A Oh, I see. Well, I have to apologize for
22 that. As I indicated, by basic map was contoured on 200
23 feet per mile. I sketched in with the dashed line the 100
24 foot -- 200 foot contours, they are 200 foot contours. I
25 sketched in with the dashed line a 100 foot contour but in

1 order to be able to see the Gavilan nose. If I hadn't sket-
2 ched that in, it wouldn't appear at all, but on this map I
3 didn't see any need, it would be wasting my time to -- to
4 try to contour it closely and accurately when the work had
5 already been done by McHugh.

6 So to look at the dips we really would
7 need to look at the map which I referred to this morning in
8 discussing that, which Dick Ellis prepared.

9 I can find it here in a moment if you
10 want to look at it.

11 It's McHugh's Exhibit Three under Section
12 -- Section C.

13 Here Dick Ellis has contoured in fine de-
14 tail the structure as accurately as it can be possibly known
15 at this time. This map, of course, concentrates on the Gav-
16 ilan structure itself, and you can see there that these are
17 50-foot contours and there is about two of them per section,
18 which is roughly 100 feet per mile dipping to the west and
19 to the northwest.

20 Right along the nose it's down to 50 feet
21 per mile and then on the east side of the nose it gets back
22 up to about 100 feet per mile.

23 Q And I believe you also stated that in
24 your Puerto Chiquito Unit you encountered interference be-
25 tween wells one mile apart within 24 hours.

1 A Yes, sir.

2 Q In the Gavilan-Mancos you said you
3 encountered the same experience.

4 A Yes, sir.

5 Q Which wells did you encounter this exper-
6 ience in?

7 A We ran an interference test between the
8 Mallon Howard 1-A in the green circled area on the map that
9 you had earlier referred under Section C in our Exhibit Num-
10 ber One, and the well just east of that, the Canada Ojitos
11 Unit E-6, and some of the pressure data that was recorded
12 during those tests was put on by John Roe in his testimony,
13 and an example of the well approximately a mile away is the
14 effect of the Howard 1-11 when it was shut in about mid-Jan-
15 uary and within one to two days I measured the pressure
16 change occurred in the pressure recorded in the E-6.

17 Q Would this suggest to you that your well,
18 then, in Section 6 is actually located in the Gavilan-Mancos
19 Pool rather than the Puerto Chiquito Unit or the Canada
20 Ojitos Unit?

21 A Mr. Chairman, they're all located in the
22 same common source of supply, the East and West Puerto Chi-
23 quito and Gavilan.

24 Q Then how do you explain the permeability
25 restrictive barrier between the two?

1 A Well, that's a postulation. I just sin-
2 cerely hope it's there. We've had some indications that
3 it's there and how effective it is, we don't know. Whether
4 it's in all three zones we don't know, and it's just some-
5 thing I wake up in the night and hope it's there.

6 Q What indications have you had that
7 indicates that it is there?

8 A Some small wells to the south, the finger
9 pointing to the southeast to the K-8 Well, which is a rather
10 small well. The finger pointing to the southwest there are
11 some small wells on the Gavilan side.

12 Coming up to the north there's a small
13 well in Section 31, the K-31.

14 Moving farther north, we don't know about
15 30, we'll be treating that well next week or so.

16 Moving farther north up to Section 8, the
17 J-8 Well appears to be real tight, and moving farther north,
18 the G-32 in Section 32 of 26 North, 1 West, is a rather
19 small well, so we feel there's a permeability restriction
20 through there. Again how effective it is, we just don't
21 know.

22 Q What can you tell me about that J-6 Well
23 in Section 6?

24 A The J-6 Well is a -- has lower productiv-
25 ity than the E-6, as we indicated in some of our discussions

1 in the Engineering Committee.

2 The E-6 currently produces about 600
3 barrels a day; the J-6 about 200 barrels per day, so it's
4 not as good a well as the E-6, and it would appear that per-
5 haps it's getting (unclear) from the east, but that's not a
6 certainty. There are wells within the Gavilan Pool where we
7 go from 600 barrels to 200 barrels a day and the pool con-
8 tinues beyond that, so that alone doesn't tell us that we're
9 going to have a restriction.

10 Q Now, changing the subject, I'd like to
11 ask you whether or not the relationship of permeability to
12 porosity which you described this morning as a cube root re-
13 lationship and which you used to justify your 200 barrel a
14 day allowable, whether that's no more than an assumption on
15 your part?

16 A The relation of --

17 Q I'd like a yes or no, if possible.

18 MR. CARR: You can explain it.
19 I think his answers are responsive to the questions and I
20 think he should be permitted to answer them. I think the
21 answer will be yes or no but I think he should be permitted
22 to answer (unclear).

23 MR. STAMETS: We'll allow Mr.
24 Greer to answer this question in his own way and see if it
25 is something we can all live with.

1 We'll see about any further ob-
2 jection you might have to having yes or no answers.

3 A The relation of the porosity as a
4 function of the cube root of the transmissibility, is an ab-
5 solute, simple, engineering fact insofar as a fracture sys-
6 tem of parallel fractures and flow in the same direction
7 parallel to the fractures. That is an absolute, simple,
8 fundamental engineering fact; no question about that.

9 Now, in the reservoir I had assumed , and
10 I grant you that's an assumption, that the porosity would be
11 a little bit higher than indicated there because the frac-
12 tures are probably not all lined up directly in line with
13 the directional flow and so that's the difference.

14 To the extent, then, that wells can rep-
15 resent the transmissibility of the formation, then the wells
16 productivity may be indicative of the ratio -- the cube root
17 of the ratio of the productivity then becomes a measure of
18 the pore space in the (unclear).

19 MR. STAMETS: Did you get an
20 answer to your question?

21 MR. LOPEZ: I think the answer
22 was yes.

23 MR. KELLAHIN: I believe the
24 answer was no, Mr. Lopez.

25 MR. CARR: Mr. Stamets, there

1 are certain questions which can be answered yes or no. Were
2 you there on Tuesday at 10:30?

3 There are other questions that
4 you'd never require a witness to answer yes or no because
5 you are looking for an incorrect answer.

6 Mr. Greer admitted there were
7 assumptions involved and there were facts involved and there
8 were formulas involved that are reliable engineering for-
9 mulas that are not subject to interpretation, and he was re-
10 sponsive to the question unless the question was, can we
11 take this complicated area and write the whole thing off as
12 an assumption, and if that is what he's being asked to an-
13 swer yes or no, we object to the question because he cannot
14 give you an honest answer.

15 MR. STAMETS: Mr. Lopez? Are
16 you satisfied with where we are?

17 MR. LOPEZ: The answer is on
18 the record and we can discuss it later.

19 Q I think when you were discussing the
20 Howard No. 1 Well that you stated that the core porosities
21 bore no relationship to the log porosities.

22 Did you do any -- did you independently
23 do any log analyses of your own to verify this fact?

24 A Oh, no, sir, I was just reporting the
25 report of the technician.

1 Q In your direct testimony I think you also
2 stated that the oil allowable should be 200 barrels a day.

3 A Yes, sir.

4 Q As I understand it, you didn't address
5 the gas allowables so does this mean there should be no gas
6 allowable restriction?

7 A Well, our application asked for the
8 gas/oil ratio limit to be 1000 cubic feet per barrel. While
9 we didn't go into that specifically, I believe, this morn-
10 ing, but that's our application.

11 Q And was no other independent evidence or
12 data to support that, it is just in your application and you
13 rest on the statement in your application and no other evi-
14 dence (unclear).

15 A We're asking that the rate of reservoir
16 depletion be reduced. The existing gas/oil ratio is 2000 to
17 1, so by reducing the allowable gas/oil ratio limit from
18 2000 to 1000, we're moving substantially in the right direc-
19 tion to help minimize the depletion rate.

20 Q And I believe you stated you wanted this
21 limitation for a period of ninety days.

22 What is going to be your position if the
23 Gavilan-Mancos Pool is not unitized at the end of the ninety
24 days?

25 A Well, I haven't speculated on that. I

1 would sincerely hope that that's something that doesn't come
2 about. Surely the operators will realize the situation and
3 will respond. That's -- that's my hope. I haven't planned
4 anything for our unit or West Puerto Chiquito beyond this
5 working toward unitization of Gavilan.

6 Q Well, isn't it true that if in ninety
7 days that no effort towards unitization are realized that
8 you would want to make these temporary rules permanent, or
9 maybe even just more restrictive allowables?

10 A Oh, I believe we'd want to think about
11 that and discuss it with the other operators and it's just
12 very impossible to say at this time the progress that will
13 be made in ninety days. At the end of ninety days it may be
14 so close to unitization that we might be ready to go forward
15 with it.

16 MR. LOPEZ: I have no further
17 questions.

18 MR. STAMETS: Are there other
19 questions of Mr. Greer?

20 Mr. Pearce.

21 MR. PEARCE: Thank you, Mr.
22 Chairman.

23

24

25

CROSS EXAMINATION

BY MR. PEARCE:

Q Mr. Greer, I want to thank you for using a mike (unclear) this morning.

Mr. Greer, if you would, please, sir, in your Exhibit Number One behind Tab C, which contains your structure map.

Do you have that before you, sir?

A Yes, sir, I have.

Q Looking at that, if you would, please, I'd like to refer you to a couple of specific wells. Could you tell me the difference in elevation between McHugh's Mother Lode No. 1 Well and Mesa Grande's No. 1 Gavilan Howard Well?

A Well, I should have brought my magnifying glass, but I believe the Moter Lode appears to be +513 and the Howard -- which one was it?

Q The Gavilan Howard No. 1, and that may be the 1-11, I'm --

A If it's the 1-11, well, I need to refer to --

Q The well I'm looking at, sir, this map shows Mesa Grande Resources Howard No. 1. I apologize.

MR. STAMETS: How about some sections, townships and ranges on this.

1 A Well, let's see, in Section 23 of 25
2 North, 2 West.

3 MR. CARR: That's the Howard
4 No. 1?

5 MR. PEARCE: The Howard No. 1,
6 yes, sir.

7 MR. STAMETS: And what about
8 the --

9 MR. PEARCE: The Mother Lode?

10 MR. STAMETS: Yes.

11 MR. PEARCE: That well is in
12 Section 3 of 24, 2.

13 A Okay, I'm looking at Dick Ellis' struc-
14 ture contour map, if I've got the well, I believe the Mother
15 Lode is +511 and the Howard 1-11 is 438, and the Howard 1-H
16 is 437, both in Section 1.

17 Q I'm sorry, I was looking at the Howard
18 1. In looking at your exhibit it appears to be in Section
19 23.

20 MR. CARR: Talking about the
21 Mesa Grande Howard No. 1.

22 Q Mesa Grande Howard No. 1.

23 A Oh, Mesa Grande, I'm sorry.

24 I apologize for being so slow. Tell me
25 again the quarter section in Section 23.

1 Q It appears to be in the northwest quarter
2 section of Section 23, Township 25 North, Range 2 West.

3 A Okay, I believe that's a +568.

4 Q What's the difference between those two
5 elevations, please, sir?

6 MR. STAMETS: For the record
7 Mr. Greer is now utilizing the structure map in McHugh's
8 exhibit rather than the structure map in his own.

9 MR. PEARCE: Yes, sir, appar-
10 ently he is.

11 Those numbers, by the way, on
12 your exhibit, sir, appear to be 513 and 574.

13 A Oh, I'm pleased that I can get that close
14 to a geologist's interpretation.

15 Q They probably are, too.

16 A The difference there is about, looks like
17 57 feet, going by Dick Ellis' --

18 Q Okay, and what's the distance between
19 those wells, please, sir?

20 A They're along the nose of the anticline
21 about, oh, a couple of miles.

22 Q Approximately two or approximately three?

23 A Approximately three.

24 Q Thank you, sir. Mr. Greer, looking --
25

1 continuing to look at that exhibit, you indicate the per-
2 meability restriction which you answered some questions
3 about, I'm wondering, sir, if you ever conducted a pressure
4 interference test across that permeability restriction?

5 A No, sir, such a test was suggested by
6 Meridian's engineer, Dick -- or Richard Fraley, and in line
7 with that we're currently trying to work out plans to do
8 that.

9 Q Mr. Greer, you previously testified about
10 calculating the amount of expected oil in place from the re-
11 sults of interference tests, is that correct, sir?

12 A Yes, sir.

13 Q Would you explain to me once again how
14 you did that, please?

15 A Yes, sir. If one can -- can stabilize a
16 reservoir such that there are no strange pressure transients
17 moving through it, and one has adequate control of the shut
18 in wells and the producing well, and put the producing well
19 to production, then during the transient period in which
20 pressures drop rather rapidly initially and then gradually
21 fall off, during that period of time if the test has been
22 conducted properly and if conditions are such that it can be
23 done, which we found possible in the two tests we ran in
24 Canada Ojitos in 1965 and 1968, then one can calculate, in
25 the instance of our 1965 test, simply by plotting the pres-

1 sures against time on a semilog plot, one exactly the same
2 relation that you had in the pressure buildup or pressure
3 drawdown in the well, given the proper time period that
4 that's taken.

5 From that you can calculate the transmis-
6 sibility, Kh.

7 Then from the exponential integral solu-
8 tion of the diffusivity equation you can calculate the ratio
9 of permeability to porosity.

10 So then you have two equations and two
11 unknowns and it's a rather -- by now it's a rather commonly
12 accepted method of calculation. At the time we did it there
13 weren't so many of those -- that kind of test run.

14 There was a paper written by one of the
15 Amoco engineers that described the process calculated
16 slightly differently but with the same results.

17 Q Mr. Greer, were you in the hearing on a
18 previous occasion when we met about two weeks ago?

19 A Yes, sir.

20 Q And were you here when Mr. McHugh's own
21 geologist concluded that the Gavilan-Mancos Pool is a solu-
22 tion gas drive reservoir?

23 A Yes, sir.

24 Q Are decreasing pressures and increasing
25 GOR's predictable and necessary results of production in a

1 solution gas drive reservoir?

2 A Yes, sir, might I add that in this parti-
3 cular pool the depletion mechanism is dependent not just on
4 the character of the reservoir itself but how it's produced.

5 If it is produced at a low rate there'll
6 be substantial gravity drainage in addition to the solution
7 gas drive.

8 If it's produced at (unclear) there will
9 be no gravity drainage.

10 So I presume what Mr. Ellis was referring
11 to was that under the current conditions of excessive rate
12 of withdrawal that the depletion mechanism is principally
13 solution gas drive and (unclear).

14 Q All right, sir, and in your opinion will
15 gravity drainage be as effective a production mechanism in
16 the Gavilan Pool as you believe it is in the West Puerto
17 Chiquito Mancos Pool?

18 A I don't think quite as effective. It
19 doesn't have to be as effective to be a practical process to
20 try to achieve.

21 Q All right, sir. Looking back and Mr. El-
22 lis' structure map which we've discussed for some time, a
23 couple of times, am I correct in reading this structure map
24 that the developed area of this pool at this time is on the
25 high part of the pool and the undeveloped area is down dip

1 from the developed area?

2 A Yes, sir, that's why there is an oppor-
3 tunity yet to achieve some gravity drainage if it's properly
4 developed from this point forward.

5 Q And that will require further development
6 in the undeveloped area of the pool.

7 A Yes, sir.

8 Q Looking, Mr. Greer, if we may, at I be-
9 lieve it is your Exhibit Number Three, in which you gave
10 your gravity drainage calculations, is that Exhibit Three or
11 am I --

12 A Yes, sir, that's Exhibit Three.

13 Q I'm looking at Page 4 of that exhibit.
14 My question is in applying the Muskat formula, as you have
15 modified it, will gravity drainage be eliminated as a pro-
16 duction mechanism if production rates are not decreased?

17 A Yes, sir.

18 Q What factors in that equation, sir, will
19 be changed to make the Q zero?

20 A If you look on the next page, Page Five,
21 I believe you will see the formula says that the production
22 rate will be equal to 2580 times Hk and that Hk is the
23 transmissibility is the product of thickness and
24 permeability.

25 The permeability there is the

1 permeability to oil and the permeability to oil decreases
2 rapidly as the gas/oil ratio increases and the gas satura-
3 tion increases in the reservoir.

4 So that's how -- how it affects the grav-
5 ity drainage here.

6 Q Thank you, sir. One moment, please, sir.

7 If you could explain a little further,
8 Mr. Greer, the last area, when you say that the relative
9 permeability of oil changes, how is that affected in a frac-
10 tured reservoir?

11 A Well, as we indicated this morning when
12 we were talking about how when the pressure drops the gas
13 expands and the oil in a sense shrinks and there's a higher
14 volume of free gas in the reservoir, and that restricts the
15 rate of flow of the oil.

16 Q How does it do that, sir?

17 A Well, it is very commonly understood in
18 all the engineering treatises on relative permeability that
19 as the gas saturation increases that the oil, permeability
20 to oil decreases. I think it's a pretty common fact.

21 Q I'm sorry, sir, but if use is made of
22 this transcript in the future I don't think it's going to be
23 by a petroleum engineer.

24 So I'd like for you to explain to me as
25 simply as you can for a layman that commonly accepted fact.

1 I don't understand how it works.

2 A I see. Well, the -- there have been many
3 tests, laboratory tests. There have been many calculations
4 of productivities of wells and you can arrive at it either
5 way or both ways.

6 As to wells, the productivity of the
7 wells will decrease substantially as the permeability to oil
8 decreases and that's just a physical fact we can measure
9 from time to time. As the oilfield is depleted tests are
10 made on individual wells, the productivity index, and that's
11 the amount of oil that will be produced for a drawdown of 20
12 pounds, will decrease, and it just happens in all reser-
13 voirs.

14 Q Do you have some indication that that is
15 true of fractured reservoirs as well as matrix or I believe
16 wht you referred to this morning as sand reservoirs?

17 A Yes, sir.

18 Well, sir, perhaps I should clear that
19 up. I just realized I overlooked a point and that is if
20 gravity drainage is taking place, then of course the oil and
21 gas segregate and it's in the up dip wells that the produc-
22 tivity drops down, the oil saturation stays high in the low,
23 the wells low on the structure, and so in that instance
24 their productivities stay up.

25 But that's where gravity drainage is tak-

1 ing effect and having its influence rather than the solution
2 gas drive.

3 Q Okay, I did not understand one answer
4 you gave, I think to Mr. Lopez' question, and if you did I'd
5 ask for you to repeat it and if you didn't, I'd like for you
6 to answer it for me, please, sir.

7 Where is the gas/oil contact at this time
8 as near as you can tell in the Canada Ojitos Unit?

9 A We put on an exhibit three years ago that
10 showed pretty much how we think the gas/oil contact exists.

11 I don't have the exhibit now but I can
12 tell you generally that I feel like gas cones down to the
13 producing wells and with the gas/oil contact lying, the main
14 gas/oil contact lying somewhat below the initial contact of
15 1600 feet, probably between, oh, 1200 and 1600 feet coning
16 down to the individual wells.

17 Q Thank you, sir. Mr. Greer, short of uni-
18 tization of the Gavilan-Mancos Pool, how can the present
19 owners of undeveloped acreage protect their correlative
20 rights?

21 A Well, the first step is production of al-
22 lowables as we discussed this morning.

23 Q How does that participate in protecting
24 correlative rights for someone with undeveloped acreage?

25 A Oh, I misunderstood, I'm sorry.

1 People with undeveloped acreage, of
2 course, the only way they have to do to protect their cor-
3 relative rights is to drill their wells under the regula-
4 tions applying at that time.

5 MR. PEARCE: One minute, sir.
6 Nothing further at this time. Thank you, Mr. Chairman.
7 Thank you.

8 MR. STAMETS: Are there other
9 questions of the witness? Mr. Padilla.

10

11 CROSS EXAMINATION

12 BY MR. PADILLA:

13 Q Mr. Greer, this morning you talked a lit-
14 tle bit about the rule of capture and the rule of capture,
15 or you indicated something to the effect that the rule of
16 capture was actually in existence in the Gavilan-Mancos
17 Pool, is that correct?

18 A Yes, sir, that's correct.

19 Q In an answer to Mr. Pearce now you just
20 stated that everyone had an opportunity to drill the wells
21 in order to protect their correlative rights, is that cor-
22 rect?

23 A I think what I said is in order to pro-
24 tect your correlative rights you had an opportunity to do
25 it, then you had to drill a well. That doesn't mean that

1 the regulations are such that if you drill a well you cannot
2 protect your correlative rights, so it's not quite the same
3 thing.

4 Q But there exist spacing regulations
5 presumably to protect correlative rights, is that correct?

6 A Yes, sir, and what we're saying is that
7 they're not adequate. A man could go out now and drill his
8 well on his tract and he would not be able to get his fair
9 share of the oil because of the high allowable.

10 Q Mr. Greer, does your application include
11 a spacing change?

12 A A spacing change, no, sir.

13 Q Does your application include the
14 restriction of further drilling in the Gavilan-Mancos Pool?

15 A No, we've not asked that the drilling be
16 restricted. We've asked that the allowables be reduced and
17 we would hope that the operators would voluntarily get
18 together and unitize and minimize the depletion rate.

19 Q In an emergency situation as you charac-
20 terize the Gavilan-Mancos Pool as being in right now,
21 wouldn't it be appropriate to expect further drilling in
22 that pool?

23 A Mr. Chairman, I think that would probably
24 be an appropriate action of the Commission to do that, be-
25 cause an action of the Commission is to reduce the allow-

1 ables, minimize the depletion rate, and give the operators
2 the opportunity to voluntarily come about a minimum drilling
3 program.

4 I think it would be highly improper for
5 the Commission to order restriction on the drilling at this
6 time; certainly not until the operators have had an
7 opportunity to produce their share.

8 Q Well, hasn't your testimony been that
9 there are a lot of wells that are being drilled
10 unnecessarily both for the Gavilan-Mancos Pool and then as a
11 consequence you don't want to drill any unnecessary wells in
12 the West Puerto Chiquito Pool.

13 A That's right. Unnecessary wells are
14 being drilled and we'd like -- we would hope something could
15 be done to stop that.

16 Q Now as I understand your testimony, there
17 are no unproductive -- there is no unproductive acreage
18 either in the West Puerto Chiquito Mancos Pool or in the
19 Gavilan Pool. Is that accurate?

20 A It's pretty difficult to -- to say, Mr.
21 Chairman. An example I gave this morning of a well drilled,
22 produced 60 barrels a day, sidetracked the hole and bottomed
23 it 100 feet away from the initial hole shows no production,
24 one answer to that question would be that that tract was
25 dry, but that's not the case. So --

1 Q Well, in answer to my question, my ques-
2 tion is do I understand you to say that all acreage in both
3 pools is productive, or it is underlain by equal amounts of
4 oil per acre?

5 A No, sir, I believe I said that I thought
6 there was a difference in the pool in areas, generally,
7 depending upon the transmissibility of the formation.

8 Within any one of those areas wells can
9 be drilled just like the one I mentioned that show absolute-
10 ly nothing; move over 100 feet and you show a high produc-
11 tivity on an average; on an average that area generally is
12 productive.

13 Q But it's not uniformly productive.

14 A In no way. This is the most non-uniform
15 kind of reservoir that you can imagine.

16 Q So in your concept of unitization, unpro-
17 ductive acreage would participate equally with productive
18 acreage.

19 A Oh, no, I'm not suggesting that at all.
20 I would hope that the operators would see the virtue of un-
21 itization. They would sit down and work out the problems of
22 unitizing after wells are drilled, and of course that's a --
23 that is a difficult problem, but hopefully, the operators
24 would see the benefit of unitization and try to work out a
25 method.

1 I would not suggest any formula at this
2 time for Gavilan. That's just up to the engineers and the
3 geologists as to how they can best work that out.

4 Now in the Canada Ojitos Unit we have
5 based equities in the third expansion area strictly on ac-
6 reage, which I think was a fair and proper thing to do.

7 Q Okay, but this morning you also testified
8 that you did not agree that any proportional allocation
9 based on the productivity of a well to individual owners in
10 the Gavilan Pool, is that correct?

11 A I'm not sure I understood your question.

12 Q Well, aren't you against the proportional
13 allocation of reserves in the Gavilan-Mancos Pool?

14 A I feel certain --

15 Q Based on productivity of wells?

16 A Yeah. I feel quite strongly that that
17 the oil in place is not in direct proportion to the produc-
18 tivities of the wells.

19 Yes, sir, I feel quite strongly about
20 that.

21 Q Yet in the West Puerto Chiquito you did
22 at one time have a different allocation and not based upon
23 straight acreage.

24 A In West Puerto Chiquito while we recog-
25 nized the gas cap as having less value than the -- than the

1 oil zone, and the net effect, I believe, was approximately
2 one-sixth was assigned to the gas cap.

3 Q But you recognized that there were fac-
4 tors other than straight acreage which should play a role in
5 that allocation of reserves.

6 A Oh, certainly.

7 Q Let me refer you to your Exhibit Number
8 Two, Mr. Greer, and I believe that was the one that you had
9 in slides.

10 During the lunch hour I've got to tell
11 you that Mr. Nutter thought that you were going to give us a
12 lecture on cholesterol when he saw that.

13 MR. CARR: I understand why Mr.
14 Nutter would be concerned.

15 A I appreciate his sense of humor.

16 Q In looking at Phase III on page 9 of that
17 exhibit, I believe that is the extreme case that you charac-
18 terize there.

19 A Yes, sir, this is just a sketch to show
20 the difference between fracture and matrix porosity.

21 Q Now you also testified that the oil would
22 adhere to the walls of the -- the walls of the fracture and
23 would not break loose.

24 Does this assume that pressure would be
25 at zero?

1 A No, sir, as pressure declines and the gas
2 comes out of solution, the viscosity gradually drops in the
3 oil and this is a continuous process from the time the pres-
4 sure reaches the bubble point until the pressure reaches
5 abandonment pressure of the reservoir.

6 Q Did this exhibit show approximate time
7 with respect to viscosity?

8 A It's a function of pressure rather than
9 time. Time will influence it depending on how fast the
10 pressure pulls down and so that's how time would affect it.

11 Q Well, at what -- at what pressure point
12 would we have the Phase III?

13 A You say Phase III?

14 Q Well, yes, the phase that's characterized
15 on that page 9.

16 A Well, I forget what we had. I believe
17 on page 9, that was the first sketch so that I believe shows
18 100 percent oil saturation.

19 Well, I'd better check. Oh, okay, this
20 is after the gas saturation has increased substantially and
21 simply shows schematically how the oil will cling to the
22 sides and not run down the center.

23 Q Well at what point, at what pressure
24 point would you no longer have any oil production?

25 A Well, we could go back, Mr. Chairman, to

1 a lot of the tests that we have on Canada Ojitos wells. We
2 keep daily records of the pressures and the gas volume, and
3 we could draw some curves that would show you how product-
4 ivity has fallen off with depletions. I have not done that
5 but it could be done for this reservoir, since we have the
6 information.

7 It just happens as the -- as the gas
8 saturation increases, the productivity of the oil decreases,
9 that there's just less gravity drainage and this can be no
10 other way.

11 Q In other words, your Exhibit Number Two
12 simply -- simply shows in general terms what could occur in
13 the reservoir.

14 A Oh, yes, sir, it's just schematic. It
15 doesn't have any statistical exactness to it.

16 Q It doesn't show when we can no longer
17 produce oil from the reservoir.

18 A Not that sketch.

19 Q Mr. Greer, with respect to the permeabil-
20 ity barrier, I'd like to hand you a letter that I believe
21 you wrote to three governmental agencies with respect to the
22 expansion. This letter was received by Koch Industries, or
23 Koch Exploration, and I'd like to have you look at the geo-
24 logical and engineering portion of that.

25 If I may, let me look at this page that I

1 was --

2 A Is this the page?

3 Q Yes, sir, on page 3. Now I don't want to
4 get into an argument with you as to the construction of your
5 own language there, but it doesn't appear to me that it
6 characterizes the situation as bad as you characterized it
7 to Mr. Lopez in answer to Mr. Lopez' question, that you pray
8 every night about that permeability not being there, and I'd
9 like for you to read that, if you would.

10 A Yes, sir, I will. It's -- this report is
11 entirely consistent with what I was telling you this morning.

12 On the top of the page -- well, let's
13 see, the K-31 Well, it's west offset shows that the perme-
14 ability is extremely low in this area and further supports
15 that this is a good location for a boundary separating the
16 reservoirs.

17 It now appears that wells drilled along
18 this boundary area will probably be of low enough capacity
19 that protective wells within the unit could stop migration
20 of oil from the inner reservoir to the outlying lands. This
21 statement can be true only if the "border area" is wide
22 enough. We now believe this to be the case. I probably
23 should have said hope rather than believe.

24 Q Well, I believe you used the word "hope"
25 this morning.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A Yes, sir.

Q But it's certainly --

A It's a possibility, yes, sir. It's possible it's there; I still hope it's there.

Q Well, you've -- in your structural map you've actually mapped a permeability barrier there, haven't you?

A Well, I prefer to refer to it as a permeability restriction. I just don't feel I know enough about it to call it definitely a barrier.

Q In the letter you've called it a terrace, have you not?

A I believe so. I think that's probably accurate.

Q What's the -- what's the difference?

A Well, by terrace I meant the dip of the formation levels off and flattens out and I believe when that happens, of course, you re-enter an area where the permeability restriction is postulated.

Q Does that affect gravity drainage, then, in the Gavilan Mancos if indeed there is a -- a dip?

A The indication or the suggestion that I made, in my analysis of gravity drainage in that area, I made a reference to Dick Ellis' structural contour, McHugh's Exhibit Number Three, Section C, in which there is a dip

1 from the north to the east and hopefully wells located just
2 west of the permeability restriction would be good recovery
3 wells for gravity drainage, but not too many; not too many.

4 Q Now, the gravity drainage in the West
5 Puerto Chiquito and gravity drainage in the Gavilan-Mancos
6 Pool are entirely different because of the -- the extent of
7 the dip, isn't that --

8 A Well, as I said before, I feel they're
9 not entirely different. We had a good gravity drainage in
10 Canada Ojitos with 200 feet a mile. There's a lot of Gavi-
11 lan along the east and west sides of the nose that are 100
12 feet a mile. Those are generally the same, same rates of
13 dip.

14 Gavilan is about half as much as Canada
15 Ojitos.

16 Q Are yours affected by your pressure main-
17 tenance project?

18 A Pressure maintenance definitely helps,
19 yes, sir. I would hope that the Gavilan operators, if they
20 unitize, it would be considered. It's certainly, I'm con-
21 vinced, a very helpful adjunct.

22 Q Mr. Greer, your testimony here today is
23 in relation to your own case, isn't that correct?

24 A I'm sorry, I didn't understand you.

25 Q Your testimony here today is with respect

1 to your own case, the Benson-Montin-Greer case.

2 A Well, of course, it's hard to talk about
3 just our case without discussing how it's tied in with Gavi-
4 lan, and so that's the reason that we asked that the two
5 cases be heard together. They're just really trying to
6 solve a common problem and if allowables are reduced in Gav-
7 ilan I think it's appropriate from a good faith standpoint
8 that then Canada Ojitos, West Puerto Chiquito, that we re-
9 strict our production the same as Gavilan.

10 Q Is that a -- does the oil market have
11 anything to do with your desire to restrict allowables, Mr.
12 Greer?

13 A No, sir.

14 MR. PADILLA: Just a moment,
15 Mr. Chairman.

16 I have no further questions,
17 Mr. Chairman.

18 MR. STAMETS: Are there other
19 questions of this witness?

20 MR. LYON: Mr. Chairman.

21 MR. STAMETS: Mr. Lyon, do you
22 have some?

23 MR. LYON: I'd kind of like to
24 ask a couple of questions, please.

25

1 QUESTIONS BY MR. LYON:

2 Q Mr. Greer, I've been looking through your
3 data to see if there is any estimated porosity in here. Do
4 you have an estimate of porosity?

5 A The -- the only estimates that we could
6 come up with are based on the oil in place per acre which we
7 calculated for the one zone in Canada Ojitos, and porosity
8 then is just going to depend on how many feet of pay is ef-
9 fective and in round numbers there's about 2500 barrels an
10 acre would equate to about .3 of the porosity times thick-
11 ness, so that would be like 30 feet of pay and one percent
12 porosity.

13 I think that's about as good as we can
14 get. It might be 60 feet of pay and a half percent; might
15 even be 1-1/2 percent and 20 feet of pay but it's somewhere
16 in that, in that range and I ran the thing all the way up to
17 300 feet to see what -- what these figures looked like, but
18 for a practical estimate of the one zone in Canada Ojitos,
19 I'd say we're looking at something like that.

20 Q And as I understand your testimony, and
21 that of the other witnesses, this porosity that encloses
22 this reservoir is strictly fracture porosity and you're not
23 giving any weight at all to matrix porosity.

24 A Yes, sir, that's my feeling. I just have
25 not seen any indication of matrix porosity in any of the in-
formation available (not clearly understood.)

1 Q Have you given any consideration to the
2 impact or the effect on the porosity with the reduction of
3 reservoir fluid pressure?

4 A Yes, sir, we've made some studies of the
5 fractured Mancos reservoirs and my conclusion is that the
6 productivity drops off far more rapidly with the decrease in
7 pressure than can be accounted for by the decrease in rela-
8 tive permeability, and I don't know what the answer is but
9 we suspect, and one of the reasons we entered into the pres-
10 sure maintenance project was that as the pressure decreases
11 and the fractures squeeze together, there is a geometric ef-
12 fect on reduction in permeability and I just believe that
13 that's a possibility. We measured productivity indices on
14 the wells in the Canada Ojitos Unit prior to the time the
15 pressure reached the bubble point when the reservoir was
16 fully saturated with oil and the productivity indices drop-
17 ped off with pressure, which in that instance there could be
18 no -- no influence of the relative permeability restriction
19 due to free gas, so it had to be some outside influence that
20 I think can only be explained by the fractures squeezing to-
21 gether.

22 Q So as the pressure, the reservoir pres-
23 sure declines, then, it looks probable that the permeability
24 and the ability of the oil to flow to the well will be di-
25 minished.

1 A Yes, sir, I think that's true.

2 Q Do you think it's likely that some of
3 those fractures will be closed entirely?

4 A Gosh, I don't know. That's another thing
5 you hope for, you know, when you wake up at night, but I
6 just don't know.

7 MR. LYON: I believe that's all.

8

9 REXCROSS EXAMINATION

10 BY MR. STAMETS:

11 Q Mr. Greer, the main thrust of your
12 testimony today is about the Gavilan Pool and you've sort of
13 indicated that you're proposing decreases in allowables in
14 the West Puerto Chiquito just as a courtesy.

15 A Yes, sir, I just believe it would be,
16 well, in a sense unfair when I think that there can be oil
17 migrating across the boundary, not to have the allowables
18 the same on both sides of the boundary. If we ask them to
19 restrict production I just feel it's only proper that we do
20 the same thing.

21 Q And even though there -- this tight
22 streak that you've indicated with the -- whatever kind of a
23 mark that is, a question mark --

24 A Yes, sir.

25 Q -- even though that is in there, there

1 are wells in the West Puerto Chiquito Pool which lie to the
2 west of that and I presume your opinion is that they're in
3 communication with the Gavilan-Mancos Pool.

4 A Yes, sir, and of course one of the
5 considerations which we discussed was, well, perhaps that's
6 the only area that we should consider restricting our allow-
7 ables, but I just can't have enough confidence in that per-
8 meability restriction to know that really that's a proper,
9 fair, and equitable thing to do, so we ask that it be the
10 same throughout the pool.

11 And, of course, another reason was we
12 presumed that it would be difficult for a -- for the Commis-
13 sion to establish different allowables in different parts of
14 the same common source of supply. I've never known a com-
15 mission to do that so we felt like that was necessary.

16 MR. STAMETS: Let me ask if
17 there is any party here who is opposed to the Benson-Montin-
18 Greer application to reduce the allowables and the GOR to
19 West Puerto Chiquito Pool?

20 I see no one standing up and
21 indicating that there is any opposition to that application.

22 MR. PEARCE: Mr. Chairman,
23 we're not sure what that question means. Mr. Greer has tes-
24 tified that he only wants those rules for his pool if
25 they're adopted for the Gavilan Pool.

1 If not objecting to those rules
2 in the West Puerto Chiquito means that I've agreed that
3 they're appropriate for the Gavilan, I am clearly opposed to
4 that, and I think Mr. Greer would object to those rules
5 being adopted for the West Puerto Chiquito if our position
6 is correct that they should not be adopted for the Gavilan.

7 MR. STAMETS: Let me see if I
8 can phrase that to relieve your mind.

9 Q Let me ask Mr. Greer a question. Mr.
10 Greer, if after this hearing the Commission chose to leave
11 everything in the Gavilan-Mancos Pool as is, would it be
12 your request that your application be dismissed for the West
13 Puerto Chiquito Pool?

14 A Yes, sir, I feel that the rules need to
15 be the same, Mr. Stamets.

16 MR. STAMETS: All right, now
17 let me ask the audience, then, that should the Commission
18 after this hearing adopt the rules for the Gavilan-Mancos
19 Pool as proposed, would there be any party who would object
20 to the adoption of Mr. Greer's proposed rules for the West
21 Puerto Chiquito Pool?

22 Again I see no one --

23 MR. LOPEZ: Mr. Chairman, the
24 response to that question I think would be no, there'd be no
25 objection. It would be essential that it be done.

1 MR. STAMETS: Thank you. I
2 would presume that the answer then would be probably the
3 same if the Commission should adopt some variation of what
4 has been proposed so that the -- what we come up with in
5 West Puerto Chiquito would be equivalent.

6 Say that we gave 300 barrels a
7 day for the Gavilan, it would be 600 for the West Puerto
8 Chiquito, and I presume we have no objection.

9 That certainly makes order
10 writing a lot simpler to know if there are objections or
11 not.

12 Okay.

13 Q Mr. Greer, now you've indicated that the
14 Mancos in this area is basically a single reservoir.

15 A Well, where it's faulted, and they're
16 tied together, I believe I tried to indicate that it acts a
17 lot like a stratified reservoir, the zones being separated
18 by individual wells.

19 And so in parts of the pool where the
20 faults tie the three zones together, then they will indeed
21 act as a single reservoir, but otherwise the individual well
22 tests, and it's one of the complicated factors we have in
23 trying to analyze them, the strings where all zones are open
24 will act as a stratified reservoir.

25 Q In asking this next question, or series

1 of questions, I'm not asking you if you believe that we
2 ought to change the pool designations out here and create
3 one or more pools out of what are now several pools. I'm
4 just trying to get at what you were telling me.

5 Do you believe that what is currently de-
6 signated as the Gavilan-Mancos Pool and the West Puerto Chi-
7 quito Pool are the same common source of supply?

8 A Yes, sir.

9 Q How about the Boulder Mancos Pool?

10 A I think Boulder is separate.

11 Q Okay, and then what about the East Puerto
12 Chiquito?

13 A The East Puerto Chiquito we have found on
14 the down dip side of East Puerto Chiquito that the zones
15 contain water and we have indications of north/south faults
16 running through that area, and they appear to be sealing
17 faults, and so that pretty well separates East Puerto Chi-
18 quito from West Puerto Chiquito.

19 I believe at one time, I think in 1963,
20 we asked that they all be one pool and then after that time
21 we found this separation and -- and so those are separate.

22 Q At this time is there sufficient evidence
23 for you to make the -- give the opinion about the Ojito Gal-
24 lup, or Ojito Gallup-Dakota, is the Mancos portion of that
25 in your opinion part of a common source of supply with Gavi-

1 lan Puerto Chiquito?

2 A Mr. Chairman, I have to confess that I
3 have not studied this particularly. I recall that when the
4 hearing was held for spacing for Gavilan that I could see a
5 distinction in the electric log characteristics between
6 Gavilan and the Lindrith Gallup-Dakota area.

7 And the characters of the wells at the
8 time were substantially different and I felt that they prob-
9 ably were separated and I've not attempted to do anything
10 since.

11 Q In both cases before us the gas/oil ratio
12 has been proposed at 1000-to-1. We had testimony at the
13 earlier hearing that at least as to Gavilan the solution
14 gas/oil ratio is 588-to-1.

15 Why should -- why, if we're convinced by
16 the testimony offered by McHugh and Greer, to adopt 1000-to-
17 1 as a gas/oil ratio as opposed to 588-to-1?

18 A Well, there are a couple reasons. One is
19 that the reservoir being stratified as it is, we've found
20 that there's some free gas that is produced from some of the
21 zones.

22 We found the A and B zones in the Canada
23 Ojitos area to be more gassy than the C zone, and that ap-
24 pears to me to be a possibility in Gavilan.

25 So there is a possibility that a well

1 could have a gas/oil and this is in the range between 600
2 and 1000, that really the gas is not coming from the oil,
3 the main bulk of the oil reservoir as I visualize it, and so
4 you might be unfairly penalizing some wells. That's one
5 thing.

6 Another is just a real practical applica-
7 tion of the gas/oil ratio limit when one deals with -- with
8 only the solution ratio, then the allowable becomes so sen-
9 sitive to just small change in the gas/oil ratio, that just
10 even the errors in calculation and measurement of the gas
11 becomes a factor in determining allowable, and just from a
12 practical standpoint, I would recommend that the 1000-to-1
13 is a reasonable and a practical limit.

14 And it's really, Mr. Chairman, not the
15 gas/oil ratio that's causing a problem. The problem is the
16 high oil productivity, that's the problem.

17 Q Mr. Greer, based on your testimony in
18 this case, even if unitization were never achieved in the
19 Gavilan-Mancos Pool, would reduction of the allowable to 200
20 barrels of oil per day result in substantial increases in
21 recovery of oil from this reservoir?

22 A Yes, sir, any reduction in allowable will
23 help. It's hard to quantify it with any reduction. If the
24 pool was drilled up entirely on 320-acre spacing and allow-
25 ables of 200 barrels a day were permitted, there will be the

1 very minimum amount of damage occurring.

2 Q Earlier you talked about a potential
3 value of the oil lost --

4 A Yes, sir.

5 Q -- in the Gavilan Pool of \$50-million.
6 At \$16.00 a barrel that 's about 3-billion barrels of oil.
7 Is that the range of volume you were talking about?

8 A I believe what I was talking about was 5-
9 million barrels and \$10.00 a barrel, \$10 or \$12.00 a barrel,
10 would be \$50 or \$60-million, and that would be if 10 percent
11 of the gravity drainage potential was realized; 1/10th of
12 the maximum.

13 Q With your 200 barrels a day of oil pro-
14 duction limitation is it reasonable to assume -- is it your
15 engineering opinion that we would recover that 10 percent
16 additional gravity drainage?

17 A Not if the pool is drilled up on 320 ac-
18 res.

19 Q Even with the 200-barrel restriction.

20 A Even with the 200 barrel, that's just
21 too much.

22 Q Do you have an opinion as to how much of
23 that recover?

24 A Well, I haven't tried to put a figure,
25 but I -- we can take a quick look at our Exhibit Four, our

1 Exhibit Four, Section C, and here we show if the pool is
2 developed on 320-acre spacing the overall average production
3 rate would be only 130 barrels a day and even at that low
4 rate the pool is essentially depleted in five years and in
5 round numbers, looks like about 75 or 80 percent of it would
6 be produced in two years.

7 And that rate of depletion would be too
8 high to achieve a substantial gravity drainage.

9 Q So the 200 barrel oil allowable is not a
10 long term solution to this problem.

11 A No, sir, it's an interim solution and
12 will help protection of correlative rights and give opera-
13 tors a chance to do something reasonable.

14 MR. STAMETS: Are there other
15 questions of this witness?

16 MR. KELLAHIN: Yes, Mr. Chair-
17 man.

18 MR. STAMETS: Mr. Kellahin.

19

20 CROSS EXAMINATION

21 BY MR. KELLAHIN:

22 Q Mr. Greer, in making your analysis of the
23 potential of the Gavilan-Mancos receiving benefit from grav-
24 ity drainage, have you availed yourself of the information
25 provided in the Dugan Production Corporation exhibits as

1 well as the Jerome P. McHugh exhibits that were presented at
2 the prior hearing?

3 A Yes, sir.

4 Q With specific reference to Mr. Ellis'
5 structure map, the hearing on August 7th was not the first
6 time you saw that structure map, was it, sir?

7 A No, sir, I'd seen it before that.

8 Q Mr. Pearce asked you some questions with
9 regard to the elevations of two wells that followed the gen-
10 eral strike of the axis of the nose of the Gavilan-Mancos.

11 A Yes, sir.

12 Q It showed a difference of approximately
13 50 feet, I believe.

14 A Yes, sir.

15 Q If we go perpendicular to the axis of the
16 nose, do we then see on the structure map a type of differ-
17 ence in structure that caused you to reach your opinion that
18 the Gavilan-Mancos was a suitable candidate for gravity
19 drainage?

20 A Yes, sir. I did not take into account or
21 estimate that there would be any gravity drainage along the
22 direction of the question at that time.

23 Q Your hypothesis about the potential of
24 gravity drainage in the Gavilan-Mancos then was based upon
25 specific data generated by Mr. Roe and Mr. Ellis?

1 A Yes, sir, I used their -- their informa-
2 tion, as well as mine.

3 Q As a well respected petroleum engineer,
4 Mr. Greer, would you articulate for me why the -- some of
5 the information that the engineers and experts are looking
6 at in the Gavilan-Mancos does not cause you to conclude that
7 they're seeing what is characterized as the typical solution
8 gas drive reservoir?

9 A I'm sorry, I didn't --

10 Q Yes, sir. There's been some discussion
11 and questions of you and the other witnesses about charac-
12 terizing the Gavilan-Mancos as the typical solution gas
13 drive reservoir and you told us in your testimony that you
14 disagreed with that; that you felt that that was now what we
15 were seeing.

16 I would like you to summarize for me, if
17 you can, sir, the reasons and basis that have caused you to
18 conclude that the Gavilan-Mancos is not a typical solution
19 gas drive reservoir.

20 A Yes, sir. The, as I thought I'd testi-
21 fied earlier, the Gavilan Pool in which an option is given
22 to the producers as to the producing mechanism, and it de-
23 pends on how fast the pool is depleted as to whether it will
24 be entirely solution gas drive, primarily gravity drainage,
25 or a combination of the two, and at the current rates of

1 production, the way that the pool is scheduled to be devel-
2 oped on 320 acres with a high allowable, then there will be
3 a minimum of gravity drainage, and so the process would de-
4 grade to primarily a solution gas drive.

5 Q You have posed for us a temporary solu-
6 tion or stopgap measure on restricting gas/oil ratios and
7 allowables and you have used a combination of the two in
8 which gas/oil ratios are reduced to 1000 cubic feet of gas
9 to one barrel of oil and a production limitation of 200 bar-
10 rels of oil per day.

11 Do you have an opinion, sir, as to
12 whether or not you can significantly vary either one of
13 those factors or eliminate one entirely?

14 A No, sir, I think it's a pretty good --
15 pretty good combination. To reduce the gas/oil ratio would
16 not significantly help and I think would compound just the
17 practical problem of handling it, and certainly the oil al-
18 lowable should be any -- a bit higher than 200 barrels.

19 Q Thank you, sir.

20 MR. STAMETS: Any other ques-
21 tions of Mr. Greer?

22

23 REDIRECT EXAMINATION

24 BY MR. CARR:

25 Q Very briefly, Mr. Greer, you were asked

1 by Mr. Padilla to read from a letter that you'd previously
2 written.

3 Do you happen to know the date of that
4 letter?

5 A I believe it was -- seems about a year
6 ago, in March of '85.

7 Q Since that time has additional informa-
8 tion come -- become available to you concerning this area?

9 A Yes, sir.

10 Q In your opinion is it safe today to char-
11 acterize what you called a restriction, is it safe to char-
12 actize that as a barrier?

13 A Yes, sir, I feel like restriction is more
14 proper term than barrier.

15 MR. STAMETS: Any other ques-
16 tions?

17 Mr. Padilla.

18

19 RECROSS EXAMINATION

20 BY MR. PADILLA:

21 Q Mr. Greer, if I understood your testimony
22 this morning you were concerned about the pressure decline
23 and in answer to some of my questions you also -- concerning
24 the Exhibit Number Two, you talked about decline in pressure
25 and I understood you to mean decline in pressure associated

1 with gas withdrawal. Is that correct?

2 A Well, the decline in pressure will cause
3 gas to come out of solution and then the gas moves to the
4 wellbore and then pressure drops more rapidly and a vicious
5 cycle is started.

6 Q If gas is restricted, will that reduce --
7 will that cause a decreased pressure production?

8 A Well, restricting the gas/oil ratio and
9 restricting the production simply slows down the rate of de-
10 pletion so the operators can hopefully get together and de-
11 vise a better plan for developing this reservoir before it's
12 too late to realize some gravity drainage potential.

13 That's my feeling.

14 Q And it's your testimony that there's no
15 correlation between a reduction in GOR and oil takes.

16 A A reduction in GOR and what?

17 Q Oil withdrawals from the reservoir.

18 A Okay, if you lower the gas/oil ratio li-
19 mit you will lower somewhat the withdrawals, yes, sir, but
20 not significantly and in the sense that one could simply re-
21 duce the gas/oil ratio limit and say that's all.

22 Q In other words, it doesn't make any dif-
23 ference in your opinion, it doesn't make any difference
24 whether the GOR is 588-to-1 or 1000-to-1.

25 A Well, I tried to describe why I felt that

1 it was impractical to go below 1000-to-1. It's possible
2 and of course operators could probably live with it, and
3 it's just kind of an impractical thing to do, I think.

4 Q Well, doesn't that leave more gas in so-
5 lution at that point if you bring it down to 588?

6 A Well, if you bring the gas/oil limit down
7 to 588 it would limit the production from the reservoir a
8 little bit more than 1000-to-1, but it -- my opinion is that
9 that would be a bad choice to go that direction rather than
10 down to 200 barrels a day.

11 Q Then why don't we leave it at 2000-to-1?

12 A Well, as I've indicated, I think it's
13 proper to reduce the gas/oil ratio. It's just from a prac-
14 tical standpoint of how it's handled and how the gas volumes
15 are calculated and how the Commission calculates the gas/oil
16 ratio limitation, but I think it becomes too sensitive, too
17 sensitive to go down to 588.

18 Q Well, I'm just a little confused that you
19 seem to be saying it doesn't matter what GOR we have, let's
20 just reduce the oil and trying to make a big point on simply
21 reducing the amount of oil that can be withdrawn from the
22 reservoir and I don't understand the decision as far as GOR
23 is concerned.

24 A Well, reducing both the allowable and the
25 GOR will reduce the rate of withdrawal from the reservoir.

1 I think below 1000-to-1 is impractical
2 and at 1000-to-1 it's necessary to come down to 200 barrels
3 a day in order to have a reasonable -- a more reasonable
4 rate of withdrawal.

5 The main thing coming down to 200 barrels
6 a day, it will give the operators in the pool the opportu-
7 nity to protect their correlative rights.

8 Q Well, let me ask you if your correlative
9 rights, if you don't want to drill to protect your well and
10 if you restrict the allowable to 200 barrels per day on oil,
11 you wouldn't have to drill any wells.

12 A No, sir, that's not the answer at all.
13 If you restrict the allowable to 200 barrels a day, then an
14 operator can go in the pool, drill a well under the current
15 spacing order, and he would have an opportunity to protect
16 his correlative rights.

17 Currently, with the allowable 700 barrels
18 per day, an operator can go in the pool, drill the well, it
19 wouldn't otherwise be a commercial well, but his correla-
20 tive rights are not being protected because the big wells
21 are taking too much oil out from under his lands, so that's
22 the concern on that.

23 Q On an undrilled tract or a drilled tract?

24 A That's -- we're talking about where an
25 operator goes out and drills a tract, either one already

1 drilled or where he would go out and drill a new one.

2 In either instance he's not afforded the
3 opportunity to protect his correlative rights if he doesn't
4 tunnel into a fracture that will give him 700 barrels a day.

5 Q He has an equal opportunity. It just so
6 happens that he didn't hit the fracture, isn't that --

7 A Yes, sir, and then you're back to the law
8 of capture in which the allowable is based upon the produc-
9 tivity of the wells and that's not related to oil in place
10 and in my view it's an improper way to set an allowable.

11 Q Well, in the normal situation, wouldn't
12 you agree, Mr. Greer, if you drill a well and it happens to
13 be a dry well under -- under the current conservation laws,
14 that's just the risk you assume.

15 A Yes, sir, and I think we all understand
16 that. The problem we have here is we don't have a normal
17 reservoir and it needs special consideration.

18 Q Well, Mr. Greer, let me ask you, how do
19 you know whether or not you have a dry hole, whether you
20 missed the fracture?

21 A Well, when you put the well on production
22 you'll find out whether it's a producer or not.

23 Q Well, I understand that but let's assume
24 the difference between a well that produced 25 barrels a day
25 and one that produces 500 barrels a day. Did the 25-barrel

1 well miss the fracture?

2 A Yes, sir. The man has had an opportunity
3 to drill his well. He didn't hit a fracture and he's bound
4 to his productivity and that we understand.

5 My concern is for wells that come in with
6 productivities of in excess of 200 barrels a day and even at
7 200 barrels a day the big wells are taking oil out from un-
8 der their lands.

9 Q Well, that's an assumption, isn't it?

10 A Well, it's my best estimate of what the
11 character of the reservoir is like, made up on the work that
12 we've done over the last twenty-five years.

13 Q As far as the West Puerto Chiquito is
14 concerned.

15 A Yes, sir, and we feel that West Puerto
16 Chiquito and Gavilan are quite similar.

17 MR. PADILLA: I don't have any-
18 thing else.

19 MR. STAMETS: Any other ques-
20 tions of the witness?

21 He may be excused.

22 We'll take about a fifteen
23 minute recess.

24

25 (Thereupon a recess was taken.)

1 MR. KELLAHIN: Mr. Chairman, I
2 would renew my request to admit Jerome P. McHugh Exhibits
3 One and Two, I think they were. They were our affidavits on
4 notice that we submitted at the last hearing.

5 MR. PEARCE: As far as I know
6 there are no problems with that in terms of accurately
7 representing the ownership and on that basis we do not
8 object to those exhibits being admitted.

9 MR. STAMETS: Those exhibits
10 will be admitted.

11 Mr. Lopez, do you have any
12 witnesses?

13 MR. LOPEZ: I sure do, Mr.
14 Chairman. I'm just wondering if I'm the next appropriate
15 person to address. Meridian is here in support of the
16 issue.

17 MR. STAMETS: Yes, perhaps we
18 ought to have a show of hands of those who have witnesses
19 today. Other than Meridian, who else is in support of this
20 application?

21 Okay, I see none. We thank
22 you, Mr. Lopez. We will let Meridian put their testimony on
23 at this time.

24 MR. COOTER: Mr. Examiner --
25 Mr. Stamets, I'm sorry, Paul Cooter, appearing on behalf of

1 I didn't really realize that we
2 would be cast in a position of jumping in or staying out of
3 the pond at this early stage. If those are our two alterna-
4 tives, we'll jump into the pond, but we would prefer listen-
5 ing to the pros and cons before presenting our case, but if
6 we're logically called on now, we're ready to proceed.

7 We won't be long.

8 MR. STAMETS: We'll allow you
9 to go ahead at this time, Mr. Cooter.

10

11 RICHARD E. FRALEY,
12 being called as a witness and being duly sworn upon his
13 oath, testified as follows, to-wit:

14

15 DIRECT EXAMINATION

16 BY MR. COOTER:

17 Q State your name for the record, please,
18 sir.

19 A My name is Richard E. Fraley.

20 Q And by whom are you employed, Mr. Fraley?

21 A Meridian Oil, Farmington, New Mexico.

22 Q What's your position with the company?

23 A I'm a Senior Reservoir Engineer for Meri-
24 dian.

25 Q Relate, if you would for the Commission,

1 your education and professional experience.

2 A I graduated in 1979 from Colorado School
3 of Mines with a Bachelor of Science degree in geological en-
4 gineering.

5 I was that employed by Superior Oil, be-
6 ginning in 1980 in The Woodlands, Texas, as a production
7 geologist for a period of about nine months.

8 At that point in time I went to work in
9 Denver, Colorado, for Husky Oil as a production geologist.
10 I worked there for approximately nine months.

11 In November of 1981 I went back to work
12 for Superior Oil in Denver as a reservoir engineer. When
13 Mobil took Superior over I was a reservoir engineer for
14 Mobil and in February of this year I went to work in Farm-
15 ington for Meridian as a reservoir engineer.

16 Q Are you familiar with the Gavilan-Mancos
17 Oil Pool?

18 A Yes, I am.

19 Q And the special or the temporary propo-
20 sals as advanced by the applicants, Mr. McHugh and Mr.
21 Greer?

22 A Yes, I am.

23 Q Let me direct your attention, please, to
24 your exhibits.

25 First, let's look at Exhibit One-A, if

1 you would, which is a plat, I believe, of the area.

2 Explain that.

3 A This is a map done under the direction of
4 Van Gobel (sic), who is a landman with Meridian Oil in
5 Farmington.

6 This map indicates Meridian's acreage in
7 the area, whether it's 100 percent or partial interest ac-
8 reage.

9 To this end I haven't specifically
10 highlighted -- well, I have.

11 If you look, the wells in red with the
12 red box around them indicate wells that Meridian currently
13 has an interest in and I've enumerated those on Exhibit One,
14 which I'll talk about in a minute.

15 We currently have an interest in nine
16 wells in the area.

17 Also, I have colored in Meridian's inter-
18 est in undeveloped acreage within the Gavilan study area,
19 and that acreage is the acreage that shows up as yellow with
20 no red box around it.

21 Q All right, let me direct your attention
22 back for just one minute to what was introduced at the prior
23 hearing as the Dugan Exhibit Number One. Were the figures
24 or the interest credited to Meridian Oil Company in that ex-
25 hibit substantially correct?

1 A I'd have to look at it. I don't have
2 that exhibit with me.

3 Q Do you recall that exhibit?

4 A Yes, I do. It's a list that Dugan has
5 supplied in previous testimony that indicates the wells that
6 Meridian operates. There is no indication on this list as
7 to wells that Meridian may have interest in other than the
8 wells they operate.

9 Q Meridian's net interest is a greater
10 amount than shown on that but those are just the operated
11 wells.

12 A That's correct.

13 Q All right. Let's go from that, if you
14 would, back to Exhibit Number One. The -- at the top of
15 that you list several wells and included are the five wells
16 that are shown on the Dugan Exhibit Number One, are they
17 not?

18 A Correct.

19 Q Explain Exhibit Number One, if you would.

20 A Exhibit One, I'll go through rather
21 quickly, indicates wells in the area that Meridian has an
22 interest in.

23 Column two, if you go across from those
24 wells, indicates what our working interests and net inter-
25 ests are in those wells.

6 The next column across indicates what the
7 June production was listed on the C-115's and the total pro-
8 duction on the bottom indicates 13,154 barrels of oil pro-
9 duced that month, 18,568 MCF of gas produced for the month
10 of June, and again I reiterate that Meridian has 2277.3 ac-
11 res in this study area, including acreage in eight undevel-
12 oped locations, if we look at 320-acre drill sites.

13 Meridian also has a 4.15 percent working
14 interest in Canada Ojitos.

15 Therefore we are concerned about what's
16 happening at Gavilan and what's happening at Canada Ojitos.

One thing I'd like to point out, I'm not able to calculate all the company's effect on their net production in this area, and therefore it's directionally correct to look at the operator's production, but it doesn't really tell the whole story and to say that Meridian is hurt only from production from their wells is incorrect. We're hurt from production in other wells, depending on whatever the allowables are set.

25 And addressing that point, using some of

1 the assumptions going down through the page, that have been
2 made in the Gavilan study committees, again $B_o = 1.38$, solu-
3 tion gas of 588, and B_g of 1.78, the total Gavilan produc-
4 tion, if you look at the Gavilan Pool, from 43 wells in June
5 of '86 is indicated and that amounts to, using these numbers
6 for conversion, to 17,163 reservoir barrels of oil produced
7 per day for June.

8 As you can see, with the exception of the
9 Mallon Post Federal 13-6, all of our production as allocated
10 to Meridian for June came from four wells of the nine that
11 we have an interest in and amounted to 1248 reservoir bar-
12 rels a day production for June.

13 If you look at what that is as a percent-
14 age of the total, our production for June amounted to 7.3
15 percent of the total reservoir withdrawal for June, 1986.

16 This next section I indicate what the ef-
17 fect would be on Meridian's production for June --

18 Q Let me interrupt you right there, if I
19 may, Mr. Fraley, and we'll come back to that in just a
20 minute.

21 Let me go at this point to your Exhibit
22 Number Two and ask you to explain that.

23 A Exhibit Two is similar to some that have
24 been submitted already in previous testimony. As I note in
25 the heading, these are wells that Meridian has a working in-
terest

1 in in the area and pressure points that have been reviewed
2 and approved by the subcommittee, the engineering subcommit-
3 tee, and again to reflect what is happening in the pressure
4 in wells that Meridian has a specific working interest in.

5 Also indicated on this plot through time
6 is what the actual reservoir barrel withdrawals were from
7 the wells that are listed on this plot.

8 As you can see, with the exception of No-
9 vember of 1985 when we were testing our Hill Federal No. 1
10 Well, there is very little production associated with this
11 pressure decline from wells that Meridian has an interest
12 in. The initial pressure that we had was from the Hawk Fed-
13 eral No. 2 on April 13th, 1984, which indicated a pressure
14 of 1740 pounds and you can see that through time the wells
15 have come on at a lower pressure and have declined substan-
16 tially with very little production associated.

17 You could think of these wells basically
18 as observation wells on undeveloped acreage and they are in-
19 dicating what is happening to the reservoir in terms of
20 pressure drop through time.

21 This is something we are very concerned
22 about.

23 Q Let me next direct your attention to Ex-
24 hibit Number Three. Is that also compiled from information
25 relating to the Meridian oil?

1 A Yes, it is. This is a static pressure
2 test. It was run from July 26th to July 30th, 1986, in our
3 Hill Federal No. 2Y, which, if you refer back to the map, is
4 located in Section 25, Township 25 North, Range 2 West, and
5 it indicates that during this test there was an average
6 reservoir pressure drop of .8 of a psi a day. Again this is
7 associated with no production.

8 Q There appears back on Exhibit Two on this
9 Hill Federal No. 2Y Well an increase in pressure from
10 December of '85 when it was -- or January of '86 when it was
11 first placed on production. Can you explain that?

12 A Again that doesn't indicate the well is
13 on production. It indicates the initial pressure tests that
14 we had in the Hill 2Y, and I checked our records. To the
15 best of my knowledge the only explanation I have for that
16 increase in pressure is the fact that the well had not been
17 fraced at that point in time and probably we're looking at
18 some formation damage.

19 The well was IPed and tested on January
20 6th of 1986 and therefore I think that pressure point is
21 probably invalid, but I presented it on this document to in-
22 dicate that we are looking at all the data.

23 Q All right, now let's go back to Exhibit
24 Number One, if you would, I interrupted you a little bit
25 ago.

1 If the only alternatives would be to ac-
2 cept the recommendations that have been made, have you cal-
3 culated what effect that would have on the wells in which
4 Meridian has an interest?

5 A Yes, I have.

6 Q What would be that effect?

7 A Well, as you review this document, first
8 looking at what total Gavilan Pool withdrawals would de-
9 crease to if they had been subject to 200 barrels a day,
10 1000 GOR in June, I indicate from my calculations that the
11 total pool withdrawal would have been 13,952 barrels -- re-
12 servoir barrels per day, which is a decrease of 3211 reser-
13 voir barrels a day.

14 I haven't written it on here, but that's
15 an 18.7 percent decrease in production for June from the to-
16 tal pool.

17 Withdrawal from Meridian's wells would
18 drop for 1248 barrels a day to 414 barrels a day, which is
19 -- I'm sorry to 834 barrels a day, which is a 414 reservoir
20 barrel per oil -- reservoir barrels of oil per day drop for
21 June.

22 I'd like to point out that that amounts
23 to a 33.2 percent increase in Meridian's real production
24 from all the wells that they have an interest in in the
25 area.

1 So as you look at that, we are looking at
2 a substantial cut over and above what the total pool would
3 see as a total decline for June.

4 Q What is your company's suggestion for the
5 time limitation for any special rules?

6 A We would request they be for no more than
7 ninety days.

8 Q What about new wells coming on line be-
9 tween this time on?

10 A We've indicated to the various operators
11 in the area that we'd like to see a 60-day clean out period
12 for any new wells that are brought on. A lot of the wells
13 increase slightly in their producing rates as they clean up,
14 as the frac jobs are cleaned up through time, and therefore
15 you need to test them for about 60 days to get a true idea
16 of how the well is going to perform.

17 Q In addition to those recommendations, do
18 you have any other suggestions or clasing statement to make?

19 A Well, I'd like to indicate that even
20 though, as I stated, we see a disproportionate cut in pro-
21 duction from the wells that we have an interest in in the
22 Gavilan area, as I stated here, and as is highlighted in
23 yellow, this in my mind and in Meridian's mind is inconse-
24 quential when you compare it to the rapid pressure decline
25 that we see from our shut-in wells, as seen on Exhibit Two,

1 and this points to the fact that a minimum allowable level
2 should be set to conserve the reservoir pressure until a
3 study can be done, and I'd like to indicate we feel like a
4 study needs to be done as soon as possible, and as quickly
5 as possible, and the study should focus on what the most
6 prudent methods of development and production in the Gavilan
7 Field are.

8 Also in summary I have a statement here.

9 It appears to me, and I think most people
10 would agree, that there have been a variety of facts and
11 opinions expressed to date, both in the context of this
12 hearing and the subcommittee meetings, as to what the facts
13 and opinions are concerning the producing mechanisms at the
14 Gavilan area.

15 Meridian is not precluding unitization
16 and we're not precluding the fact that the final allowable,
17 and I stress the final allowable versus temporary, should be
18 200 barrels a day or 1000 GOR, but the evidence presented
19 indicates that the reservoir pressures are dropping, the
20 GORS are climbing at rates which in my experience are
21 alarming compared to other reservoirs, and therefore the 200
22 barrel a day, 1000 GOR proposal should be implemented until
23 such time as a study is completed to determine the most
24 prudent plan of development and operation to produce the re-
25 serves in Gavilan, and in addition to prevent waste and to

1 protect correlative rights.

2 Personally I don't like to see severe,
3 rapid depletion of a reservoir that may have possible alter-
4 natives other than solution gas drive depletions, and I
5 think these things need to be studied.

6 To this end I think Mr. Greer's testimony
7 and McHugh's facts and opinions must be reviewed, as well as
8 any other facts and opinions, the point being that the study
9 needs to move forward very soon.

10 To that end we are in support of the 200
11 barrel a day, 1000 GOR.

12 Q In your opinion, Mr. Fraley, would a
13 period of ninety days be sufficient for that study if all
14 parties entered into it in a spirit of cooperation?

15 A Yes.

16 Q Were Exhibits, the four exhibits, One,
17 One-A, Two, and Three, prepared either by you or under your
18 direction and supervision?

19 A As I indicated, Exhibit One-A was pre-
20 pared by Meridian's land department and under the direction
21 of our land people.

22 MR. COOTER: We offer the four
23 exhibits, Mr. Stamets.

24 MR. STAMETS: Without objec-
25 tion, the exhibits will be admitted.

1 MR. COOTER: That concludes my
2 direct examination.

3 MR. STAMETS: For the record,
4 Mr. Cooter, I presume you were qualifying Mr. Fraley as a
5 geological engineer?

6 A I'm currently working as a reservoir en-
7 gineer.

8 MR. STAMETS: Was your expert
9 testimony offered as a reservoir engineer?

10 A Yes.

11 MR. STAMETS: Without objection
12 his qualifications as a reservoir engineer will be accepted.

13 Are there questions of this
14 witness?

15 MR. PEARCE: If I may have just
16 a moment, please, Mr. Chairman.

17

18 CROSS EXAMINATION

19 BY MR. PEARCE:

20 Q Mr. Fraley, just for purposes of clarifi-
21 cation, looking at your Exhibit Number One, where you did
22 the calculations of percentage restriction down towards the
23 bottom of the page?

24 A Yes.

25 Q I notice that those calculations were

1 done in terms of reservoir barrels. Do you have the same
2 calculations in terms of oil production?

3 A Just straight oil production?

4 Q Yes.

5 A You could -- you could look at what a 200
6 barrel a day limit would do. I haven't presented that
7 there. I have it in rough numbers on some yellow sheets of
8 paper up here, I think, but --

9 Q Do you recall approximately where those
10 percentage figures about the same as these? Were they
11 higher, lower, one direction or the other?

12 A In reference to the wells that Meridian
13 has an interest in, is that what you're --

14 Q Yes, sir.

15 A -- specifically addressing? Well, I'll
16 go into detail here on the four wells that produce.

17 The Hill Federal -- the Hawk Federal No.
18 2, excuse me, averaged 141.5 barrels a day in June and the
19 restriction on the allowable would have been based on a GOR
20 which would have knocked it down to 80 barrels a day.

21 Q (Unclear) zero?

22 A Yes.

23 Q The Hawk Federal No. 3 produced 219.8
24 barrels a day. It's restriction was based on an allowable
25 restriction; therefore it would have been knocked down to

200 barrels a day.

1 A Yes, sir.

2 Q The McHugh Native State -- I'm sorry, the
3 Native Son No. 3 would not be restricted. The production
4 was 68.3 barrels a day. The gas production was 20.8,
5 therefore it would not be subject to either 200 or 1000.

6 And the McHugh New Horizon No. 1 averaged
7 8.8 barrels a day and 35 MCF a day and it would have been
8 knocked down to 2.2 and 9; therefore its total production,
9 it would have been GOR restricted but in the overall scheme
10 of things you're not talking about much there.

11 Q And just looking at that -- okay,
12 roughly, that's about 1030 barrels versus 357 barrels, ap-
13 proximately.

14 A 357, I don't know. Are we saying total
15 production?

16 Q Yes.

17 MR. STAMETS: Are you saying
18 that they currently enjoy 1000 barrels --

19 MR. PEARCE: 1031.8 barrels, I
20 thought I added the numbers you gave me --

21 A Okay, and then it goes down to 351.

22 Q And the numbers would be, I think, 357.3.

23 A Well, I get 351, so we're in the ball-
24 park.

25

1 Q Thank you. I can never figure out how to
2 work that calculation.

3 MR. STAMETS: What kind of a
4 cut are we looking at there? Is that a 60 percent reduction
5 in allowable? Oil allowable?

6 A Yeah, and the only well that's severely
7 restricted by the GOR would be the Hawk Federal No. 2.

8

9 CROSS EXAMINATION

10 BY MR. STAMETS:

11 Q Mr. Fraley, based on these numbers, Mr.
12 Fraley, based on these numbers are we talking about a cut in
13 allowable for Meridian wells of 60 percent, more or less?

14 A The production cut based on my figures
15 was 33.2 percent (unclear).

16 Q Okay. How does that compare with the
17 overall allowable reduction?

18 A The total pool would have seen a decrease
19 of 18.7 percent.

20 Q So what you've got to say about oil alone
21 is roughly equivalent to reservoir voidage. You're suffer-
22 ing greater than the average.

23 A Yes, that's correct and we are willing to
24 suffer until we can study and figure out what needs to be
25 done.

1 MR. PEARCE: Okay, Mr. Fraley,
2 as I understood your closing statement there before the end,
3 do you not yet have an opinion on what the production
4 mechanism in this reservoir is or do you have such an opin-
5 ion?

6 A I do have an opinion it's solution gas
7 drive at this point and what I said was that I indicated
8 that there may be alternatives to solution gas drive that
9 need to be studied.

10 MR. PEARCE: I have nothing
11 further. Thank you, sir.

12 MR. STAMETS: Are there other
13 questions of this witness? Mr. Padilla.

14
15 CROSS EXAMINATION

16 BY MR. PADILLA:

17 Q Mr. Fraley, have you participated in the
18 study committee for study previous -- previous to this hear-
19 ing?

20 A Yes, I have.

21 Q During the course of that -- your part-
22 icipate in the study committee, did you make statements to
23 the effect that gas wasn't a problem with regard to the Gav-
24 ilan-Mancos Pool?

25 A I may have.

1 Q Is that your opinion today?

2 A My opinion is that the withdrawal of both
3 oil and gas are what are affecting this rapid pressure drop
4 that we're seeing here.

5 Q Which is the greater problem in your
6 opinion?

7 A The oil, and I've stated that in subcom-
8 mittee meetings.

9 I've indicated that I feel the high rate
10 wells hurt the reservoir more than low rate high GOR wells.

11 Q In your testimony you said you were un-
12 able to calculate, make some calculation due to lack of in-
13 formation. Can you elaborate on that?

14 A Well, I don't have the data available in
15 terms of everyone's working and net interests in the -- all
16 of the wells at Gavilan. I have the information on Meri-
17 dian's wells. I think it would be prudent for all the oper-
18 ators to calculate what their net pay-in is from any kind of
19 a well's production because it's not strictly based on the
20 wells that they operate.

21 If I had the data I'd be glad to do the
22 calculations but I don't have any data on any of the wells
23 we don't have an interest in.

24 MR. PADILLA: No further ques-
25 tions.

1 MR. STAMETS: Any other ques-
2 tions of this witness?

3 MR. COOTER: That's all.

4 MR. STAMETS: If there is no-
5 thing further then, he may be excused.

6 MR. COOTER: That's our case.

7 MR. STAMETS: Mr. Lopez, is
8 there anyone you would prefer to have go on before you at
9 this point?

10

11 KATHLEEN A. MICHAEL,
12 being called as a witness and being duly sworn upon her
13 oath, testified as follows, to-wit:

14

15 DIRECT EXAMINATION

16 BY MR. LOPEZ:

17 Q Would you please state your name and
18 where you reside?

19 A My name is Kathleen A. Michael and I re-
20 side in Tulsa, Oklahoma.

21 Q Ms. Michael, by whom are you employed and
22 in what capacity?

23 A I'm employed by Mesa Grande Resources as
24 a landman.

25 Q Would you briefly describe your educa-

1 tional background and work experience?

2 A Yes. I graduated in 1972 from North
3 Texas State University with a Bachelor of Science degree in
4 secondary education.

5 I started working in oil and gas, or as a
6 landman in oil and gas, for Fuel Resources Development
7 Company, a subsidiary of Public Service Company of Colorado,
8 in 1977. I worked there for two years and I specialized in
9 Federal exploratory units there.

10 In 1979 I went to Northwest Pipeline Cor-
11 poration and was employed there for four and a half years as
12 a landman. There again I specialized in Federal exploratory
13 units, and also I worked extensively on the Gavilan area
14 from the beginning of the exploration.

15 Q From the beginning of the exploration
16 program?

17 A After that I worked for two years as an
18 independent land consultant and now I'm employed by Mesa
19 Grande Resources.

20 Q And how long have you been employed by
21 Mesa Grande?

22 A Since January.

23 Q And you are familiar, then, with the area
24 in question that's being heard by the Commission in these
25 consolidated cases?

1 A Yes.

2 MR. LOPEZ: I tender Ms.
3 Michael as an expert landman.

4 MR. STAMETS: Without objection
5 she will be considered qualified.

6 Q For the record we have prepared an
7 Exhibit One but it was essentially identical to a McHugh ex-
8 hibit so we're just going to skip Exhibit One and move
9 directly -- and so we would remove that and we're going to
10 start our exhibits with Exhibit Two.

11 On that basis I'd like to have you turn
12 your attention to what's been marked Exhibit Two and have
13 you describe what it shows.

14 A Exhibit Two is a plat of the Gavilan
15 area. It includes a portion of the Canada Ojitos Unit and
16 it shows color coded by owner the leasehold ownership in the
17 Gavilan area, and it's basically to show the location and
18 distribution of acreage within the Gavilan area.

19 Q Have you described the unit boundary
20 which was shown on (interrupted) --

21 A Yes, we have. We've located the Canada
22 Ojitos Unit boundary. We've also located the Gavilan Pic-
23 tured Cliffs Pool, the Gavilan-Mancos Pool, and the Gavilan
24 Greenhorn-Graneros-Dakota Pool, and we've also included two
25 areas, the west half of Section 8 and the east half of Sec

1 tion 17, which will become included in the Gavilan-Mancos
2 Pool with a hearing that I understand is supposed to be ini-
3 tiated by the State.

4 MR. LOPEZ: I have no further
5 questions of this witness.

6 MR. STAMETS: Are there ques-
7 tions --

8 MR. LOPEZ: Was Exhibit One
9 prepared by you or under your supervision?

10 A Yes, it was.

11 MR. LOPEZ: Or Exhibit Two, I
12 mean?

13 A Exhibit Two, yes, it was.

14 MR. LOPEZ: I'd offer Mallon-
15 Mesa Grande Exhibit Two.

16 MR. STAMETS: Without objection
17 Exhibit Two will be admitted.

18 Are there questions of this
19 witness?

20 She may be excused.

21

22 ALAN P. EMMENDORFER,

23 being called as a witness and being duly sworn upon his
24 oath, testified as follows, to-wit:

25

1 DIRECT EXAMINATION

2 BY MR. LOPEZ:

3 Q Would you please state your name and
4 where you reside?5 A Yes. My name is Alan P. Emmendorfer. I
6 live in Broken Arrow, Oklahoma.7 Q By whom are you employed and in what cap-
8 acity?9 A I'm employed by Mesa Grande Resources as
10 a geologist.11 Q Would you describe your educational back-
12 ground and work experience?13 A Yes. I graduated from Southeast Missouri
14 State University in 1977 with a BS in geology.15 Then I went to the University of Oklahoma
16 and graduated with a Masters of Science degree in geology in
17 1979.18 I started working for El Paso Exploration
19 Company in 1979, based in Farmington, New Mexico, and my
20 role there was a production development geologist for the
21 San Juan Basin.22 I worked there for two months shy of five
23 years and then went to work in my current job with Mesa
24 Grande Resources as a geologist.

25 Q You are familiar with the Gavilan-Mancos

1 Pool and are familiar with the cases that are before the
2 Commission today as consolidated cases of McHugh and Benson-
3 Montin-Greer?

4 A Yes, I am.

5 MR. LOPEZ: I tender Mr. Emmen-
6 dorfer as an expert geologist.

7 MR. STAMETS: Without objection
8 Mr. Emmendorfer is considered qualified.

9 Q I now refer you to what's been marked
10 Exhibit Three and ask you to identify and explain that.

11 A Okay. Exhibit Number Three is a
12 structure map of the Gavilan area and I've mapped this on
13 the top of the Niobrara A zone or commonly called the
14 Gallup.

15 I took the tops from the study committee.
16 We had one day of referring especially to the geology.

17 The subcommittee got together and
18 commonly in agreement picked the top of the Niobrara A zone
19 with the well that we had with us at that time.

20 We used those values for most of the
21 wells on this map.

22 The wells that we did not use, I used the
23 same basis that we did in the study committee and correlated
24 those wells and picked -- used that top as my basis for the
25 structure map.

1 Q What does this exhibit show?

2 A It shows -- this is a structure map. It
3 shows two structurally different environments.

4 We have on the east side of the structure
5 map a deeply dipping monocline. This is evidenced by the
6 structural contour lines and it goes together, this map is
7 contoured on 50-foot intervals.

8 In the center of the map, which is cen-
9 tered in Township 25 North, 2 West, we see a small domal de-
10 velopment commonly referred to as the Gavilan Dome. It is
11 this area that the Gavilan-Mancos oil pool is producing out
12 of.

13 Separating these two structurally differ-
14 ent units, a deeply dipping monocline and a gently dipping
15 dome, we have a well defined trough that's been defined by
16 the drilling of several wells within the Canada Ojitos Unit,
17 so therefore we have off the monocline wells with the forma-
18 tion dipping to the west and on the other side of this
19 trough, on the east side we have the wells dipping towards
20 the east.

21 Q Who participate on this subcommittee
22 which you referred to in picking your tops for the structure
23 map?

24 A Well, all the operators were invited to
25 participate in this, send a geological representative. In

1 fact there were four of us that were initially involved and
2 three that actually did the picking.

3 The four geologists were myself, John
4 Bircher with Meridian, Kurt Fagrelus with Dugan, and Dick
5 Ellis with McHugh.

6 At the beginning we discussed our
7 objectives and what we were going to do and in this
8 agreement was Dick Ellis. He said that was fine, he was
9 going to participate in the engineering meeting that was
10 being held concurrently. So John Bircher, Kurt Fagrelus
11 and myself picked the tops.

12 Q Is there anything else you want to talk
13 about with respect to this exhibit now?

14 A I may refer to it later but this is all
15 for now.

16 Q I'd now refer you to what's been marked
17 Exhibit Number Four and ask you to identify and explain
18 that.

19 Okay, what is it we have here?

20 A This is a structural cross section that I
21 put together across the area that is represented on the
22 structure map in Exhibit Number Three, and if you will look
23 on the structure map you can see the actual trace of the
24 cross section as it's represented on the structure map.

25 Q Okay, what does this show?

1 A Well, there are several things that I
2 would like to point out on this structure, structural cross
3 section.

4 I think the big picture here is to show
5 the differences in structural dip across the area.

6 The wells over here are in the west --
7 the Canada Ojitos Unit on the monocline and as you can see,
8 very steep dips, we've already heard testimony today as to
9 what type of dips those are, what the rates of dip is, but
10 this is a graphic representation of this.

11 You have very steeply dipping Niobrara
12 rocks with Gallup rocks, and as you come through the trough
13 as indicated on the structure map, you see a leveling out of
14 the -- of the dip. Then as you come onto the Gavilan Dome
15 you see the wells coming back up into a domal configuration
16 and then going off again and the last wells on the
17 structure, structural cross section map is in the Ojito
18 Gallup-Dakota Pool.

19 The big difference that you see on the
20 structure is the fact that on the monocline you have very
21 steep dips and on the Gavilan Dome it's very gentle and
22 there is some structural relief here but it really is slight
23 compared to the rest of the structure offsetting it.

24 Q Does it show any stratigraphic variation?

25 A Yes. I believe it does. Unfortunately I

1 didn't have (unclear) the Canada Ojitos Unit wells available
2 for our draftsman to put on the cross section so we included
3 a stick diagram based on tops from PI scout cards, but what
4 we have are induction logs and as you can see, the Gallup,
5 this Niobrara is commonly broken down into the Niobrara A,
6 B, and C zones, and likewise within the Gavilan-Mancos
7 interval there is another basin unit called the Sanostee
8 (sic) and then there is shale sections in between.

9 The Niobrara A and C zones on a cursory
10 analysis look very similar. You can trace the sand or depo-
11 sitional unit across wide areas of the Gavilan area; in fact
12 in a lot of areas of the San Juan Basin this basic interval
13 is the same; however when you look at the induction curve or
14 the SP curve, the gamma ray curve, you start to see some
15 differences from well to well; that indeed it is not exactly
16 homogeneous, it is heterogeneous.

17 The Gallup or Niobrara was deposited in
18 an offshore environment consisting of sandstones, silt-
19 stones, and shales. Due to the depositional nature in any
20 particular area we have more sand or more silt or more shale
21 deposited. This is the nature of deposition and we can see
22 that these ratios between the sands, silts, and the shales,
23 indeed do vary from well to well across the area.

24 One major difference is we have in the
25 northern part of the Gavilan area and a little bit of the

1 northern part of the Canada Ojitos Unit, another portion of
2 the Gavilan-Mancos interval some people have called the gray
3 zone and it's well picked up on some wells as a high resis-
4 tivity area. We don't see that everywhere within the Gavi-
5 lan-Mancos Pool.

6 To the west and to the southwest portions
7 of the pool this is absent. That's another thing that we
8 looked at on our geological subcommittee meeting, we identi-
9 fied which wells had this gray zone in it and which wells
10 didn't. We don't know the significance of it from produc-
11 tion or not, but we felt we needed to identify that it was
12 present in some wells and in some wells it is not.

13 Since there are some companies that per-
14 forate in that zone we feel that's something that needs to
15 be addressed.

16 Another thing that I would like to point
17 out on the structure map is that these zones, the gray zone,
18 the A zone, B zone, the C zone and the Sanostee, they're
19 very continuous across the area like I pointed out on a
20 gross basis, although in the Gavilan Dome area operators,
21 different operators have completed wells in the different
22 zones.

23 Over in the Canada Ojitos Unit I believe
24 on the historical monoclinal production the C zone was the
25 only zone that was open.

1 Then on the Gavilan-Mancos we have opera-
2 tors that -- some operators perfed in the Sanostee. Some
3 operators perfed in the gray zone, where present, and the A
4 zone, the B zone, and the C zone, and in areas in between.

5 We feel that there's production occurring
6 all up and down the Gavilan-Mancos interval.

7 Q And as you just indicated, that you do
8 observe these differences on the logs themselves.

9 A I think so. Like SP development, which
10 is a gross representation of permeability, porosity and per-
11 meability development, some wells show positive SP
12 deflection, negative SP deflection, no SP deflection, within
13 the same A interval across the area, or B interval,
14 whichever interval you happen to look at. Those are --
15 those are brought out.

16 Likewise, the gamma ray, which is an
17 indication of relative amounts of sandstones, siltstones or
18 shales, those vary from well to well.

19 Q And do these logs also indicate the size
20 of the structural differences, as you've already indicated,
21 between the monocline and the Gavilan zones, the
22 stratigraphic differences between the two areas?

23 A Yes. The -- there are, since we've known
24 that there are differences from well to well, we also see
25 that in the Gavilan or in the monoclinal wells in the Canada

1 Ojitos Unit, that the induction is so much lower on many of
2 these wells as we see here in the Gavilan Dome area. So
3 there are, at least seem to be differences.

4 Q Are there any differences in the Pictured
5 Cliffs?

6 A Yes, there are. I believe in our other
7 exhibit, Exhibit Two, that we have the boundary of the Pic-
8 tured Cliff, the Gavilan Pictured Cliff Pool listed on
9 there.

10 We do have production on the Gavilan Dome
11 in the Pictured Cliff interval. It is -- the boundary stops
12 at -- the boundary between the western tier of sections in
13 25, 1, with the rest of 25 and 1. For whatever reason, and
14 I hope to point this out later, that Pictured Cliff produc-
15 tion stops here at this trough area, the general area of
16 this trough, and that there is no Pictured Cliff production
17 on the monocline.

18 Q How about any differences in the Mesa-
19 verde?

20 A Yes, there are. We do not have produc-
21 tion at this time but I have looked at the Mesaverde, have
22 mapped for different parameters there and Point Lookout
23 shows this relationship very good, that there are differ-
24 ences between the Gavilan Dome and the monocline.

25 Q Okay. I now refer you to what's been

1 marked Exhibit Number Five and ask you what it is.

2 Okay, well, first of all, what is this
3 map?

4 A Okay, this -- this is actually a montage
5 of a stratigraphic cross section and then two maps, one
6 being the structure map from the top of the Point Lookout
7 sandstone, and an Isopach map of the porosity feet as mapped
8 within the -- within the (unclear) Point Lookout.

9 I must apologize that this map, the work
10 that I did on this was done just about a year ago and
11 there's been a lot of drilling since then but I haven't had
12 a chance to update any new wells that are -- that have come
13 -- been drilled in the area at that time.

14 Q Okay. What does the Isopach show?

15 A Okay, what I --

16 MR. KELLAHIN: Mr. Chairman,
17 I'm going to object, file an objection at this point until
18 there is a relevancy established for this exhibit. It's in
19 the Gavilan-Mesaverde. I don't believe that's under discus-
20 sion.

21 A There is no Gavilan-Mesaverde.

22 MR. KELLAHIN: How does that
23 relate to this case?

24 MR. LOPEZ: I think if Mr. Kel-
25 lahin will bear with us, this relationship and purpose will

1 be amply demonstrated.

2 MR. STAMETS: We will allow the
3 cross examination to continue and see if the relevance can
4 be demonstrated.

5 Q Okay, is the Mesaverde productive?

6 A No, it isn't at this time but that was
7 basically why I developed this map for my boss to let him
8 know that I thought that in the future we would be able to
9 develop the Mesaverde and produce oil and gas, but at this
10 time, you know, with the gas market the way it is, we've
11 chosen not to drill any wells at this time.

12 What I've attempted to do is map the por-
13 osity development which was in the top of the Point Lookout,
14 the massive Point Lookout sandstone, and I had the interval
15 marked off on each of these wells.

16 What I did was took the gamma ray neutron
17 log and looked at the porosities and calculated the net
18 amount of feet, effective pore feet within that interval and
19 like on the Gavilan Howard No. 1 I found there was 3.35 por-
20 osity feet in that interval. Likewise, on the Gavilan No.
21 1-E I mapped 4.63 porosity feet, and farther on. I said
22 that we hoped that the Mesaverde would be productive. On
23 the stratigraphic cross section that I showed, only two of
24 the wells have mud logs run on them. We saw excellent sam-
25 ple shows and mud logs shows and so we're very hopeful that

1 we will get something out of the Mesaverde on the Gavilan
2 Dome.

3 What the -- the most striking element on
4 this map is we see the Point Lookout sandstone and it's been
5 -- in the San Juan Basin there are offshore bars that are
6 well developed, and on the cross section we see the develop-
7 ment of a new bar we have more development in and you can
8 see that in the net porosity feet. We jump from 2.3, 1.6,

9 We've Isopached these values from the
10 well data I had at the time and we see a nice bar develop-
11 ment occurring. As you go toward the center of this bar you
12 have higher amounts of porosity being developed.

13 But the most, the thing that interested
14 me whenever I first mapped this, was that as you approach
15 the edge of the Gavilan Dome end of the trough, and again
16 this is an old map, but the structure on this map at the
17 Point Lookout does not really show the trough as good as the
18 new data that we have on the top of the Niobrara A, but I
19 did some sort of trough here. Anyway, perpendicular to the
20 development of the bar we saw the permeability of the Point
21 Lookout sand stopping and it kept getting lower and lower
22 permeability, porosity and permeability, until from the data
23 that I had at the time, we saw that as you did approach the
24 synclinal trough there, at the west edge of the Canada
25 Ojitos Unit, we have an effective permeability barrier, that

1 the -- porosity and permeability barrier -- that the sand-
2 stone, excellent sandstone bar is being developed has been
3 deteriorated since we cannot map it any more.

4 A lot of -- fortunately a lot of the
5 Canada Ojitos Unit wells did not have -- are older wells and
6 they did have gamma ray neutron log on them, but several of
7 the wells were cored in the Mesaverde and I assume that they
8 are nonproductive, no completions were attempted.

9 So what I envision is that we do have
10 porosity development within the Mesaverde interval and that
11 as we approach the trough as mapped on the -- between the
12 Gavilan Dome and the monocline, that we see porosity,
13 effective porosity being eliminated.

14 Q What about any differences in the Dakota
15 formation?

16 A Well, I don't have a map showing the
17 trends of the sandstones bars in there . All I can say is
18 on Exhibit Number Two we did show the existence of the pool
19 boundary for the Gavilan-Greenhorn-Graneros-Dakota Pool and
20 we have established production. Some of the wells in that
21 pool are complete or producing on their own and some of them
22 are producing commingled with Gavilan-Mancos intervals;
23 however, I'm of the opinion that the Dakota is nonproductive
24 on the mononcline and that -- that indeed there were some
25 wells drilled through the Dakota and tested in that way and

1 there was no production found.

2 Again we might postulate that the
3 Gavilan-Mancos, the Gavilan-Dakota Pool seems to stop at the
4 trough. Again the same trough that the Pictured Cliffs, the
5 Mesaverde, and the Dakota seems to stop at, that trough
6 between the Gavilan Dome and the monocline.

7 Q How about the Pictured Cliffs?

8 A Pictured Cliffs?

9 Q Is there any evidence of Pictured Cliffs
10 production on that?

11 A Monocline?

12 Q Yeah.

13 A No, there isn't. Of course the wells
14 were drilled through the Pictured Cliff interval and I be-
15 lieve there were some wells that were drilled just to test
16 the Pictured Cliff and no production at this time in that
17 area.

18 Q Does Exhibit Two show the Pictured Cliff
19 boundary?

20 A Yes, it does. I pointed that out, that
21 the pool boundary stops right in the center of that trough
22 as defined in the Gavilan-Mancos interval.

23 Q Okay. What about any differences between
24 the two areas of the Gallup?

25 A Well, I feel that there are some differ-

1 ences in the Gallup or the Niobrara -- Mancos and the Nio-
2 brara interval between the Gavilan Dome area and the mono-
3 cline.

4 Q And on what basis do you feel this?

5 A Well, wireline logs and I've already
6 pointed that out on my structural cross section there seems
7 to be differences, and from what I've witnessed in the
8 Gavilan area from the limited core data that we had and from
9 mud log shows and sample shows, we feel that there is matrix
10 porosity developed within the Mancos interval in the Gavilan
11 Dome area.

12 Q And what do you base this on?

13 A Again I base this on sample shows and mud
14 logs we see as the well is being drilled. Mud logs have
15 drilling breaks indicative of porosity development. The
16 samples coming over the shale shaker lag back to this inter-
17 val of drilling breaks. The mud loggers, many, many of the
18 mud logs that I've seen in the area did cuts off of these
19 samples, to me indicating that there is matrix porosity and
20 that it is indeed filed with oil, and that it has some per-
21 meability.

22 I've been out on a well where I watched
23 the samples come over, you know, I was with the mud logger
24 when we looked for mineral fluorescence and we looked for
25 sample cuts and all and we did see this, so I feel that

1 there are -- is matrix porosity in this area.

2 I pointed out that we have limited core
3 data and we've pretty well discussed that so far in the
4 hearing.

5 Mobil has a core down in the southwest
6 portion of the field.

7 Mallon has a partial core in Section 1 of
8 25 and 2, and Mallon is now drilling a well in Section 3.
9 We're probably on the second to the last or the last core
10 now. That coring effort is being paid for by the engineer-
11 ing and geological subcommittee meeting and we hope to see
12 evidence, more evidence of matrix porosity.

13 The evidence I've seen on the core eval-
14 uations shows that there is some -- some matrix porosity.

15 Q Do you think this matrix porosity is high
16 or low as the permeability goes?

17 A I think that probably the matrix porosity
18 is on the low side and that indeed the permeability is prob-
19 ably low also.

20 We can look at the core data and as
21 brought out by Mr. Greer this morning on Mallon's well, he
22 didn't see very good relationship between the core porosi-
23 ties and the wireline log porosity measurements.

24 I would like to point out that I feel
25 that there is probably an error on the CORE Lab handout that

1 was given to Mallon whenever they paid for the analysis of
2 the core, and when they shared the information with us at
3 the geological and engineering subcommittee meetings.

4 The main error that I would like to point
5 out is that CORE Lab realized that there was a depth problem
6 between the core and how they had logged it with the wire-
7 line logs and I believe they shifted it 16 feet and it says
8 that here in the report; however, I look at it and I think
9 they should have shifted it a little bit more and exactly 6
10 more feet lower.

11 What they did was they showed where there
12 was less shale, a shale peak. They matched that against a
13 gamma ray peak showing more shale and they probably based it
14 on a little blip in the caliper. I think if you move that
15 down 6 feet you will actually see that the -- then the shale
16 corrections from the core actually match the gamma ray, and
17 then if you take the corrections and using the wireline log
18 porosity measurements and cross plot those, I think you
19 would find that the wireline logs are in more agreement with
20 the core porosities.

21 I know Mobil has done that with their
22 core and have told me in conversations that these do, if you
23 do the correct shale corrections, you do get a very close
24 estimate between the core porosity and the wireline log por-
25 osities.

1 Q Do you think the matrix can produce on
2 its own?

3 A If it was strictly a sandstone, typical
4 sandstone reservoir, no; however, I think that with the aid
5 of fractures it can produce, since the initial development
6 of the San Juan Basin, initial rapid development, I guess,
7 in the fifties is what I'm trying to say, many of the com-
8 panies realized that the sandstones and siltstones within
9 the Gallup interval contained large amounts of oil. They
10 realized that the porosities were low and permeabilities
11 were low, and so for the most part it was pretty well by-
12 passed.

13 They did try to mechanically frac the
14 wells and put a fracture into the formation in hopes of
15 draining some of this matrix porosity with the oil in there,
16 and what happens is for awhile you get a real good well and
17 then as you drain farther away from the frac, the manmade
18 frac in the wellbore, and when you do frac a well you only
19 have one -- one fracture going 180 degrees apart from each
20 other from the wellbore, you -- you drain the area close to
21 that fracture.

22 So what people do is try to find areas
23 that are naturally fractured. You get a double benefit
24 there. You have fracture porosity that's going to have oil
25 in it so you're going to get oil thataway. You're going to

1 get -- the more fractures that you have in the reservoir,
2 scattered around in these tight sands, the closer any parti-
3 cular area of the tight sand will be to a fracture, and I
4 think that in the Gavilan area, which in most areas are
5 highly fractured, some areas appear to be less fractured
6 than others, that we may only be one foot, two foot away
7 from any fractures, any of the large fractures. We don't
8 know about the microfractures, but if you're never more than
9 a foot away or two foot away from a fracture, being an opti-
10 mist, I think that these tight sands have a very good chance
11 of giving up some of that oil that's in the matrix into the
12 fractures system and then ultimately out the wellbore down
13 the sales line.

14 Q And discussing fractures, have you been
15 able to determine whether they're present and how they're
16 oriented in the Gavilan Dome area?

17 A Yes, we -- determining their presence is
18 fairly easy and that's by looking -- well, actually a lot of
19 times it's being on the rig floor when you drill through it,
20 and you can look at it from mud logs when you see rough
21 drilling indicated. But you can't really tell the orienta-
22 tion of the fractures, and on the last three wells that Mesa
23 Grande drilled we ran a fairly new log called a -- well,
24 there's -- it's called different things by -- depending on
25 which wireline company you have out there logging your well,

1 but it basically allows you do detect the fractures and de-
2 termine their orientation within the formation.

3 Q I'd now refer you to Exhbiits, I think,
4 Six and Seven, and ask you to discuss how -- these exhibits
5 and also explain how to determine fracture orientation.

6 A When we -- the oriented frac finding tool
7 that we've been running in the area is a -- is another use
8 of the dipmeter tool, which is widely used throughout the
9 industry, and what it measures on four pads that are ninety
10 degrees apart from each other are -- is micro-resistivity,
11 and the computer utilizes the signals from these four pads
12 to see if there are any differences.

13 First, in Exhibit Number Six I'd like to
14 just show hypothetically how this tool would read or not
15 read fractures in the wellbore if they were encountered.

16 We have one possibility to where there
17 could be a fracture in the reservoir or in the formation
18 that we don't see it with the tool. That is the one that's
19 running from, if we looked at it at a compass orientation,
20 from northeast to southwest. This fracture would be in the
21 wellbore and none of the four pads would see this.

22 Q Maybe you should hold it up and point it
23 out, if you would, please.

24 A That would be this particular fracture
25 right here.

1 Q And that's the line that doesn't --

2 A That's the indication of a fracture that
3 would cut the wellbore that the tool would not see because
4 pads 1, 2, 3, and 4 are not sitting on top of the fracture.

5 Okay, the easiest case is when we use
6 this data to get the orientation of the fractures, would be
7 this fracture here running, basically, in a north/south
8 direction. Pad 1 and pad 3, or it could be pad 2 and pad 4,
9 any of the pads that are 180 degrees apart from each other.
10 If both of these pads read it then they will see an anomaly
11 that pad 2 and pad 4 don't.

12 Another case would be one where the frac-
13 ture passes the wellbore, here sits the wellbore, and of
14 course in this case it's pad 1 and pad 4, or it could be any
15 of the two pads that are 90 degrees apart from each other to
16 see that. It takes a little bit more calculation either on
17 the computer or by hand to get the orientation of this frac-
18 ture and from the last fracture I talked about, but it can
19 be done.

20 And the last hypothetical case is where
21 the fracture is the one shown on the righthand side of this
22 exhibit, where it passes the wellbore and only one pad reads
23 it. In this case all we can say is that there is a fracture
24 present somewhere in the wellbore. We don't know the orien-
25 tation; however, if you get a lot of these points where you

1 only see one pad reading them, you do start to get a pattern
2 and you can then get an idea as to its orientation.

3 Q Now referring to Exhibit Seven, why don't
4 you explain that one?

5 A Okay. Exhibit Seven is a composite and
6 what's shown are two of the three wells that we ran the dip-
7 meter to along the frac finding log. The reason I didn't
8 include all three of them was because Welex ran two of the
9 logs; Schlumberger ran one, and what I'm trying to show is
10 the method of how we arrive at orientating the fractures,
11 and they're different, so I just -- I showed the Welex and
12 the Schlumberger.

13 First I'll direct your attention to a
14 Mesa Grande Well, to Bearcat No. 1. In there we ran a
15 Schlumberger log and it's called the oriented micro-resis-
16 tivity log, and what you see is each of the four pads are
17 listed on the left in the center of the log and you can see
18 them spiraling up the wellbore.

19 The pad number 1 is highlighted on the
20 log as opposed to the other four pads, by the dark nature
21 of the curve. It's also listed here on my composite log.

22 Knowing the -- the computer keeps track
23 of the orientation of this -- of the tool, and like I said,
24 as you log the well the tools rotate up the hole.

25 Knowing the orientation of pad 1 you also

1 know where pad 2 is. It's always 90 degrees away from
2 there. Pad 3 is 180 degrees from pad 1. Pad 4 is 270 de-
3 grees going along and around that compass from pad 1.

4 As we see in the Bearcat No. 1, as you
5 get down in what I've listed as the C zone on this well, you
6 see the tool, the orientation of pad 1 and actually of all
7 the pads, changing. This is because of the normal rotation
8 of the tool as it goes up the hole as you log, the tool will
9 rotate, and you can see that the tool is rotating. Then as
10 you start getting farther up the hole, basically starting at
11 about 6850, the orientation of the pad 1 is no longer nor-
12 mally, it's starting to maintain a constant direction, rota-
13 ting slowly and as you get higher up, beginning at about 68
14 -- 6810 on the log, you see that pads -- the tool has stop-
15 ped rotating and that the pads are maintaining a constant
16 compass direction and then likewise, as you get to about
17 6730, the tool starts to slowly rotate again, although not
18 fast, normal rotation again, but slow, and then as you get
19 farther up on the log here, the tool is back to its normal
20 rotation.

21 When you drill in a fractured interval,
22 the fractures cause the hole to shift from a round hole more
23 to an oval or elliptical shape in the direction of the frac-
24 ture and what happens is if you come to a large fractured
25 interval this tool can no longer rotate freely in that hole.

1 It's kind of squeezed in and it will go up -- log up the
2 hole in that same elliptical orientation as the hole is due
3 to the fractures that you penetrated.

4 Okay. I said that, back on Exhibit Six,
5 the computer reads the information coming from all four pads
6 and sees the different anomalies and on the Schlumberger
7 presentation what they do is let's look at pad number 1 and
8 where it shows pad number 1 written here, we see an area
9 that's separated and darkened in. Well, if pad 1 is seeing
10 the average of all the other pads then you have a direct
11 overlay and if pad 1 sees something than the average from
12 the other pads it kicks it out and separates it and that
13 flag, that pad is seeing something different.

14 If you go and look at pad 3 and if it's
15 seeing something different and pad 1 and pad 3 are seeing
16 the same thing, then we have an indication that there's a
17 fracture in the wellbore and that it is this case here where
18 this fracture here is running north/south and pad 1 and pad
19 3 are seeing it.

20 We see this in the interval from about
21 6735 down to about 6810, where in that interval, as I
22 pointed out earlier, that the tool was not rotating, but was
23 actually probably following the fracture plane and we see
24 here the indications are that pads 2 and pads 4 are seeing
25 the fracture. Pad 1 and pad 3 are not, because of the sep-

1 aration on the curves as the computer has shown us.

2 Since we know the orientation of pad 1,
3 the computer keeps track of that for us, we know that pad 2
4 is 90 degrees from that; pad 4 is 270 degrees away from
5 that, so later I will show how you plot that up and deter-
6 mine the orientation of the fractures.

7 I would like to now go over to the other
8 composite log. This is Mesa Grande Resources well, the
9 Marauder No. 1.

10 Welex logged this well and their log is
11 called a 4-arm dip fracture profile.

12 MR. STAMETS: Mr. Lopez, could
13 I inquire at this point how much more testimony we have from
14 this witness?

15 MR. LOPEZ: Half an hour max;
16 20 minutes.

17 MR. STAMETS: Much as I hate to
18 interrupt, Mr. Kelley does have some obligations to leave
19 and so I believe we're going to break at this point and then
20 we will resume in the morning in Room 337 of the Roundhouse
21 at 8:30.

22 So we will recess the hearing
23 until that time.

24

25 (Thereupon the evening recess was taken
at 5:00 o'clock p.m.)

1
2 (Thereafter at the hour of 8:30 o'clock a.m.
3 on the 22nd day of August, 1986, the hearing
4 was again called to order in the Committee
5 Room Number 337, New Mexico Capitol Building,
6 Santa Fe, New Mexico, at which time and place
7 the following proceedings were had, to-wit:)

8
9 MR. STAMETS: The hearing will
10 please come to order.

11 When we recessed last night Mr.
12 Emmendorfer was in the middle of his testimony.

13 You may resume when ready.
14

15 ALAN P. EMMENDORFER,
16 resuming the witness chair and remaining under oath,
17 testified as follows, to-wit:
18

19 DIRECT EXAMINATION CONT'D

20 BY MR. LOPEZ:

21 Q Well, maybe we both can help each other
22 pick up where we left off.

23 I think you were describing Exhibit
24 Number Seven, which was the Welex and Schlumberger logs and
25 how these logs help identify fracture orientation as you had

1 described it in the process of your other exhibits.

2 So maybe you could pick up where you
3 left off. I think you had completed discussing, as I re-
4 call, the Schlumberger log and now we're discussing the
5 Welex log.

6 A Okay. Well, Mr. Commissioner, if I
7 might, I'd might just review (not clearly understood) what
8 I've said so far in my testimony and what I pointed out was
9 we have very steeply dipping monocline over here to the east
10 in 25 -- centered in 25, 1 West, and we have a slow, gently
11 dipping structural dome here centered in 25, 2, and the
12 structural cross section shows this very well. You have,
13 again you see the very steeply dipping monocline which is
14 where the historical Canada Ojitos Unit production has oc-
15 curred; the trough that is outlined here on the structure
16 map separating the two structural entities; and then you
17 have again the low dome of the Gavilan Dome with very low
18 structural dips.

19 Then I pointed that if we look back on
20 Exhibit Number Two, the pool boundary of the Gavilan-Pic-
21 tured Cliffs Pool, gas pool, the pool boundary ends and pro-
22 duction stops right when we get to this trough as outlined
23 on the structure map.

24 Likewise on the Point Lookout Isopach we
25 saw the development of a good example of development of a

1 bar, an offshore sand bar, and as you approach that same
2 trough between the two structural features, we see that per-
3 pendicular to the bar you have evidence that porosity of
4 this bar decreases rapidly as you approach this trough.

5 I also pointed out that the Gavilan-
6 Greenhorn-Graneros-Dakota Gas or Oil Pool, we do -- the pool
7 boundary stops at the boundary between Township 25 North, 1
8 West, and Township 25 North, 2 West, and that we have, we do
9 have Dakota production established over here on the dome and
10 there is no production, there has been drilling through the
11 Dakota but no production on the monocline.

12 Then I started discussing the ways to de-
13 tect fractures in the wellbore and their orientations.

14 If I may, I'll continue then on that.

15 Yesterday I talked about Schlumberger's
16 log on the Mesa Grande Resources Bearcat No. 1.

17 We next go to the Mesa Grande Resources
18 Marauder No. 1. The two companies use the same dipmeter
19 tool. Their software packages to analyze it are slightly
20 different.

21 Welex shows the raw data just as -- well,
22 Welex shows the raw data.

23 The Schlumberger goes one step farther.
24 It's strictly a software program to give the computer. The
25 computer then reads everything and shows us the orientation