

CASE 9002: Application of Zia Energy, Inc. for a non-standard gas proration unit, unorthodox gas well location, and simultaneous dedication, Lea County, New Mexico. Applicant, in the above-styled cause, seeks approval of a 240-acre non-standard gas spacing and proration unit comprising the E/2 NW/4, SW/4 NW/4, N/2 SW/4, and SE/4 SW/4 of Section 20, Township 22 South, Range 36 East, Jalmat Gas Pool, to be simultaneously dedicated to its Cities Federal Well No. 3 located at an unorthodox gas well location 330 feet from the North line and 2310 from the West line (Unit C) of said Section 20 and to its Cities Federal Well No. 4 located at a standard location 1650 feet from the North line and 2310 feet from the West line (Unit F) of said Section 20.

CASE 9003: Application of Pennzoil Company for an unorthodox oil well location and simultaneous dedication, Lea County, New Mexico. Applicant, in the above-styled cause, seeks approval of an unorthodox oil well location 150 feet from the South line and 1980 feet from the East line of Section 4, Township 17 South, Range 37 East, Shipp-Strawn Pool, and the simultaneous dedication of the W/2 SE/4 of said Section 4 to the well and to the existing Vierson Well No. 2 located in Unit O.

CASE 9004: In the matter of the hearing called by the Oil Conservation Division on its own motion for an order creating and extending certain pools in Eddy County, New Mexico:

- (a) CREATE a new pool in Eddy County, New Mexico, classified as an oil pool for San Andres production and designated as the Espuela-San Andres Pool. The discovery well is the RPM Energy, Inc., State Well No. 1, located in Unit I of Section 16, Township 16 South, Range 26 East, NMPM. Said pool would comprise:

TOWNSHIP 16 SOUTH, RANGE 26 EAST, NMPM

Section 16: SE/4

Section 21: N/2 and SW/4

- (b) CREATE a new pool in Eddy County, New Mexico, classified as an oil pool for Bone Spring production and designated as the East Palmillo-Bone Spring Pool. The discovery well is the Moroilco, Inc., Hamon State Well No. 1, located in Unit L of Section 5, Township 19 South, Range 29 East, NMPM. Said pool would comprise:

TOWNSHIP 19 SOUTH, RANGE 29 EAST, NMPM

Section 5: SW/4

- (c) CREATE a new pool in Eddy County, New Mexico, classified as a gas pool for Atoka production and designated as the Rustler Bluff-Atoka Gas Pool. The discovery well is the HNG Oil Co., Gulf Federal Well No. 1, located in Unit H of Section 5, Township 25 South, Range 29 East, NMPM. Said pool would comprise:

TOWNSHIP 25 SOUTH, RANGE 29 EAST, NMPM

Section 5: E/2

- (d) CREATE a new pool in Eddy County, New Mexico, classified as an oil pool for Strawn production and designated as the North Turkey Track-Strawn Pool. The discovery well is the Hondo Drilling Co., Alscott Federal Well No. 3, located in Unit O of Section 31, Township 18 South, Range 29 East, NMPM. Said pool would comprise:

TOWNSHIP 18 SOUTH, RANGE 29 EAST, NMPM

Section 31: SE/4

- (e) EXTEND the South Loving-Delaware Pool in Eddy County, New Mexico, to include therein:

TOWNSHIP 23 SOUTH, RANGE 28 EAST, NMPM

Section 20: N/2

- (f) EXTEND the Owen Mesa-Atoka Gas Pool in Eddy County, New Mexico, to include therein:

TOWNSHIP 24 SOUTH, RANGE 29 EAST, NMPM

Section 25: W/2

- (g) EXTEND the Salt Draw-Atoka Gas Pool in Eddy County, New Mexico, to include therein:

TOWNSHIP 24 SOUTH, RANGE 28 EAST, NMPM

Section 27: All

- (h) EXTEND the Sheep Draw-Strawn Gas Pool in Eddy County, New Mexico, to include therein:

TOWNSHIP 23 SOUTH, RANGE 25 EAST, NMPM

Section 11: All

Dockets Nos. 31-86 and 32-86 are tentatively set for October 22 and November 5, 1986. Applications for hearing must be filed at least 22 days in advance of hearing date.

DOCKET: EXAMINER HEARING - WEDNESDAY - OCTOBER 8, 1986
8:15 A.M. - OIL CONSERVATION DIVISION CONFERENCE ROOM,
STATE LAND OFFICE BUILDING, SANTA FE, NEW MEXICO

The following cases will be heard before Michael E. Stogner, Examiner, or David R. Catanach, Alternate Examiner:

- ALLOWABLE: (1) Consideration of the allowable production of gas for November, 1986, from fifteen prorated pools in Lea, Eddy, and Chaves Counties, New Mexico.
- (2) Consideration of the allowable production of gas for November, 1986, from four prorated pools in San Juan, Rio Arriba, and Sandoval Counties, New Mexico.

CASE 8983: (Continued from September 17, 1986, Examiner Hearing)

In the matter of the hearing called by the Oil Conservation Division on its own motion to permit Oil Processing Inc., the Travelers, and all other interested parties to appear and show cause why Oil Processing's authority under Division Order No. R-6053 to operate an oil treating plant located in the NE/4 SE/4 of Section 8, Township 20 South, Range 37 East, Lea County, should not be cancelled and why the site of such plant should not be reclaimed in a timely manner and to specifications authorized by the OCD.

CASE 8997: In the matter of the hearing called by the Oil Conservation Division on its own motion to permit Oilfield Services and all other interested parties to appear and show cause why Oilfield Services' authority under Division Order No. R-8237 to operate an oil treating plant located in the SE/4 NW/4 of Section 33, Township 29 North, Range 11 West, San Juan County, should not be cancelled and why the site of such plant should not be reclaimed in a timely manner and to specifications authorized by the OCD.

CASE 8998: Application of Amoco Production Company for a unit agreement, Rio Arriba County, New Mexico. Applicant, in the above-styled cause, seeks approval of the Bear Canyon Unit Area comprising 4,800.00 acres, more or less, of Federal and Fee lands in Township 26 North, Range 2 West.

CASE 8999: Application of V. H. Westbrook for Hardship Gas Well Classification, Chaves County, New Mexico. Applicant, in the above-styled cause, seeks a determination that his Kinahan Federal Well No. 1 located 660 feet from the South line and 1980 feet from the East line (Unit O) of Section 20, Township 15 South, Range 30 East, West Cedar Point-Wolfcamp Gas Pool is a hardship gas well which should be granted priority access to pipeline takes in order to avoid waste.

CASE 8984: (Continued from September 17, 1986, Examiner Hearing)

Application of H. E. Prince Construction and Petroleum for salt water disposal, Chaves County, New Mexico. Applicant, in the above-styled cause, seeks authority to dispose of produced salt water into the Linda-San Andres Pool in the open-hole interval from approximately 1019 feet to 1071 feet in its Federal Well No. 11 located 1650 feet from the South line and 2310 feet from the West line (Unit K) of Section 33, Township 6 South, Range 26 East.

CASE 9000: Application of Lynx Petroleum Company for a non-standard oil proration unit and an unorthodox oil well location, Lea County, New Mexico. Applicant, in the above-styled cause, seeks approval of a 40-acre non-standard oil spacing and proration unit comprising the NE/4 SE/4 (Unit I) of Section 20, Township 17 South, Range 35 East, North Vacuum-Abo Pool, to be dedicated to a well to be drilled at an unorthodox oil well location 1980 feet from the South line and 660 feet from the East line.

CASE 9001: Application of HNG Oil Company for compulsory pooling, Eddy County, New Mexico. Applicant, in the above-styled cause, seeks an order pooling all mineral interests in the Malaga-Atoka Pool and the Strawn formation underlying the S/2 of Section 7, Township 24 South, Range 29 East, forming a standard 320-acre gas spacing and proration unit to be dedicated to a well to be drilled at a standard location thereon. Also to be considered will be the cost of drilling and completing said well and the allocation of the cost thereof as well as actual operating costs and charges for supervision, designation of applicant as operator of the well and a charge for risk involved in drilling said well.

CASE 8993: (Continued from September 17, 1986, Examiner Hearing)

Application of Texaco, Inc. for an unorthodox oil well location, Lea County, New Mexico. Applicant, in the above-styled cause, seeks approval of an unorthodox oil well location for its proposed Lovington Lumpkin 20 Well No. 2 to be drilled 1470 feet from the South line and 150 feet from the East line of Section 20, Township 16 South, Range 37 East, Northeast Lovington-Pennsylvanian Pool, the N/2 SE/4 of said Section 20 to be dedicated to the well.

1 STATE OF NEW MEXICO
2 ENERGY AND MINERALS DEPARTMENT
3 OIL CONSERVATION DIVISION
4 STATE LAND OFFICE BLDG.
5 SANTA FE, NEW MEXICO

6 21 November 1986

7 COMMISSION HEARING

8 IN THE MATTER OF:

9 Application of Pennzoil Company for CASE
10 an unorthodox oil well location and 9003
11 simultaneous dedication, Lea County,
12 New Mexico.

13 BEFORE: Richard L. Stamets, Chairman
14 Ed Kelley, Commissioner

15 TRANSCRIPT OF HEARING

16 A P P E A R A N C E S

17
18
19
20
21 For the Division: Jeff Taylor
22 Attorney at Law
23 Legal Counsel to the Division
24 State Land Office Bldg.
25 Santa Fe, New Mexico 87501

For Pennzoil Company: W. Thomas Kellahin
Attorney at Law
KELLAHIN & KELLAHIN
P. O. Box 2265
Santa Fe, New Mexico 87501

A P P E A R A N C E S

For Exxon:

James G. Bruce
Attorney at Law
HINKLE LAW FIRM
P. O. Box 2268
Santa Fe, New Mexico 87501

For Fasken:

Ernest L. Padilla
Attorney at Law
PADILLA & SNYDER
P. O. Box 2523
Santa Fe, New Mexico 87501

For Phillips Petroleum:

Peter N. Ives
Attorney at Law
CAMPBELL & BLACK P.A.
P. O. Box 2208
Santa Fe, New Mexico 87501

I N D E X

STATEMENT BY MR. KELLAHIN

8

GREGORY L. HAIR

Direct Examination by Mr. Kellahin	9
Cross Examination by Mr. Stamets	26
Cross Examination by Mr. Padilla	28
Cross Examination by Mr. Bruce	35
Cross Examination by Mr. Ives	45
Recross Examination by Mr. Stamets	54
Redirect Examination by Mr. Kellahin	57
Continued Redirect Examination by Mr. Kellahin	60
Recross Examination by Mr. Bruce	61
Recross Examination by Mr. Padilla	62

PAUL L. BRUCE

Direct Examination by Mr. Kellahin	65
Cross Examination by Mr. Padilla	77
Cross Examination by Mr. Bruce	80
Cross Examination by Mr. Ives	91
Cross Examination by Mr. Stamets	95

I N D E X

JAMES GROCE

Direct Examination by Mr. Padilla	97
Cross Examination by Mr. Stamets	105
Cross Examination by Mr. Kellahin	110

WILLIAM T. DUNCAN, JR.

Direct Examination by Mr. Bruce	117
Cross Examination by Mr. Kellahin	120

DAVID ANDREWS

Direct Examination by Mr. Bruce	122
Cross Examination by Mr. Stamets	134
Cross Examination by Mr. Kellahin	139
Recross Examination by Mr. Stamets	144
Redirect Examination by Mr. Bruce	145

WILLIAM J. MUELLER

Direct Examination by Mr. Ives	146
Cross Examination by Mr. Kellahin	149
Cross Examination by Mr. Kelley	150
Cross Examination by Mr. Bruce	151

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

PAUL L. BRUCE RECALLED

Redirect Examination by Mr. Kellahin	152
Recross Examination by Mr. Bruce	154

GREGORY L. HAIR RECALLED

Redirect Examination by Mr. Kellahin	154
Recross Examination by Mr. Stamets	157
Recross Examination by Mr. Bruce	157

STATEMENT BY MR. PADILLA	158
STATEMENT BY MR. BRUCE	161
STATEMENT BY MR. IVES	166
STATEMENT BY MR. KELLAHIN	167

E X H I B I T S

Pennzoil Exhibit One, Isopach	10
Pennzoil Exhibit Two, Survey Plat	20
Pennzoil Exhibit Three, BHP Data	73
Pennzoil Exhibit Four, BHP Data	74
Pennzoil Exhibit Five, BHP Data	74

E X H I B I T S

Fasken Exhibit One, Memo	98
Exxon Exhibit One, Plat	123
Exxon Exhibit One-A, Page 31	60
Exxon Exhibit One-B, Calculations	119
Exxon Exhibit Two Porosity Map	124
Exxon Exhibit Two-A, Structure Map	126
Exxon Exhibit Three, Plot	129
Exxon Exhibit Four, Calculations	130
Exxon Exhibit Five, Calculations	130

1
2 MR. STAMETS: We'll call last
3 Case 9003.

4 MR. TAYLOR: The application of
5 Pennzoil Company for an unorthodox oil well location and
6 simultaneous dedication, Lea County, New Mexico.

7 MR. STAMETS: Call for appear-
8 ances.

9 MR. KELLAHIN: Mr. Chairman,
10 I'm Tom Kellahin of Santa Fe, New Mexico, appearing on be-
11 half of the applicant, Pennzoil Company.

12 I have two witnesses to be
13 sworn.

14 MR. STAMETS: Other appear-
15 ances?

16 MR. PADILLA: Mr. Chairman, Er-
17 nest Padilla, Santa Fe, New Mexico, for Barbara Fasken.

18 MR. BRUCE: Mr. Chairman, Jim
19 Bruce of the Hinkle Law Firm, representing Exxon Corpora-
20 tion.

21 MR. IVES: Mr. Chairman, Peter
22 Ives with Campbell & Black, representing Phillips Petroleum
23 Company.

24 MR. ROGERS: Mr. Chairman, I'm
25 James Rogers with Hanley Petroleum, Inc., and we're a part-

1 ner with Exxon in the New Mexico "EX" State lease, and I
2 have a letter here. The engineering staff and management of
3 Hanley Petroleum, Inc., are in support of Exxon's -- Exxon
4 Company's position with regard to this case, and I'd like to
5 submit this letter to you, please, sir.

6 MR. STAMETS: Okay.

7 Any other appearances?

8 How many witnesses are we going
9 to have in this case?

10 MR. BRUCE: I have one, Mr.
11 Chairman.

12 MR. STAMETS: Why don't we have
13 all those who will be or expect to be or may be witnesses in
14 this case stand and be sworn at this time, please?

15
16 (Witnesses sworn.)
17

18 MR. KELLAHIN: Mr. Chairman, as
19 a preliminary matter, I would submit to you my affidavit
20 showing that we have mailed a copy of the application,
21 identifying the parties that we find to have been affected
22 by this application, and I will submit that for purposes of
23 the record.

24 Those worked real well, Mr.
25 Chairman. We got most of them here today.

1
2 GREGORY L. HAIR,
3 being called as a witness and being duly sworn upon his
4 oath, testified as follows, to-wit:
5

6 DIRECT EXAMINATION

7 BY MR. KELLAHIN:

8 Q Mr. Hair, for the record would you please
9 state your name and occupation?

10 A My name is Gregory L. Hair and I'm Dis-
11 trict Geologist for Pennzoil Company in Midland, Texas.

12 Q Mr. Hair, would you describe your profes-
13 sional experience and degrees and employment as a petroleum
14 geologist?

15 A Yes, sir. I got a Bachelor of Science
16 degree from Illinois State University in 1974; Master of
17 Science from the University of Texas at El Paso in geology
18 in 1977.

19 Went to work for Pennzoil Company in
20 Houston, Texas, in 1976 as a developmetn geologist.

21 Became an exploration geologist in 1977.

22 Was transferred to Midland, Texas in
23 1979.

24 Since then I've been working Oklahoma,
25 West Texas, southeast New Mexico. My primary area of res-

1 possibility is the Lovington Strawn play; has been for 7-1/2
2 years.

3 Q Pursuant to your employment, what has
4 been your involvement in the Shipp-Strawn Field that is the
5 subject of this application?

6 A I have been the primary geologist for
7 Pennzoil on the Shipp-Strawn play since before the first
8 well was drilled. I was in on the play from the inception.
9 I have participated in every well that Pennzoil has drilled.
10 We have been on every well in the field and done all
11 the office work, also.

12 Q Referring to Exhibit Number One, would
13 you identify for us what the discovery well was?

14 A The discovery well on Exhibit Number One
15 was the Pennzoil No. 1 Viersen. It is the well located in
16 the east half of the southeast quarter of Section 4 and it's
17 marked with 74 feet, just for reference.

18 Q And were you involved in that discovery
19 well?

20 A Yes, I was.

21 Q How many wells does Phillips -- does
22 Pennzoil operate in the pool?

23 A Currently we have three wells producing
24 and one pending.

25 Q Have you prepared certain exhibits and

1 testimony for presentation on behalf of Pennzoil in the ap-
2 plication today?

3 A Yes, I have.

4 MR. KELLAHIN: We tender Mr.
5 Hair as an expert petroleum geologist.

6 MR. STAMETS: He is considered
7 qualified.

8 Q Mr. Hair, let's have you orient us, if
9 you will, for a moment by taking Exhibit Number One and ex-
10 plain to the Commission generally where the various opera-
11 tors that have appeared in today's hearing have interests,
12 and let's start with the Phillips interest.

13 A As I understand it, Phillips Petroleum
14 has interest in the -- it would be the east half of the
15 southwest quarter, and it would be more specifically the
16 southeast of the southwest, southeast quarter of the south-
17 west quarter.

18 Q In looking at the plat I see a dry hole
19 on the acreage that you've identified as belonging to Phil-
20 lips Petroleum Company. Can you generally describe in a
21 summary fashion, Mr. Hair, what your knowledge is of that
22 well?

23 A That was the first well drilled -- well,
24 the second well drilled on this immediate map. It's the
25 Tipperary No. 1 John State. It was drilled prior to the

1 discovery of the No. 1 Viersen, and it is a dry hole in the
2 straw.

3 Q To your knowledge, Mr. Hair, has Phillips
4 Petroleum Company sought from the Division an unorthodox
5 well location for a well to be drilled on the tract that
6 you've identified?

7 A Yes, they have. They sought -- or made
8 an application for an unorthodox well location 2500 feet
9 from the west line, 330 feet from the south line of Section
10 4.

11 MR. STAMETS: What was that,
12 now, 20 --

13 A 2400 from the west line.

14 MR. STAMETS: Uh-huh.

15 A 330 from the south line.

16 MR. STAMETS: Well, while
17 you're sitting there, why don't you mark --

18 A Mark it on there?

19 MR. STAMETS: -- where you ex-
20 pect that to be on that map?

21 Q Mr. Hair, I've shown you the original of
22 Exhibit Number One, the Commission's copy, and I ask you to
23 locate in red, sir, the approximate location of the proposed
24 Phillips unorthodox location.

25 MR. STAMETS: And I presume

1 that this was the subject of a recent hearing?

2 MR. KELLAHIN: Yes, sir, it was
3 the hearing on Wednesday in Case 9036.

4 MR. STAMETS: Just this last
5 Wednesday.

6 MR. KELLAHIN: Yes, sir.

7 A I've marked on the plat in a red circle
8 what I believe to be the approximate location, obviously,
9 it's not measured precisely.

10 Q Let's describe that location in terms of
11 its distance from the Pennzoil proration and spacing unit.

12 A I believe it's 140 feet from the Pennzoil
13 acreage.

14 Q All right, and when we look at the Penn-
15 zoil acreage, that's identified as the west half of the
16 southeast quarter?

17 A That's correct.

18 Q And the Phillips location then is 140
19 feet, approximately, from that common boundary?

20 A That's correct.

21 Q All right, sir, and as we move, then, to
22 the south boundary of the Phillips tract, approximately how
23 far is that unorthodox well location from the south bound-
24 ary?

25 A 330 feet.

1 Q All right. Moving counterclockwise
2 around the exhibit there is a tract to the south that has a
3 well spot on it indicated on this exhibit. Would you de-
4 scribe that well and the ownership?

5 A That well is a recently drilled well.
6 It's the Barbara Fasken No. 3 Consolidated State.

7 To explain the well spot there, the black
8 circle is the surface location of the well. The dotted line
9 and the X indicate deviation and the bottom hole location of
10 that well.

11 Q Can you tell us, Mr. Hair, what the ap-
12 proximate distance is of the bottom hole location of the
13 Fasken well to the northern boundary of that spacing unit?

14 A I believe it's approximately 510 feet.

15 MR. STAMETS: As we go through
16 these wells it might be well to refer to the tract numbers
17 where they're shown, that we can make reference to --

18 MR. KELLAHIN: Okay.

19 MR. STAMETS: -- at a later
20 time.

21 A All right, very good. This well, of
22 course, is in Tract 3, the well we've been talking about.

23 MR. STAMETS: Oh, great. I
24 would have said that was the southwest and not south and I
25 wrote all this good stuff on Tract 2. You'll just have to

1 wait a minute here while I bring everything up to date?

2 MR. KELLAHIN: Do you want a
3 new copy?

4 MR. STAMETS: No, I imagine the
5 record will already show the screwup so the map will be
6 fine.

7 A Okay.

8 Q All right, and we left off with the ap-
9 proximate bottom hole location of the Fasken Well on Tract
10 No. 3, and that distance was approximately what?

11 A 510 feet.

12 Q All right. As we move now, continuing
13 counterclockwise, into Tract 2, the adjoining spacing unit
14 to the east, would you identify that well and the operator
15 of that well?

16 A That well is the Exxon No. 2 "EX" State.

17 Q And the spacing unit for that well is
18 what, Mr. Hair?

19 A It is the west half of the northeast
20 quarter of Section 9.

21 Q On this well you have shown the surface
22 location with the black dot?

23 A That's correct, and the bottom hole loca-
24 tion again is marked with an X.

25 Q What is the approximate distance of the

1 bottom hole location of that well to the northern boundary
2 of that tract?

3 A We believe it to be approximately 150
4 feet.

5 Q When we look at the north boundary of the
6 Exxon tract, that is the common boundary with the Pennzoil
7 tract?

8 A That is correct.

9 Q All right, sir, now looking at Tract No.
10 1, the Pennzoil tract, would you identify for us what is
11 indicated by the circle that is not colored in? It's the --
12 it's not a black circle. It's an open circle.

13 A Yeah, that is Pennzoil's current proposed
14 location in this hearing.

15 Q The requested surface location for this
16 case places this well at what distance from the common
17 boundary line between the Exxon property and the Pennzoil
18 property on the surface?

19 A 150 feet.

20 Q All right, and what is the surface
21 location then of the Pennzoil well in relation to the
22 Phillips tract to the west of the Pennzoil tract?

23 A It will be 660 feet from the Phillips
24 tract.

25 Q All right. You've testified before the

1 Division before, Mr. Hair, as a petroleum geologist, with
2 regards to this particular pool, have you not?

3 A Yes, I have.

4 Q Would you describe for us what has been
5 the history of development and your geologic explanation to
6 describe the pool and the development of this pool?

7 A The pool was initially discovered by the
8 Pennzoil No. 1 Viersen, as I've stated previously. It's in
9 the east half of the southeast quarter of Section 4. Date
10 of first production on the Viersen No. 1 was August of '85.

11 Subsequent drilling was the Tipperary No.
12 1 State 4. This well is the well in the northeast quarter
13 of hte northwest quarter. It's marked with 84 feet on my
14 map.

15 The first date of production on that well
16 was November of '85.

17 This was followed by the Pennzoil Viersen
18 No. 2. The Viersen No. 2 is in the west half of the
19 southeast quarter of Section 4.

20 That well's date of first production was
21 December of '85.

22 The next well was the Pennzoil No. 1
23 Shipp. It is the well in the southwest quarter of the
24 northeast quarter of Section 4. It's marked with 77.

25 That well also began production in

1 December of '85.

2 The next well drilled was the Tipperary
3 No. 2-4 State. It is the well in the southeast quarter of
4 the northwest quarter of Section 4. It's marked with 127
5 feet.

6 Date of first production was January of
7 '86.

8 The next well drilled was the Exxon No. 2
9 "EX" State. It is the well in Tract No. 2, and it's date of
10 first production was February of '86.

11 The most recent well is the Barbara Fas-
12 ken Consolidated State. It's in Tract No. 3 and I believe
13 the date of first production was August but I am not posi-
14 tive of that; August of this year.

15 Q You have testified in the hearings that
16 established and developed the special pool rules for this
17 Shipp-Strawn Pool?

18 A Yes, I have.

19 Q Would you refresh the Commission's memory
20 on what the spacing and well location pattern is for stand-
21 ard well locations?

22 A Yes. The standard spacing unit in this
23 field is 80 acres. The standard location is 150 feet from
24 the center of a governmental quarter quarter section.

25 Q With regards to the Exxon well in Tract

1 No. 2, is that well subject to any penalty in terms of its
2 location or its allowable?

3 A No, it's not.

4 Q Would you describe now, Mr. Hair, the
5 geology of the Shipp-Strawn reservoir and the significance
6 of the Isopach as you have displayed it before us on Exhibit
7 Number One?

8 A Production in the Shipp-Strawn is from
9 the Strawn limestone. We believe these to be primarily al-
10 gal mounds, of small pods of porosity, which are discrete
11 from each other, as shown on my map. You can see I've got
12 several pods defined there. They vary in size considerably,
13 as you can see here. We feel, I would think, an average
14 size would be on the order of 80 acres. That seems to work
15 well in this area.

16 There's one exception to that and I will
17 point that out later, but they seem to operate independently
18 of each other.

19 Q When we look at the Exxon well in the pod
20 you have identified on Exhibit Number One, in the absence of
21 any other well, and let's assume the Fasken well is not
22 there, in the absence of any other well, is the Exxon well
23 geologically situated so that it can drain the entire pod?

24 A Yes, I believe it is.

25 Q What has prompted Pennzoil to seek its

1 application before the Commission today with regards to its
2 proposed well in this pod?

3 A Our purpose here is strictly an issue of
4 correlative rights. We feel that we have a well which is
5 within 150 feet of our lease line. We are asking for an
6 opportunity to drill a like well at risk to find or to
7 encounter the same pod and drain hydrocarbons which may
8 occur on our acreage.

9 Q In the absence of that approval, Mr.
10 Hair, what can Pennzoil do in order to protect its
11 correlative rights and obtain its share of the reservoir?

12 A At this point, unless we're allowed to
13 drill a well, nothing, that I'm aware of.

14 Q Let me direct you now, sir, to Exhibit
15 Number Two and discuss with you the information available on
16 the bottom hole location of the Exxon well.

17 All right, sir, would you describe for
18 us, identify and describe for us, Exhibit Number Two?

19 A Exhibit Number Two is a grid showing the
20 mapped view of the deviation of the Exxon well, as we know
21 it. We obtained information from Exxon consisting of a
22 multishot survey, I believe to 9800 feet in the well, and a
23 dipmeter survey which ties into that multishot, which covers
24 the bottom portion of the hole.

25 From that we constructed what we feel is

1 the bottom hole location. It is platted here in reference
2 to the section lines. You can see a heavy line through the
3 middle near the top of the page with Section 4, Section 9,
4 on either side of it. That is the section line boundary.

5 And all of the parameters of the devia-
6 tion are self-explanatory, I believe, on the -- on the plat.

7 Q Have you satisfied yourself, Mr. Hair, as
8 a geologist that the information that you examined from
9 which you prepared Exhibit Number Two is reliable?

10 A Yes, I believe it is.

11 Q Is it a commonly used information by geo-
12 logists in your profession to determine bottom hole loca-
13 tion?

14 A Yes, it is.

15 Q Let's go back to Exhibit Number One, now,
16 and talk about the purpose to which you have put the Iso-
17 pach, and let me ask you, sir, in constructing the Isopach
18 have you used the surface location of the Fasken well and
19 the Exxon well?

20 A No, I have not. On the pod which con-
21 tains the Exxon well and the Fasken well I have used the
22 bottom hole locations for contouring primarily because those
23 are the two wells in this field where I have good bottom
24 hole location information.

25 Q So you've adjusted your Isopach to show

1 what you understand the reservoir's orientation and location
2 to be underground.

3 A That's correct.

4 Q What purpose have you utilized Exhibit
5 Number One for, Mr. Hair?

6 A This exhibit was prepared primarily for
7 our use in determining whether a well drilled on the south
8 half of our tract would be an economical well, whether there
9 was, you know, any purpose in our drilling it.

10 It is primarily to display what I believe
11 to be an interpretation -- reasonable interpretation of the
12 reservoir.

13 It does not necessarily, it does not ab-
14 solutely define the productive limits of the reservoir. I
15 have no way of knowing what the productive limits of that
16 reservoir are. There are no data available to my knowledge
17 which define the limits of that reservoir.

18 Q In light of the fact that the Exxon well
19 is at a bottom hole location only 150 feet from the common
20 line, is the Viersen No. 2 Well on your 80-acre spacing unit
21 to the north, is that well in a position where it can ade-
22 quately and effectively protect the Pennzoil acreage from
23 drainage by the Exxon well?

24 A We don't believe so. We -- our informa-
25 tion on the Viersen No. 2 Well is the anomalous well in the

1 field. It is in a very, very small porosity pod. Our data
2 indicates it to cover approximately 10 acres and no more.
3 The well is nearing depletion. It has made somewhere in the
4 range of 70-to-75,000 barrels. It's down in the range of
5 20-to-30 barrels a day on a pump currently.

6 As far as we know right now the Exxon
7 well is still flowing, has much better pressure than that
8 and is not in communication with the Viersen No. 2.

9 Q When we talk about the Exxon well, appro-
10 ximately what producing rates has that well experienced?

11 A I believe much of its life has been at
12 full allowable, which I believe is 445 barrels a day. I do
13 not know what it is currently making. I've -- hearsay says
14 300 but that is strictly hearsay.

15 Q And approximately how many barrels of oil
16 do you understand the Exxon well to have produced?

17 A Again I'm not positive of the exact fig-
18 ure. I believe it could be in the range of 100,000 barrels,
19 85.

20 Q If the Phillips well is drilled as pro-
21 posed in Tract No. 4, how best can Pennzoil protect itself
22 by drainage by that well?

23 A Our best solution to that drainage from
24 that well is to impose a penalty on the Phillips well. We
25 feel a penalty there is justified and the fact that they are

1 not being drained by a well that is too close to their ac-
2 reage, that they have no severe drainage situation they're
3 encountering; all of the wells are standard in relation to
4 their location, in relation to their acreage; and they have
5 no one encroaching upon them, and we do not intend to en-
6 croach upon them, either. 660 feet from the center of the
7 section is a standard location along that direction.

8 Q In the absence of a penalty on the Phil-
9 lips location, and should Pennzoil out of necessity have to
10 locate its proposed well 140 feet off of the common line
11 with Phillips, then would you be in a position to protect
12 yourself from drainage by the Exxon well?

13 A No, absolutely not. Then we have a well
14 150 feet from our south boundary which encroaches on us. We
15 do not feel there's an adequate location, possibly in the
16 very corner of the section, where we could drill a well that
17 would protect from both, but again you have one well trying
18 to compete with two and it doesn't work that way.

19 Q So in order to protect Pennzoil's correl-
20 ative rights you have sought a combination of two things,
21 the approval of the proposed unorthodox location so that you
22 can fairly compete with the Exxon well?

23 A That's correct.

24 Q And a penalty on the Phillips location so
25 that they will not be producing at such a rate that they

1 will drain oil off of your tract.

2 A That's correct.

3 Q Based upon your extensive knowledge of
4 the geology of this reservoir, Mr. Hair, do you see any geo-
5 logic factors that would preclude the Exxon well from drain-
6 ing the Pennzoil acreage?

7 A No, there are none that I'm aware of.

8 Q In your opinion, Mr. Hair, will approval
9 of the proposed Pennzoil application have an adverse effect
10 upon the Exxon correlative rights?

11 A No, I don't believe so. I believe their
12 well is still capable of draining their acreage.

13 Q If the Pennzoil location is approved
14 without a penalty, will you, in your opinion, have any ad-
15 verse effects on the correlative rights of Phillips?

16 A Not that I'm aware of. We are a standard
17 location away from them in that direction and I don't under-
18 stand that we would have any adverse effect.

19 Q And finally, will approval of the Penn-
20 zoil application without a penalty have any adverse effects
21 on the correlative rights of the Fasken tract?

22 A No, it is far removed from the Fasken
23 tract and I can't see it would have any.

24 Q In your opinion, then, Mr. Hair, will ap-
25 proval of this application be in the best interest of con-

1 servation and the protection of correlative rights?

2 A Yes, I think it will.

3 MR. KELLAHIN: That concludes
4 my examination of Mr. Hair.

5 We move for the introduction of
6 Exhibits One and Two.

7 MR. STAMETS: Without objection
8 the exhibits will be admitted.

9

10 CROSS EXAMINATION

11 BY MR. STAMETS:

12 Q Mr. Hair, how have you determined the
13 size of these pods?

14 A In pods where we have wells we do it
15 primarily from production history and pressure decline.

16 In the Exxon and Fasken it is strictly
17 modeled after other pods that we know of. We have no
18 pressure information or production decline information at
19 all.

20 Q So is it conceivable that in your
21 discovery well, that that pod is headed off the other
22 direction? You've just flipped your contours over?

23 A We have used as an exploration tool in
24 this area seismic. It has been very valuable for us. Our
25 seismic data tells us that the pod is not oriented that way;

1 that it is the way we show it here.

2 That is what the discovery well was
3 drilled upon, that very same seismic data, and it was
4 successful.

5 Q Well, has that seismic data been used in
6 drawing these other pods as well?

7 A In the ones where we have definitive
8 data, yes. The Viersen No. 1 mound we have very good data.
9 The Shipp mound, if I will, the one to the north, we have a
10 little bit less data. We have very good data over the
11 Viersen 2, and again we have less data over the Exxon and
12 Fasken wells.

13 Q Okay, is it conceivable that -- that that
14 pod is larger to the south than you've shown it?

15 A Oh, I think it's very conceivable.
16 Again, I have no way to define the limits of that pod. It
17 could go farther northwest. It could go farther east,
18 south, any direction.

19 Q Is there going to be engineering
20 testimony on the determination of 10 acres being drained
21 from the Viersen No. 2 Well?

22 MR. KELLAHIN: I have an
23 engineering witness.

24 A Yes, there will be.

25 MR. STAMETS: Are there other

1 questions of Mr. Hair?

2 Mr. Padilla?

3

4

CROSS EXAMINATION

5 BY MR. PADILLA:

6 Q If I may first of all, Mr. Hair, I'd like
7 to have Mr. Hair draw a standard location on the Commis-
8 sion's map here.

9 MR. STAMETS: If I haven't
10 scribbled it up so much where you can't do it --

11 A No, I think we can get it done.

12 Q Let me give you a red pen, also, and have
13 you draw a standard location on your acreage.

14 A I believe that to be approximately a
15 standard location.

16 Q Mr. Hair, Mr. Stamets has touched on some
17 of the questions that I primarily have in connection with
18 your testimony here today.

19 Is there a probability that the pod shown
20 for the Fasken and the Exxon wells and the pod shown for the
21 Viersen No. 2 Well are -- actually touch each other?

22 A I do not think there is that probability.

23 Q Do you know if there's some kind of a
24 permeability barrier between those two pods?

25 A All right. When I address that question

1 let me back up just a second and since we did not explain
2 fully what the contours on this map were, contours on this
3 map are based on feet of porosity. I used porosity greater
4 than 4 percent.

5 In my experience where you reach a poro-
6 sity thickness of approximately 10 feet, 10 fairly con-
7 tinuous feet, not 10 feet scattered out over a 200 foot in-
8 terval, there will be permeability in the reservoir.

9 The lack of permeability in these reser-
10 voirs throughout the entire Lovington area has never been
11 demonstrated, at least in my experience, unless there is ab-
12 solutely no porosity.

13 If you have a minor amount of porosity
14 you will have permeability in the reservoir. So, no, I do
15 not believe there's a "permeability barrier". I think that
16 you just lose porosity totally and you're talking about two
17 separate reservoirs.

18 Q Mr. Hair, do you have a cross section
19 that would illustrate the loss of permeability between the,
20 say, the Fasken well or the Exxon and the Viersen No. 2
21 Well?

22 A No, I do not. Again I cannot demonstrate
23 loss of permeability. No log made that I know of would show
24 that.

25 Also there's no dry hole between the

1 wells, so I have no way of demonstrating that, except by en-
2 gineering data which will be touched on in a few minutes.

3 Q Well, let me ask you, have you prepared
4 any kind of a cross section that would show that the forma-
5 tion is common underlying all these wells and that as a
6 reasonable geologic probability these wells are in communi-
7 cation with each other geologically?

8 A Let me make sure I understand your ques-
9 tion.

10 Which wells do you want me -- or are you
11 asking I show are in communication with each other?

12 Q Well, let's start --

13 A I don't understand it.

14 Q Well, let's start from the north and let
15 me ask the question this way. Is the Shipp-Strawn Pool com-
16 mon on the large -- well, underlying or within the wellbores
17 of the wells to the north --

18 A You're talking about the two Tipperary
19 wells and the Pennzoil No. 1 Shipp. Geologically, again, I
20 have no data between the wells so I cannot tell you.

21 Engineering data, pressure data, show
22 that those wells are in communication with each other.

23 Q Were you present during the testimony
24 that your company presented here on Wednesday for the con-
25 tinuation of 80-acre spacing in this field?

1 A Yes, I was.

2 Q And wasn't your engineer's testimony that
3 there was some interference between these wells, some of
4 these wells in this pool?

5 A Absolutely. His testimony was that there
6 is interference between the Tipperaray No. 1, which is mar-
7 ked with 84 feet at the north end of the pool, and the Shipp
8 No. 1, which is marked with 77 feet, and that was the extent
9 of his testimony.

10 Q Have you done any interference test be-
11 tween your two wells, the Viersen No. 1 and the Viersen No.
12 2?

13 A I'll let the engineer testify to that. I
14 am not positive, to be very honest with you. We have better
15 data than that to tell you.

16 Q Do you personally -- is it your testimony
17 that you personally have not made any study as to any com-
18 munication between your two wells?

19 A Depending upon the definition of the term
20 study; I know of various facts which have been done by my
21 company that convince me that there is no communication be-
22 tween the Viersen No. 1 and the Viersen No. 2, nor is there
23 any communication between the Shipp Tipperary pod and the
24 Viersen No. 2.

25 Q Mr. Hair, how did you decide to draw the

1 zero lines on the Viersen No. 1 pod and the Viersen No. 2
2 pod?

3 A Those, as I've stated previously, are my
4 best geologic interpretation. I have attempted to fit seis-
5 mic data, pressure data, reservoir size data that my company
6 possess into a geologic interpretation and fit it into the
7 framework that I know the geology to be.

8 Q And you believe the Viersen No. 2 pod is
9 a limited reservoir?

10 A I think we can very surely state that,
11 yes.

12 Q Your engineer is going to have some en-
13 gineering testimony concerning -- that tests your conclu-
14 sion?

15 MR. KELLAHIN: I object to the
16 question. He's asking this witness to speculate on the en-
17 gineering testimony.

18 I've got the engineer here.
19 He'll talk about it in a just a minute.

20 MR. STAMETS: Is that satisfac-
21 tory, Mr. Padilla?

22 MR. PADILLA: That's fine.
23 Well, let me put it this way, Mr. Chairman. I'd like the
24 opportunity to recall Mr. Hair if his engineer doesn't tes-
25 tify to this.

1 MR. STAMETS: Mr. Hair will
2 stay around --

3 MR. KELLAHIN: What is "this"?

4 MR. STAMETS: -- and be avail-
5 able for additional cross examination if necessary.

6 MR. KELLAHIN: I didn't under-
7 stand the question, I'm sorry.

8 MR. PADILLA: Well, this line
9 of testimony, if I'm not satisfied by the engineer.

10 Q Mr. Hair, I have a problem with the --
11 your testimony. Let me ask you this. You're saying, sir,
12 that you don't have any independent data to justify your own
13 conclusions, is that -- isn't that what you're saying?

14 A No, I don't believe so. I have much data
15 to justify my conclusions. As a company we've worked out
16 data in every pod except the Exxon and Fasken well. I be-
17 lieve we've shared that data with numerous companies, anyone
18 who's -- just about anyone who's asked for the data has got-
19 ten it.

20 On the other hand, we have attempted to
21 acquire data from Exxon Company about the size of the pod
22 and they've been very reluctant to give data. That's fine,
23 that's no problem.

24 On that basis on one pod on this map, as
25 I have previously said, I have made my best geologic inter-

1 pretation of that pod, and no, I cannot tell you, as I said
2 previously, what the size of that pod is. I have no data.
3 I'm not allowed to have that data.

4 Q Have you asked Fasken for data from their
5 well?

6 A I am not aware that we have. We have re-
7 ceived some data from them.

8 Q Now, the Fasken well, even though it's
9 deviated to the north, is at a standard location, is it not?

10 A Absolutely.

11 Q On your Exhibit Number One, Mr. Hair, I
12 notice the lines that you have drawn identifying I guess it
13 would be the west half of the southeast quarter, and I also
14 see the line identifying Tract 4. Some of those lines are
15 lighter than the other lines and is there any special reason
16 for that?

17 A I suppose it was put on differently in
18 drafting and in reproduction it came out differently. I
19 have no idea. We did not do it on purpose that I know of.

20 MR. PADILLA: I believe that's
21 all I have, Mr. Chairman.

22 MR. STAMETS: Are there other
23 questions of Mr. Hair?

24 MR. BRUCE: Yes.

25 MR. STAMETS: Mr. Bruce.

CROSS EXAMINATION

BY MR. BRUCE:

Q Mr. Hair, does the proposed well have a name?

A Viersen No. 3, I believe we'll call it.

Q Just so I won't have to call it "the proposed well".

A I understand.

Q Mr. Hair, I notice on your Exhibit Number One that the porosity lines, especially from zero to 40 feet, are compressed to the south of the Exxon well and to the north of the Viersen 3 Well they're sort of expanded. Is there any reason for that?

A Well, if anything, I was probably trying to be a little generous with Exxon. It moves the thicker part farther south but I suppose if I centered them up I could give us more production that way.

Q You say it would help you to have less porosity on your unit?

A No, I'd have more porosity on my unit.

Q By moving the zero line and 40 line south?

A I wouldn't move the zero line. Again, that's my best interpretation of the reservoir. I'd move all the lines inside of it, leave it alone. If you compress them back to the north a little bit, spread them out toward

1 the south, you'd move the 80-foot contour farther north and
2 put more 80-feet on our acreage. I think it's pretty ob-
3 vious.

4 Q There are other reasonable orientations
5 of the pods, though, is that correct?

6 A Oh, I did not argue that.

7 Q And it could be oriented to the north-
8 west, such as the larger pod to the north?

9 A Oh, certainly.

10 Q Now, looking at this Exhibit One,
11 couldn't the Viersen 3 be drilled at an orthodox location or
12 such that its bottom hole location would be at a standard
13 location and be at the same position with respect to poros-
14 ity as the Fasken well?

15 A Yes, it could, without accomplishing any-
16 thing to do with correlative rights.

17 Q You were at the hearing in Case 9036,
18 weren't you?

19 A Which -- would you --

20 Q That would be the Phillips case?

21 A Yes, I was.

22 Q Did you hear Mr. Groce discuss the Fasken
23 well?

24 A Yes, I did.

25 Q Faskens seems to be pleased with the pro-

1 duction from their well, don't they?

2 A In their opinion, yes, it's a good well.

3 Q What is the expected life of the Viersen

4 2 Well? Do you have that information?

5 A I would have to speculate.

6 Q Go ahead.

7 A I will speculate that it will last an-
8 other six months.

9 Q Has that well paid out?

10 A Yes, I believe it has.

11 Q Could part of the problem with the
12 Viersen 2 Well be mechanical problems?

13 A No, I do not believe so.

14 Q And why is that?

15 A As our engineer will testify, I believe
16 you'll find that the bottom hole pressure has been reduced
17 so much that they -- we have taken pressure tests, we know
18 what the bottom hole pressure is. The problem is not mech-
19 anical.

20 Q If the Viersen 3 Well is drilled and it
21 made whatever allowable was permitted by the Commission,
22 would the Viersen 2 be shut in and the Viersen 3 produced by
23 itself until production declined?

24 A I do not know what my company would do on
25 that particular score. I believe that there's a possibility

1 they could share the allowable. There's a possibility that
2 the Viersen 2, before the well will ever get down, may be
3 plugged, and there's a possibility that we would shut--in
4 the Viersen No. 2 to produce the Viersen No. 3.

5 Q Now, do I understand you, you said the
6 No. 2 Exxon Well was the first in this particular pod we're
7 discussing here today.

8 A I believe so, yes.

9 Q So they took the risk of proving that pod
10 existed, correct?

11 A In a loose sense, yes.

12 Q In this Shipp-Strawn Pool are there any
13 currently approved unorthodox locations?

14 A Yes.

15 Q And which one is that?

16 A The Viersen No. 2. And also, I'm sorry,
17 also the Pennzoil -- no -- yes, the Pennzoil Waldron No. 2,
18 which is in the east half of the northwest quarter of Sec-
19 tion 3. It's not located on this map.

20 Q Thank you. Now the Shipp-Strawn Pool was
21 established in Case -- well, OCD Cases 8696 and 8970, is
22 that correct?

23 A I'll rely on your memory. I do not know
24 the case numbers.

25 Q Okay.

1 A 8790.

2 Q 8790 and 8696, and you testified in both
3 of those, didn't you?

4 A Yes, I did.

5 Q And did you not testify that the porosity
6 pods have very high porosity?

7 A Yes, I did.

8 Q Have you calculated, according to your
9 Exhibit One, how many acres, just looking at surface acres,
10 of porosity are on the four tracts involved; in other words,
11 the Phillips, Pennzoil, Exxon, and Fasken?

12 A Based on my interpretation, yes, we
13 have.

14 Q Would you give us those figures, please?

15 A Yes. They are down at the bottom in the
16 lower lefthand corner. Tract No. 1, 22.1 acres.

17 MR. KELLAHIN: Just a minute,
18 his copy doesn't have that.

19 A Oh, I'm sorry, gave him the wrong copy.

20 On many of the copies there are a table
21 down at the bottom.

22 Tract No. 1 has 22.1 acres.

23 Q Tract -- now hold on, Tract No. 1 --

24 A Tract No. 1.

25 Q -- is the Pennzoil --

1 A That's correct.

2 Q -- 22.1. Tract 2?

3 A 18.3.

4 Q And that's the Exxon?

5 A That's correct.

6 Q Tract 4 --

7 A 18.7 -- oh, I'm sorry --

8 Q Tract 3.

9 A Tract 3 is 18.7. That is the Fasken

10 tract.

11 Q Tract 2 is the Exxon and what is the 41?

12 A 41? Now you've lost me, I'm sorry.

13 Q Oh, okay, I was looking at the wrong

14 figure. Okay.

15 A Tract No. 4 is the only tract we haven't

16 identified and we have it with 1.9 acres.

17 Q And that is the Phillips tract.

18 A That is the Phillips tract.

19 Q And referring back again to Cases 8696

20 and 8790, in those cases Pennzoil supported well locations

21 up to 330 feet from the unit boundaries, did they not?

22 A Yes, we did.

23 Q So the Exxon well was drilled according

24 to the rules then in effect.

25 A Yes, they would have that title.

1 Q You said that your location of the pods
2 was at least in part based on seismic data. Had -- had that
3 been submitted to the OCD?

4 A On one occasion we have submitted, I
5 believe, two seismic lines.

6 Q What are --

7 A We consider that for the most part
8 proprietary information and will not submit it.

9 Q Two seismic lines were submitted?

10 A Yes, it was part of a -- I don't remember
11 which case it was part of now; some -- one case, in one of
12 the cases, and I'm sure we could find the case number, there
13 were two lines submitted.

14 Q Now in Case 8790 did you testify that
15 wells spaced too closely together will ineffectively drain
16 the reservoir?

17 A Which case is 8790? I'm sorry, I cannot
18 refer to --

19 Q Okay, that is the second hearing on these
20 pool rules, the one called on the motion of the OCD.

21 A I do not remember precisely that I testi-
22 fied to that. I may have; I may not have. I do not remem-
23 ber.

24 MR. BRUCE: Okay, Mr. Chairman,
25 I'd like you to take administrative notice of Case 8790 and

1 particularly Mr. Hair's testimony on page 31 of that case.

2 MR. KELLAHIN: Can we have a
3 copy of that if it's available so that we can double check
4 on that?

5 MR. BRUCE: Yeah, that would be
6 --

7 MR. STAMETS: During the break
8 we could get a --

9 MR. BRUCE: I'll give it to
10 Florene.

11 MR. STAMETS: -- copy of that
12 page for everybody. What page number?

13 MR. BRUCE: Page 31 of the
14 transcript of Case 8790.

15 MR. STAMETS: Okay, we can put
16 that in the record.

17 Q What is your estimate of the total size
18 of this particular porosity pod where the Viersen 3 is re-
19 quested?

20 A Well, I'll need to add it up here but
21 it's like it's -- a little over 60 acres.

22 Q Okay. And also in Case 8790 didn't you
23 testify that you recommended that for orderly drainage spac-
24 ing of the wells should be at least 990 feet apart?

25 A I may have. Again I do not remember my

1 precise words.

2 MR. BRUCE: That's again on
3 Page 31, Mr. Chairman.

4 MR. STAMETS: Okay.

5 Q If what I'm stating about Page 31 is
6 indeed correct, Mr. Hair, won't Pennzoil be requesting well
7 locations that go against its previous testimony in estab-
8 lishing this pool?

9 A No, I do not believe so. I believe our
10 interpretation of the pool has changed significantly since
11 then and this is more of a correlative rights issue than an
12 issue of how far apart the wells should be spaced.

13 Q Would you characterize the Viersen 2 Well
14 as the poorest producing well in this field?

15 A Yes, sir, to the best of my knowledge
16 currently, it is. Some of the wells do not have enough pro-
17 duction history for me to be able to say certainly that it
18 will be.

19 Q And what did you say was the cumulative
20 production?

21 A It's in the neighborhood of 70,000 bar-
22 rels.

23 Q Now, if I understand you correctly, Penn-
24 zoil is requesting that this well be drilled without a pen-
25 alty.

1 A That is correct.

2 Q Would you be requesting no penalty even
3 if the Exxon 2 Well were not drilled?

4 A I'm not sure I can answer that question.
5 That doesn't -- that has nothing to do with the facts of
6 this case. I can't answer it; it's a hypothetical thing.

7 Q Well, experts often testify in
8 hypotheticals.

9 A I would imagine that that might be a
10 matter of company policy and I do not set my company's
11 policies.

12 Q Does Pennzoil plan to present testimony
13 that will show it will not obtain oil from its well propor-
14 tional to the oil under its leases?

15 A Please repeat the question.

16 Q Regarding the Viersen 3 Well, does Penn-
17 zoil plan to present testimony that would show that the oil
18 recovered from that well is proportional to the oil under
19 its unit, recoverable oil?

20 A No, I do not believe we do because as
21 I've stated previously, we cannot define the size of the re-
22 servoir, how much of it exists on our tract or anyone else's
23 tract.

24 Q One last question, Mr. Hair, what is your
25 definition of correlative rights?

1 A Correlative rights and the ability to re-
2 cover oil under a lease which you hold or royalty that you
3 hold and protection of those from drainage by another per-
4 son.

5 Q Thank you.

6 MR. BRUCE: I have no further
7 questions.

8 MR. STAMETS: Mr. Ives?

9

10 CROSS EXAMINATION

11 BY MR. IVES:

12 Q Mr. Hair, in your opinion is there a
13 relationship between structure and porosity in the Shipp-
14 Strawn Pool?

15 A In my experience there is none.

16 Q So in none of your seven years of
17 experience with this pool have you seen any relationship
18 between structure and porosity?

19 A I have seen none.

20 Q Have you done any structural studies of
21 the Shipp-Strawn Pool?

22 A Absolutely.

23 Q What did those structural studies show?

24 A They show primarily regional dip which is
25 to the east and northeast with minor crenulations or noses

1 on that. There is production off of those noses, on those
2 noses. They have no relationship to production.

3 Q Mr. Hair, on Pennzoil Exhibit Number One
4 you have indicated a number of pods. Do you know generally
5 the structure that underlies these pods?

6 A Yes.

7 Q Are you familiar with where the struc-
8 tural noses are in the field?

9 A Yes.

10 Q If I could ask you just to draw on Exhi-
11 bit One where you understand the structural noses to be in
12 the field, I would appreciate that.

13 A May I say that I'm not sure that is a
14 fair statement.

15 Yes, generally I realize where they are
16 but if I'm going to be pinned down on testimony as to where
17 these noses are and what significance they have, I cannot do
18 that. I don't have any data before me. I can't make a map
19 that is a reasonable interpretation.

20 MR. KELLAHIN: I think, Mr.
21 Chairman, the witness has given as best an answer he can.
22 He says here during the hearing with the available informa-
23 tion he cannot draw the structures for Mr. Ives, and I think
24 he's answered the question as best he can.

25 MR. STAMETS: Mr. Ives, I pre-

1 sume you've got a witness who's going to show us those noses
2 and tell us about the impact, is that correct?

3 MR. IVES: I believe we
4 probably will present that testimony, Mr. Chairman.

5 MR. STAMETS: I think it might
6 be appropriate for you to present the evidence rather than
7 trying to get Mr. Hair to drag it up from his memory.

8 Q You indicated that you have done seismic
9 testing in the Shipp-Strawn. Is that correct, Mr. Hair?

10 A That is correct.

11 Q Would you be able to draw your seismic
12 lines on Pennzoil Exhibit Number One?

13 A Absolutely not. We have too many of them
14 for me to remember.

15 Q Wasn't it your earlier testimony that you
16 had two seismic lines?

17 A Oh, we presented two seismic lines before
18 the Commission. We have approximately 40 seismic lines in
19 this area.

20 Q How good a resolution have you been able
21 to get on your seismic tests at 11,300 feet as to the Shipp-
22 Strawn Pool?

23 MR. KELLAHIN: I'm going to
24 object to the question. It calls for proprietary
25 information and we're not prepared to discuss the seismic

1 information for Mr. Ives or anyone else today.

2 MR. IVES: Mr. Chairman, the
3 witness has testified that in part his Exhibit Number One,
4 which shows a number of pods in the pool, was based on
5 seismic lines and seismic testing which has been done.

6 I think his having developed
7 Pennzoil Exhibit Number One on that basis makes it certainly
8 a fair question with regards to how much resolution he gets
9 on the basis that that's (not clearly understood) he has
10 made.

11 MR. STAMETS: Mr. Ives, are you
12 asking the degree of confidence that Mr. Hair has in the
13 seismic data that they have acquired?

14 MR. IVES: I'm curious to try
15 and get some objective measurement or sense from Mr. Hair
16 how much he has been able to tell based on the seismic
17 lines. He's indicated that they've been able to establish
18 and see the pods on the basis of the seismic testing; but,
19 for instance, he's also testified that they can't tell the
20 extent of the pods based on that seismic data.

21 So I'm trying to find out
22 exactly what the seismic testing has shown in this
23 particular instance, the resolution at 11,300 feet being
24 (inaudible.)

25

1 (Thereupon a discussion was had which was inaudible to the
2 reporter.)

3 Q Mr. Hair, let me ask you --

4 MR. STAMETS: As long as -- as
5 long as you can stay away from proprietary issues, I think
6 it's appropriate to ask questions to determine the degree of
7 confidence which is placed in the seismic data.

8 Q Mr. Hair, it was your earlier testimony
9 that you were able to see the pods based on your seismic
10 testing, is that correct?

11 A Yes.

12 Q And was it not also your prior testimony
13 that you couldn't tell the extent of those pods based on
14 your seismic testing?

15 A I'm not positive that was exactly what I
16 said. I'll restate it, if you like; we can check the re-
17 cord, if you like, but --

18 Q I'd certainly appreciate your clarifica-
19 tion on that point.

20 A What I feel is to a reasonable degree we
21 can tell the extent of the pods.

22 I believe I testified that I have no
23 data with which to tell the size of the Fasken/Exxon pod, if
24 you will, and I think that primarily is due to our lack of
25 seismic data in the area.

1 As you can note, these are extremely
2 small pods. It takes a tremendous amount of seismic data.
3 I have previously testified we have over 40 lines on this
4 map. We do not have adequate lines to be able to tell the
5 definition of this pod, of the Exxon/Fasken pod.

6 Q So then do you have adequate seismic data
7 in order to determine the extent of the two pods which are
8 to the north and the east of the Exxon/Fasken/Phillips/Penn-
9 zoil pods?

10 A We feel that we do, yes.

11 Q How exactly, using that seismic data,
12 were you able to determine the extent of these pods?

13 A I believe that again gets into
14 proprietary information. That's what we're using for an
15 exploratory tool, is the method. That is proprietary. I'm
16 sorry.

17 Q So you can't tell us exactly how using
18 your seismic you were able to determine the extent of the
19 pods?

20 A Not without touching on proprietary
21 matters. It goes into the very heart of how we define the
22 pods to drill to begin with.

23 Q So there is no way I can get you to tell
24 me exactly how determine the extent of the pods in this
25 particular instance.

1 A I will volunteer an answer for you and I
2 hope it will satisfy you. You don't seem to take
3 proprietary after the Commissioner has already said it, but
4 we feel that in a vertical sense, in other words, limestone
5 thickness, we can predict the thickness of the Strawn lime
6 within 10 percent. To us the thickness of the Strawn lime,
7 as I've testified previously at these hearings, is the key
8 to production in these limestones.

9 We feel that way within 10 percent.

10 We feel laterally we can predict within
11 15 percent.

12 We also feel on numerous of these pods
13 that our engineering data is much better in determining the
14 size of the pods and the areal extent than our seismic is
15 because it's generally believed to be much more accurate.

16 Q And is it your testimony that there is --
17 well, let me ask you, if you would, to define for me exactly
18 what your zero prime line on your Exhibit Number One is
19 designed to indicate.

20 A That is where porosity is at zero feet.
21 Prime is foot in this case. It is zero feet of porosity.

22 Q Let me ask you, if you would, I believe
23 you've indicated on the exhibit which the chairman has, your
24 Exhibit Number One, where the unorthodox location proposed
25 for the Phillips well is, is that correct?

1 A I believe so, yes.

2 Q And is the location that you have put
3 that proposed well on inside the pod the outside the pod at
4 zero prime line?

5 A As I have defined the pod for the pur-
6 poses of this map it is outside.

7 Q Notwithstanding the fact that it is
8 located outside your pod, you're proposing to impose a pen-
9 alty upon the Phillips location?

10 A As I previously testified, this map is an
11 interpretation based on my best judgment. I have no limit-
12 ing factors as to the size of the pod. I do not know that
13 the Phillips well will be outside of the zero porosity.

14 Q But on your Exhibit Number One, as you
15 have drawn that, based on your best determination, it does
16 lie outside the pod, does it not?

17 A Yes, it does.

18 Q What would be your response to the impo-
19 sition of a penalty based on productive acreage in the
20 Shipp-Strawn Pool?

21 A As a field -- a pool rule? I don't think
22 it's feasible.

23 Q So you would not support such an allow-
24 able based on productive acreage?

25 A Not at the present time.

1 Q So in terms of your testimony that you
2 are not able to accurately define any of the size of --
3 sizes of the various pods, information contained on your Ex-
4 hibit One may or may not be accurate, is that correct?

5 A I never said such a thing. I never made
6 that statement.

7 Q Do these -- does Exhibit One represent an
8 accurate depiction of the Shipp-Strawn Pool?

9 A I believe it's a very accurate
10 representation except for the Exxon/Fasken pod, which I have
11 no information on other than two well logs. They do not
12 determine areal extent.

13 Q Mr. Hair, one final question, why is that
14 Pennzoil then is proposing a penalty based on productive
15 acreage to be imposed against Phillips in this matter or in
16 the matter which was heard yesterday or the day before as
17 Case 9036?

18 A I don't believe we put on any testimony
19 that showed that there was a penalty necessary; however, I
20 will answer it.

21 Again, I have no way to define the
22 productive limits. I believe that if you drill a well at a
23 standard location because you are not -- you have no one
24 encroaching upon any of your lease boundaries, you should,
25 that's where you should drill it.

1 If you do not drill at a standard
2 location, you should receive a penalty.

3 I feel that our case is different because
4 we a well encroaching, 150 feet from our lease boundary.
5 All we're asking for is the opportunity to drill a well in a
6 like position opposite of that well, moving no closer to
7 anyone else except the encroaching well.

8 Q Do you think that your proposed location
9 would drain any reserves under the Phillips tract?

10 A I have no idea.

11 Q I believe before you testified that the
12 Exxon well in Tract No. 2 had the ability to drain the en-
13 tire pod, is that correct?

14 A That is correct.

15 Q But you have no notion whether your well
16 would be able to drain the acreage under the Phillips tract.

17 A I have no notion whether there's any oil
18 under the Phillips tract.

19 MR. IVES: I have no further
20 questions.

21

22 RE CROSS EXAMINATION

23 BY MR. STAMETS:

24 Q Mr. Hair, would you tell us the degree of
25 confidence which you've got in the pod size for the Viersen

1 3?

2 A I'll -- probably --

3 Q You know, you've testified your knowledge
4 of the area, and so on. How confident are you that that's
5 -- that that's -- about it?

6 A I'm -- I'll say fifty/fifty. I think it
7 could be larger. I don't know. In the absence of pressure
8 data it's very difficult to tell.

9 As you can see by the size of the three
10 pods here, they do vary considerably in size and without the
11 pressure data it's very difficult.

12 Q The two wells, the Fasken and the Exxon
13 wells, that deviated, were those intentional deviations or
14 just migrations?

15 A No, absolutely not. They were not inten-
16 tional deviations.

17 Q And how did you acquire the bottom hole
18 location information?

19 A I believe we received it voluntarily from
20 Exxon after a protracted period of time, and from Fasken, I
21 -- it was voluntary and I believe it was immediate.

22 Q In your own wells have you seen a stand-
23 ard deviation as they are drilled?

24 A Yes.

25 Q In what direction is that?

1 A In -- where we have information, we do
2 not have it in every well, it is generally to the north;
3 every well where we have taken bottom hole surveys, it is to
4 the north.

5 Q Would you be taking -- perhaps you're not
6 the one to ask this question of -- but if you know, would
7 you be taking any special precautions to drill a straight
8 hole for the Viersen 3 or would you allow it to migrate?

9 A Okay. I can't answer that, but let me
10 give you an answer.

11 Basically it would depend, I would as-
12 sume, on how the Commission feels about the matter, one;
13 number two, about the cost involved, is it prohibitive. We
14 don't know. I do not know of my own knowledge whether it's
15 a prohibitive cost; whether is it not worth in the risk
16 we're taking, anyway, as can be shown by the dry holes on
17 the map; there is still considerable risk even while we're
18 asking to drill.

19 We do not know at this point.

20 Q Again, these questions may be more appro-
21 priate for the engineer. Do you know what the allowable is
22 in the Shipp-Strawn Pool?

23 A 445 barrels a day.

24 Q 445, and your No. 2 Well is producing 35?

25 A I think it's between 20 and 30 right now,

1 sir.

2 Q Okay. What did you say the Exxon well is
3 producing?

4 A I don't have current datas and I'd hate
5 to speculate. If they'd supply it that would be fine. I --
6 I'm of the impression it's around 300 barrels a day but I do
7 not know.

8 Q You would -- do you anticipate if the
9 Commission imposed a requirement that the Viersen No. 2 be
10 kept on production as long as it's econmically practical to
11 do so that that would have any impact upon your desire to
12 drill this well?

13 A No, I don't believe so. As I testified
14 previously, my best estimate is that the Viersen No. 2 will
15 not be productive for more than six months. It may be but
16 certainly not much more than that and I don't believe that
17 that is going to be a problem ultimately.

18 MR. STAMETS: Any other ques-
19 tions of this witness?

20 MR. KELLAHIN: I have a couple
21 of follow-up questions.

22

23 REDIRECT EXAMINATION

24 BY MR. KELLAHIN:

25 Q Just so that it's clear to me, Mr. Hair,

1 if the Commission should require the No. 3 Viersen Well to
2 be drilled at its closest standard location, will that give
3 you an opportunity to compete fairly with the Exxon well in
4 the absence of a penalty on the Exxon well?

5 A Let me amplify that, my answer just a
6 little bit. I want to -- what I want to put in here is no,
7 I don't believe it will.

8 The Exxon well is 150 feet from our lease
9 line. In a standard location I believe we can be 510 feet
10 from the lease line.

11 Number one, that is at a surface loca-
12 tion. We are -- I just testified that there is a deviation
13 problem in these wells. Very possibly that would put us as
14 much as back at 660 feet.

15 Again, I haven't been treating my map as
16 gospel and I don't intend to start now, but based on the map
17 that puts us in a very poor position insofar as the reser-
18 voir as I've defined it goes.

19 Also, again I cannot testify to the cost
20 of keeping the well straight. I do not know whether it is
21 prohibitive, but we have not done it previously and I don't
22 even know whether it's possible, for that matter. That is
23 also a risk for us.

24 Q In terms of balancing an order that al-
25 lows Pennzoil to compete fairly with the Exxon well, does,

1 in your opinion, because of the close proximity of those two
2 wells to each other, does the size and orientation of the
3 reservoir matter to any significant degree?

4 A I don't believe it does.

5 Q In terms of establishing allowable and
6 perhaps you -- I need to save that question, but I'll ask
7 you, based upon your knowledge, would establishment of an
8 allowable that was equal to the current producing rates set
9 for the Exxon well allow you to compete fairly for your
10 share of the oil underlying your tract?

11 A Yes, I believe that would be equitable.

12 MR. KELLAHIN: I have nothing
13 further of Mr. Hair.

14 MR. STAMETS: Any other ques-
15 tions?

16 The witness may be excused.

17 We'll take about a fifteen
18 minute recess.

19

20 (Thereupon a recess was taken.)

21

22 MR. BRUCE: Mr. Chairman, I
23 marked as Exxon Exhibit One-A Page 31 of the transcript of
24 Case 8790, and if there are no objections, I would move that
25 that be entered as part of the record.

1 MR. STAMETS: Okay, well, let's
2 show that we're on the record, then.

3 Mr. Kellahin, do you want this
4 witness back?

5 MR. KELLAHIN: Yes, sir, I'd
6 like an opportunity to recall Mr. Hair to have him make an
7 explanation of the reference to his prior testimony.

8 During the break he's had an
9 opportunity to examine Page 31 of his prior testimony in an
10 earlier transcript, and I would like to have an opportunity
11 to ask him to respond.

12 MR. STAMETS: Okay.

13
14 GREGORY L. HAIR,
15 being recalled as a witness and remaining under oath,
16 testified as follows, to-wit:

17
18 REDIRECT EXAMINATION

19 BY MR. KELLAHIN:

20 Q Mr. Hair, we've recalled you as a witness
21 and I ask you if you've had an opportunity to refresh your
22 recollection about the circumstances pursuant to which you
23 made the testimony as indicated on Page 31 of the prior
24 transcript in an earlier hearing?

25 A Yes, I have.

1 Q Can you give us any comments or back-
2 ground to give us insight as to the fact situation upon
3 which that statement was made?

4 A Yes. The statement that's in question
5 here, I'll refer to it, we were trying to provide for order-
6 ly drainage by spacing these wells 990 feet apart to keep
7 the area of drainage, in quotes, from overlapping so exten-
8 sively.

9 This obviously is intended under ideal
10 conditions. It's under noncompetitive conditions. It is
11 meant to provide for ideal drainage. It does not, however,
12 when you have a well 150 feet from your lease line take into
13 any consideration correlative rights.

14 MR. KELLAHIN: I have nothing
15 further, Mr. Stamets.

16 MR. STAMETS: Any questions of
17 Mr. Hair?

18

19

RECROSS EXAMINATION

20 BY MR. BRUCE:

21 Q Yes, Mr. Hair, how often is the oil and
22 gas business noncompetitive?

23 A At least part of the time. I can't give
24 you an exact number for that.

25 Q Did you expect that in this field?

1 A I expected that all wells would at least
2 be an adequate distance from the boundary of the leases to
3 protect correlative rights. I believe the Exxon well, while
4 it was unintentional, is not far enough away from the bound-
5 ary of the lease to protect correlative rights.

6 Q But the Exxon well was drilled according
7 to pool rules proposed by Pennzoil and by you specifically
8 (inaudible).

9 A I did not say that. I said unintentional
10 deviation brought it too close to the lease boundary and
11 caused a lack of protection of correlative rights.

12 Q And the 330-foot surface location was
13 proposed by Mr. Greg Hair (inaudible).

14 A Yes, it was.

15 MR. STAMETS: Any other ques-
16 tions of Mr. Hair?

17 Mr. Padilla?

18

19 RE CROSS EXAMINATION

20 BY MR. PADILLA:

21 Q Mr. Hair, you're not retracting the
22 statement you have made in lines 10 through 13 of that Page
23 31, are you?

24 A You're assuming the statement about ex-
25 cellent permeability in the wells?

1 Q Yes, sir.

2 A Yes, I am not retracting that. Those
3 wellbores have excellent permeability.

4 Q Let me -- your Shipp No. 1 is the well
5 shown with 77 feet up there in your Exhibit Number One, is
6 that correct?

7 A There are two wells with 77 feet. The
8 Shipp No. 1 is the well in the southwest quarter of the
9 northeast quarter of Section 4.

10 Q And your -- well, in that Page 31 are you
11 comparing the permeability of the Shipp No. 1 and the Vier-
12 sen No. 2 Well?

13 A I am comparing the permeability found in
14 the wellbore of the Viersen No. 2 with the wellbore of the
15 Shipp No. 1 -- I'm sorry, Viersen No. 1.

16 All three wells I have compared the well-
17 bore data. I cannot tell you what the permeabilities are or
18 the porosities are with numerical accuracy away from the
19 wellbore.

20 Q What is the average porosity in those
21 wells?

22 A In the Viersen No. 1 the porosity ranges
23 from 4 to 10 percent and I would say 6 to 7 percent is aver-
24 age.

25 In the Viersen No. 2 and the Shipp No. 1

1 the porosity, effective porosity, ranges from 4 percent to
2 approximately 12 percent, and I would say 8 percent is aver-
3 age.

4 Q What would you say the porosity for the
5 pod and the Exxon and the Fasken wells is, the average
6 porosity?

7 A In the Exxon well the porosity, I
8 believe, is very much on a par with the Viersen No. 2 and
9 the Shipp No. 1.

10 The Fasken well has slightly lower
11 porosity. I would say it is more on an average of like 7
12 percent instead of 8.

13 Q Mr. Hair, how did you determine the
14 permeability of 42 millidarcies as stated in that -- toward
15 the bottom of the page in that Page 31?

16 A I personally did not determine that
17 permeability. That came from core data, drill stem test
18 data, which I am privy to because it is something that we
19 ran.

20 Q Who ran that? Who made that calculation?

21 A Service companies which we hire. I can-
22 not -- I cannot remember which particular service company
23 tested each well, or I do not remember which core. They
24 were all reputable service companies.

25 Q Mr. Hair, do you agree with the -- well,

1 let me ask the question this way.

2 On Wednesday of last week in the hearing
3 to continue the spacing rules at 80 acres, your engineer
4 presented an Exhibit Four where he stated the average field
5 porosity was 8 percent. Do you agree with that?

6 A Yes.

7 MR. PADILLA: I believe that's
8 all the questions I have.

9 MR. STAMETS: Any other ques-
10 tions of the witness?

11 He may be excused.

12 MR. KELLAHIN: Mr. Chairman,
13 we'd call at this time Mr. Paul Bruce.

14
15 PAUL L. BRUCE,
16 being called as a witness and being duly sworn upon his
17 oath, testified as follows, to-wit:

18
19 DIRECT EXAMINATION

20 BY MR. KELLAHIN:

21 Q Mr. Bruce, for the record would you
22 please state your name and occupation?

23 A My name is Paul Bruce. I'm currently
24 Production and Drilling Manager for Pennzoil Company in Mid-
25 land, Texas.

1 Q Would you describe for the Commission
2 what degrees you have?

3 A I have a Bachelor of Science degree from
4 the University of Texas in Austin.

5 Q And in what year, sir?

6 A In 1970.

7 Q Would you summarize for us what has been
8 your educational -- I'm sorry, your work experience as an
9 engineer?

10 A I worked for approximately five years
11 with Exxon in South Texas.

12 I worked for a small independent named
13 Roy Huffington for three years in overseas assignment, and
14 I've been with Pennzoil approximately nine and a half years
15 at this point in time.

16 Q Which --

17 A I've worked for Pennzoil both in South
18 Texas and in West Texas, currently in my -- in my current
19 position for five years as Drilling and Production Manager
20 in the West Texas Division -- District.

21 Q Within the period of time you have been
22 Drilling and Production Manager for Pennzoil, has one of the
23 areas of responsibility been the Shipp-Strawn Pool in New
24 Mexico?

25 A Yes, sir, it has.

1 Q Would you describe for us what has been
2 your personal involvement with the exploration and develop-
3 ment of the Shipp-Strawn Pool?

4 A I've supervised all of the engineering
5 aspect of putting studies together, doing evaluations,
6 worked closely with the geologist in obtaining data, been
7 involved in all the exploration efforts on an information
8 basis.

9 I've supervised all of the drilling
10 activities and the acquisition of pressure data, core data,
11 and all of the reservoir data that we have obtained.

12 Q Would you describe for us what is your
13 concern with regards to the Pennzoil acreage identified on
14 Exhibit Number One as Tract 1, what your concern is about
15 that acreage with regards to the Exxon well immediately to
16 the south of you?

17 A Our concern is simply that the data that
18 is available to us has led us to conclude that the Viersen 1
19 and the Viersen 2 and the Shipp 1 are all in three separate
20 reservoirs. The Shipp 1 being the well to the north -- in
21 the northeast quarter, marked 77, being competitive with two
22 Tipperary wells immediately to the west. But primarily the
23 concern is that our pressure data leads us very conclusively
24 to believe that the Viersen 2 is in a very limited reser-
25 voir, it is almost depleted, and that the Exxon well, while

1 -- although not intentionally deviated, did deviate, did en-
2 counter deviation problems, was completed at a bottom hole
3 location of approximately 150 feet from our lease line, 146,
4 to be exact, according to the data that we have, and there-
5 fore Pennzoil probably has recoverable, economical reserves
6 on its Tract 1 which it should be allowed to recover.

7 Q While we're talking about the bottom hole
8 location, your estimate is that the Exxon well's bottom hole
9 location is about 146 feet from the common line?

10 A That's correct.

11 Q And what information do you have avail-
12 able to you, sir, with regards to the estimated bottom hole
13 location on the Fasken well?

14 A We have no hard data of which to calcu-
15 late that bottom hole location; however, it was -- we were
16 informed by the Fasken representatives, and they have been
17 very cooperative in sharing data with Pennzoil from the very
18 beginning, we were informed that their well deviated some
19 276 feet to the north, which would put its bottom hole loca-
20 tion approximately 390 feet from the lease line.

21 Q What attempts have you made concerning
22 your efforts to obtain information from Exxon about their
23 well and how it is being produced and operated so that you
24 could satisfy yourself that the Pennzoil property was being
25 protected?

1 A Let me begin by saying that we were well
2 aware of the drilling problems and the deviation problems
3 that Exxon encountered while they were attempting to drill
4 and complete their "EX" No. 2 Well.

5 Q Is that going to appear to be a common
6 problem?

7 MR. STAMETS: Mr. Kellahin,
8 before we go too much farther, I don't think we ever
9 qualified this witness.

10 MR. KELLAHIN: All right, sir,
11 I'll work that in.

12 MR. STAMETS: And let me ask
13 what his bachelor's degree was in in 1970.

14 A Chemical engineering.

15 MR. STAMETS: And your
16 experience since that time has been in what phases of the
17 engineering?

18 A While with Exxon I was trained and worked
19 in reservoir engineering and production engineering and
20 overseas I worked in reservoir and drilling engineering.

21 With Pennzoil I've been involved in all
22 aspects of petroleum engineering.

23 MR. STAMETS: All right. I
24 presume that there are no questions and the witness is
25 considered qualified.

1 MR. KELLAHIN: At this point,
2 Mr. Chairman, we tender him as an expert.

3 MR. STAMETS: He is considered
4 qualified.

5 Q Mr. Bruce, you were describing for us the
6 efforts that you have made to inform yourself and your
7 company about what their correlative rights were with
8 regards to the Exxon pod and we were discussing with you
9 what efforts that you have made with regards to
10 understanding the information available from the Exxon well.

11 A I was stating that we were well aware of
12 the drilling and deviation problems that Exxon encountered
13 while drilling their well.

14 Q Do you anticipate that that kind of
15 problem will continue to occur with regards to the drilling
16 of the Viersen No. 3 Well?

17 A Every well that's been drilled in this
18 area has experienced some deviation problems typically, and
19 speaking for Pennzoil, our experience has enabled us to keep
20 those deviation surveys down -- or deviation limits at about
21 3 degrees.

22 The Exxon well and the Fasken well
23 apparently encountered more severe problems and those
24 problems appear to be related to the position, the southerly
25 position, and their deviation got up to 7 degrees.

1 Q If a surface location is approved for the
2 Pennzoil well 660 feet from the Phillips tract and 150 feet
3 from the Exxon tract, and assuming the deviation continues
4 and you experience the type of deviation that Exxon did,
5 where will your bottom hole location be in relationship to
6 the Exxon well, the common line between you and Exxon?

7 A If our well deviates as much as the Exxon
8 well did, we'll be starting out at 150 and they had approxi-
9 mately 180 feet of deviation, so 150 and 180 is 330.

10 Q What information do you have available to
11 you concerning production information and bottom hole pres-
12 sure information on the Exxon well?

13 A We were given, and we have obtained from
14 Exxon, the original DST pressure data. Of course we've been
15 able to obtain production data through the Commission, and
16 Exxon also shared with us a bottom hole pressure build-up
17 survey which they ran in March or April, I believe, of 1986,
18 shortly after putting their well on production.

19 That is the extent of the pressure of
20 production data that we have from the Exxon well.

21 Q In your opinion, Mr. Bruce, as an en-
22 gineer, is that information sufficient enough from which you
23 can calculate the size of the Exxon reservoir?

24 A I think not. In fact it is my opinion
25 that there is a good possibility that the Exxon well and the

1 Fasken well may not be in communication, although we have
2 shown them as such on our Exhibit One.

3 We have no basis for saying they are not
4 or that they are. We requested, when Fasken completed their
5 well in Tract 3, and we obtained the DST data, pressure data
6 from Fasken.

7 We also requested at that point in time
8 that Exxon would consider running a bottom hole pressure in
9 their "EX" No. 2 Well, because we already had the experience
10 and knew that we could determine to a fairly accurate degree
11 the size of the reservoir if we had good pressure data. Ex-
12 xon refused or declined to run a bottom hole pressure at
13 that point in time.

14 Fasken produced their well for one month
15 and ran another bottom hole pressure and at that point in
16 time we also requested that Exxon run a bottom hole pressure
17 so that we could determine whether or not those two wells
18 are in a common reservoir and also whether or not the reser-
19 voir that Exxon is in is even big enough to worry about;
20 however Exxon declined again to run a bottom hole pressure.

21 We witnessed the fact that Exxon's well
22 had a pumping unit installed upon it and while they had that
23 rig there we even offered to pay for a bottom hole pressure
24 survey, but they declined.

25 So in my opinion Pennzoil has no other

1 alternative than to ask for this opportunity to protect our
2 correlative rights.

3 Q From available current information you
4 are unable to calculate or determine the size of the reser-
5 voir that the Exxon well is producing from?

6 A That's correct.

7 Q What, in your opinion, is the impact of
8 having either the Viersen No. 1 or the Viersen No. 2 produc-
9 ing from the Shipp-Strawn reservoir in relationship to the
10 Exxon well?

11 A Absolutely none.

12 Q Do you have an opinion as to whether or
13 not either the Viersen 1 or 2 can adequately protect the
14 correlative rights of Pennzoil in relation to the Shipp --
15 to the Exxon well?

16 A We have pressure data from the Viersen 1
17 and Viersen 2 which leads us to conclude decisively that
18 they are not in the same reservoir and that they are not
19 either one in the reservoir which Exxon is completed in.

20 Q All right, let's turn, sir, to what has
21 been marked as Pennzoil Exhibit Number Three and have you
22 identify and describe that exhibit.

23 A This exhibit is the bottom pressure his-
24 tory of our Viersen No. 1. As you can see, it was completed
25 in August, 1985, with an original pressure just slightly

1 over 2450. The decline was rather rapid and the latest bot-
2 tom hole pressure information we had on August the 1st,
3 1986, the pressure was below 1400 pounds.

4 Q Let's turn now, sir, to Exhibit Number
5 Four and have you identify and describe that exhibit.

6 A Exhibit Number Four is a similar bottom
7 hole pressure history of our Viersen No. 2. It again was
8 initially completed with a bottom hole pressure of in excess
9 of 2450 pounds in November of 1985; however, you can see
10 that its bottom hole pressure declined much more rapidly and
11 that the latest pressure point that we had in April, 1986,
12 which is the point that we installed artificial lift
13 equipment on the well, its bottom hole pressure was below
14 800 pounds.

15 Q As we turn to Exhibit Number Five, would
16 you identify and describe that exhibit?

17 A Exhibit Five is a similar bottom hole
18 pressure history for our Shipp No. 1 Well. You can see that
19 its bottom hole pressure again initially was above 2450 and
20 it has had a much sower decline rate.

21 We have shared our bottom hole pressure
22 information with Tipperary, the offset operator to the west,
23 and they have shared their bottom hole pressure with us, and
24 their bottom hole pressures correspond very closely with our
25 Shipp No. 1.

1 Q Based upon this information what do you
2 conclude with regards to this data?

3 A Exhibit Four clearly indicates that the
4 Viersen 2 is in a separate pod by itself. Its bottom hole
5 pressure is much lower than either the Vierendeon 1 or the
6 Shipp 1.

7 We also, by running a pressure on the
8 same date, on August the 1st, 1986, have concluded that the
9 Viersen 1 and the Shipp 1 are in separate reservoirs. Their
10 pressures vary by almost 400 pounds.

11 Q What is the approximate current producing
12 rate on the Viersen No. 2 Well?

13 A Approximately 30 barrels a day.

14 Q And do you have an estimate, Mr. Bruce,
15 of the approximate area that that well is able to drain and
16 develop?

17 A Using our production decline curve and
18 volumetrics, we calculate approximately 10 acres.

19 Q What is your understanding with regards
20 to the current producing rates of the Exxon well?

21 A Like Mr. Hair before me, we aren't quite
22 sure. Much of the data we have through the Commission shows
23 it producing top allowable at least down until about August;
24 however, we have witnessed in the field that the well appar-
25 ently had declined some and has had a pumping unit installed

1 upon it; however, we are also of the -- or have the under-
2 standing that the well has been acidized and returned to a
3 flowing status and its rate we do not know.

4 Q Is it common for your company to acidize
5 its Shipp-Strawn wells?

6 A We acidize all of our Strawn wells.

7 Q In terms of correlative rights, Mr.
8 Bruce, will the proposed unorthodox location for your Vier-
9 sen No. 3 Well allow you the opportunity to fairly compete
10 with the Exxon well?

11 A Yes, it will, if we're allowed to drill
12 and complete a well as close to the lease line as they are.

13 Q With regards to a penalty on the Pennzoil
14 location for this well, do you have a recommendation to the
15 Commission?

16 A We believe that the well should not be
17 penalized due to its location request.

18 Q With regards to the Phillips tract to the
19 west of your location, if their unorthodox well location is
20 approved, will you be able to fairly compete with that well
21 using the Viersen 3 location in the absence of a penalty on
22 the Phillips tract?

23 A No, we will not.

24 Q Were Exhibits Three, Four, and Five com-
25 piled by you or prepared under your direction and supervi-

1 sion?

2 A Yes, they were.

3 Q And to the best of your knowledge, infor-
4 mation, and belief, those documents are accurate and cor-
5 rect?

6 A Yes, sir.

7 MR. KELLAHIN: That concludes
8 my examination of Mr. Bruce.

9 We move the introduction of Ex-
10 hibits Three, Four, and Five.

11 MR. STAMETS: Without objection
12 they will be admitted.

13 Are there questions of Mr.
14 Bruce?

15 Mr. Padilla.

16

17 CROSS EXAMINATION

18 BY MR. PADILLA:

19 Q Mr. Bruce, have you done any interfering
20 -- interference tests between the Viersen No. 1 and the Vier-
21 sen No. 2 wells?

22 A Yes, we have. We attempted and performed
23 a fairly expensive interference test between the Viersen 1
24 and Viersen 2 and proved to our satisfaction that they were
25 not in communication very early in the life of their produc-

1 tion.

2 We believe that the pressure decline
3 curves more than confirm that conclusion from those inter-
4 ference tests.

5 Q Mr. Bruce, let me show you the -- I be-
6 lieve it was Exhibit Number Five that was introduced at the
7 -- by Pennzoil in the hearing to extend the 80 spacing
8 rules.

9 Can you identify that --

10 A Yes, I believe that was --

11 Q -- exhibit?

12 A -- Exhibit Five. It was also an exhibit
13 in our original case for 80-acre rules. It is a bottom hole
14 pressure build-up analysis, a Horner plot, of the pressure
15 build-up in the Viersen No. 1 and from it you can see the
16 calculation using the slope of 18 psi per cycle, calculating
17 the permeability of 43 millidarcies.

18 Q Does that permeability measure -- does
19 that exhibit measure permeability at the well or away from
20 the well?

21 A I believe the bottom hole pressure infor-
22 mation measures the permeability, the effective permeability
23 as deep into the reservoir as the pressure transient is
24 traveling.

25 In other words, if the -- if the depth of

1 investigation, depending upon the time, is 200 feet, then
2 it's using an average permeability for the entire reservoir
3 from the wellbore to that 200 feet.

4 Q And that concludes that the permeability
5 is 43 millidarcies, is that correct?

6 A Yes, it does, to a depth of investigation
7 of whatever it was in the Viersen No. 1.

8 Q But that does not show that that is the
9 permeability at the wellhead -- the wellbore.

10 A As I said, it -- the calculation shows an
11 average permeability for the reservoir, the entire thickness
12 wellbore to the depth of investigation.

13 We have core data which shows permeabil-
14 ity that also was submitted, if you are looking for actual
15 permeability at the wellbore.

16 Q Do you know what the depth of investiga-
17 tion was for the Viersen No. 1 in calculating this exhibit?

18 A No, I do not recall at this time what the
19 depth of investigation was.

20 MR. STAMETS: Other questions
21 of this witness?

22 Mr. Bruce.
23
24
25

CROSS EXAMINATION

BY MR. BRUCE:

Q Referring to Exhibit Four, Mr. Bruce, that curve shows the well will deplete at about 71,000 barrels?

A That is correct.

Q Hasn't testimony already been produced that it's produced approximately 75,000 barrels?

A Yes, sir, that is correct, and I would be happy to explain that difference.

As you probably are aware, when a -- when multiple wells are completed on a lease they are commingled within a given battery and this is the case here, and our production records which have actually been submitted to the State are based on allocations of well tests that are turned in on a periodic basis.

We have more well tests than we turn in to our computing system and because of that the inaccuracies have occurred. We have a very good handle on the amount of production that has come from the Viersen No. 2, and the excess between the current cumulative of about 65,000 that we believe and know to the 75,000 which have been reported to the State is a result of that inaccuracy and that excess has come from the Viersen No. 1 Well.

1 Q Well, isn't it necessary to have accurate
2 records regarding royalties to the State?

3 A Yes, it is, and we are in the process of
4 correcting those records.

5 Q You just testified that Pennzoil's wells
6 averaged 3 degree deviation, is that correct?

7 A I believe that's correct.

8 Q Have you calculated what that amount of
9 deviation would be at a bottom hole 11,300 feet?

10 A I believe if you will review the records
11 where are basically no deviation problems in most of the
12 wells down to approximately 8700 feet. All the deviation
13 problems occur between 8700 and 10,000, and we actually have
14 a deviation survey in our Shipp No. 2.

15 The Shipp No. 2 Well, I don't believe has
16 been identified today in the course of this procedure but it
17 is the dry hole in the northwest corner of the northeast
18 quarter of Section 4.

19 That deviation survey indicated the bot-
20 tom hole location of that well was approximately 80 feet to
21 the north of its surface location and its maximum deviation
22 was 3-3/4 degrees, if my memory serves me correctly.

23 Q If the well did deviate the full 3
24 degrees for 11,300 feet, what would that figure be?

25 A I don't know. I haven't bothered to cal-

1 culate that.

2 Q Could you?

3 A Sure.

4 Q Would you?

5 A I don't see that it has any relevance.

6 MR. STAMETS: Mr. Bruce, we'll
7 be happy to let your witness give us that information.

8 MR. BRUCE: Thank you.

9 Q Now you were aware of the Exxon well's
10 deviation as it was being drilled, were you not?

11 A Yes, sir, I testified to that.

12 Q Did Pennzoil ever protest to Exxon about
13 that deviation?

14 A We did not because we were uncertain as
15 to the extent of its deviation. We did contact Exxon. We
16 requested dipmeter and surveys upon completion and we did
17 finally get the 9500-foot multi-shot survey in April. We
18 got the dipmeter survey in late August and at that point in
19 time we notified and informed Exxon that we were concerned
20 and we filed our case for an Examiner's Hearing which was
21 then subsequently moved to this particular hearing.

22 Q I'll ask you, Mr. Bruce, the same ques-
23 tion I asked Mr. Hair, if Pennzoil does make a top allowable
24 on -- or whatever is allowed by the OCD on the Viersen 3,
25 would Pennzoil shut-in the Viersen 2 and produce the Viersen

1 3 alone until production declined?

2 A And I'll answer essentially the same way
3 that Mr. Hair did. To us it makes no difference. We can do
4 it any way the Commission would like for us to do it. We'll
5 be glad to share an allowable. We'll be glad to shut-in the
6 No. 2, or whatever they wish.

7 Q Have you calculated -- referring to the
8 Viersen 1, or I mean Viersen 2 Well, excuse me, Mr. Hair
9 previously stated that it was about 10 acres in extent, that
10 particular porosity pod.

11 A Yes, that's correct.

12 Q Have you calculated -- made any calculations
13 regarding recoverable reserves under that
14 porosity pod under that well?

15 A The reserve estimate that we are using of
16 75,000 barrels, as explained the difference a moment ago between
17 the current 75 and what we believe the real 75 to be,
18 was used in the volumetric calculation to come up with the
19 10 acres. We have good reservoir pressure and production
20 data which establishes a production decline curve which is
21 very difficult to refute, and that ultimate recovery of
22 75,000 barrels will fit back into the reservoir volume as
23 shown on Mr. Hair's map.

24 Q So you --

25 A Using the --

A Did you make a calculation?

1 A Yes, we did. Using the porosities that
2 he has mentioned, using the recoveries of 30 percent, 25
3 percent. If the recoveries are as high as 42 percent as
4 testified in Phillips in Wednesday's hearing, then this size
5 of the reservoir is even smaller.

6 Q So you used a 25 percent recovery factor.
7 What water saturation did you use?

8 A 15 percent.

9 Q 10 acre pod size, correct?

10 A Maximum.

11 Q Maximum. What average porosity
12 thickness?

13 A 8 percent, the porosity.

14 Q The porosity, what --

15 A We planimetered the shown pod on each
16 Isopach contour.

17 Q So you didn't use an average?

18 A No, we did not.

19 Q Mr. Bruce, is there any evidence of
20 fracturing in this formation?

21 A Our recoveries of cores that we have in
22 the field lead us to believe there is some fracturing;
23 however, most of the fracturing that we see is in the
24 relatively tight areas of the reservoir, or of the Strawn,
25 and we do not detect as much fracturing in the good porosity

1 intervals.

2 Q Would the fracturing increase the perme-
3 ability or the ability of a well to drain the porosity pod?

4 A I would certainly think so.

5 Q Getting back to your reservoir calcula-
6 tion, which reservoir volume factor did you use?

7 A We used a reservoir volume factor of 1.5.
8 I believe testimony was presented Wednesday by Phillips that
9 it was 1.4. We have actual bottom hole samples of oil which
10 we have done pvt work on which show it to be 1.49.

11 Q In your opinion would one well in the
12 Shipp-Strawn Field in a porosity pod drain at least 80 ac-
13 res?

14 A Yes.

15 Q And if the Phillips well and the Pennzoil
16 well are approved, there will be about -- there will be four
17 wells in this approximately 60 or so acre pod?

18 A There'll be four wells in this particular
19 pod if they are all together. Yes, that's correct.

20 As Mr. Hair testified a moment ago there
21 could be more than 60 acres.

22 Q Mr. Bruce, would Pennzoil have requested
23 -- be requesting that this well be drilled without a penalty
24 if the Exxon well wasn't located in this porosity pod?

25 A We would not be here requesting the per-

1 mission to drill a well at all if the Exxon well were not
2 already encroaching toward our lease line.

3 Q But that doesn't quite answer the ques-
4 tion. If you were going to drill this well and the Exxon
5 well was not there, would you still request no penalty?

6 A We would certainly expect a penalty for
7 any well at an unorthodox location if it weren't for the --
8 if there were no correlative rights problems already exist-
9 ing. We have repeatedly taken that position before the Com-
10 mission and that is our position.

11 Q If the Exxon well were not there would
12 you be asking to drill at a legal location?

13 MR. KELLAHIN: I'm going to ob-
14 ject to the question. It asks for an assumption that's not
15 relevant to this case.

16 The only reason we're here is
17 because it is there, Mr. Chairman. He's asking this witness
18 to assume it's not there.

19 MR. BRUCE: Well, I think --

20 MR. KELLAHIN: It it's not
21 there, we're not here.

22 MR. BRUCE: I think it's rele-
23 vant to question of penalty on this well.

24 MR. STAMETS: Mr. Bruce, are
25 you asking would Pennzoil under normal circumstances be

1 willing to drill within 150 feet of the center of the quar-
2 ter quarter?

3 MR. BRUCE: Yes.

4 MR. STAMETS: That seems a fair
5 question.

6 A If we believed that there were another
7 pod south of our Viersen 2, we would -- and if the Exxon
8 well were not there, we would be asking to drill the well at
9 an orthodox location or if we chose to come unorthodox, we
10 would expect a penalty.

11 Q And due to the high permeability of this
12 reservoir, would a well at an orthodox location generally
13 drain 80 acres or a significant portion thereof?

14 A I'm sorry, I did not understand your
15 question.

16 Q Assuming a well at an orthodox location
17 in -- the Viersen 3 Well at an orthodox location.

18 A If we discovered the new pod with an or-
19 thodox location as Viersen No. 3, I would still believe that
20 it would be capable of draining the entire pod no matter how
21 big it is, unless it's significantly bigger than any we've
22 found to date.

23 Q Did Pennzoil do an economic evaluation of
24 this well to determine justification for drilling the well?

25 A Yes, we have.

1 Q And in that evaluation did Pennzoil as-
2 sume any penalty assessment?

3 A We have run multiple economic cases for
4 several alternatives, several situations. I suppose one of
5 them could be tailored to a penalty situation. We know how
6 many barrels it takes to pay out a well. We know how many
7 barrels the average recovery is, and we've run multiple
8 cases in between.

9 Q Were any specific penalty figures used?

10 A No.

11 Q So there was no specific penalty figure
12 at which you concluded that the proposed well would be
13 uneconomic.

14 A No, I did not.

15 Q Just for my own edification, do I
16 understand that you did not calculate the reserves of oil
17 under the Viersen 3/Exxon pod?

18 A No, we have not. We can easily calculate
19 it as drawn on our map; however, as Mr. Hair testified,
20 that's only a single interpretation. We may have more
21 productive acreage under that tract. Phillips may have more
22 productive acreage under its tract. Exxon could certainly
23 have more acreage under its tract, as shown, and therefore
24 we have not estimated an ultimate recovery for that
25 reservoir.

1 I would like to. That's why I requested
2 the bottom hole pressure from Exxon but I was not allowed
3 that (unclear).

4 Q There's no requirement that Exxon give
5 you that information, is there?

6 A Certainly not.

7 Q Has Pennzoil estimated the life of the
8 Viersen 3 Well if drilled at its proposed location?

9 A No, because we have not estimated the re-
10 coverable reserves.

11 Q Just a couple more, Mr. Bruce.

12 I wasn't listening too closely when Mr.
13 Hair was testifying before. How many wells does Pennzoil
14 have in the Shipp-Strawn, productive -- producing wells?

15 A Three. We are completing our fourth,
16 which is the little circle up in the northwest quarter of
17 the northwest quarter.

18 Q Of Section 3?

19 A Of Section 3, yes, to the east.

20 Q And of those three current wells, have
21 they all paid out?

22 A Yes, they have. Fortunately the bulk of
23 the production was produced when oil prices were \$28.00.

24 Q And the Viersen 2 was economical, was it
25 not?

1 A Yes, because, as I stated, it recovered
2 the pay out volume of oil of about 45,000 barrels while the
3 price was still \$28.00. I think at today's prices it would
4 just barely pay out at 75,000 barrels.

5 Q Mr. Bruce, when we talked just shortly --
6 a short while ago about your calculations on the well
7 evaluation, how could you run your well economies without
8 calculating the life of a well and reserves?

9 A Our well economics are based on an
10 average recovery in this particular area of 320,000 barrels
11 per well. That's what we use it on; that's what we use in
12 our economics.

13 We also know that at \$28.00 it took
14 approximately 40,000 barrels to pay out the well and at
15 today's prices it takes approximately 70 or 75,000 barrels.

16 Q So for the Viersen 3 you're going to
17 assume or Pennzoil is assuming that it will recover 320,000
18 barrels.

19 A Our econmics have always been based on
20 the average recoveries. We've done numerous studies in the
21 area that show that.

22 Q Getting back to your calculations on the
23 Viersen 2, you stated that for porosity you did
24 planimentering. What figure did you come up with your --

25 A For what?

1 Q When you planimetered your porosity?

2 A For acres?

3 Q Yeah.

4 A 10, total. There's 10.something acres
5 within the zero contour shown on Mr. Hair's map.

6 Q And what was the maximum porosity thick-
7 ness?

8 A 77 feet for the central, the middle con-
9 tour.

10 MR. BRUCE: I don't think I
11 have anything further, Mr. Chairman.

12 MR. STAMETS: Mr. Ives, do you
13 have any questions?

14

15 CROSS EXAMINATION

16 BY MR. IVES:

17 Q Mr. Bruce, it was your previous testi-
18 mony, was it not, that given the presence of Exxon No. 2
19 Well you feel that no penalty should be imposed on Pennzoil
20 if it is allowed to drill at its proposed location?

21 Is that correct?

22 A That's correct.

23 Q And if the Exxon well were not there, and
24 Pennzoil drilled its well at the proposed location, you
25 would be amenable to the imposition of a penalty, is that

1 correct?

2 A Again, you're asking me to presuppose. I
3 wouldn't be here but if I were asking it for 150, I would
4 expect a penalty.

5 Q Notwithstanding that, and given the
6 presence of the Exxon well, Pennzoil's position is that a
7 penalty should be imposed upon Phillips, is that correct, in
8 connection with its proposed location to the west?

9 A Yes, because Phillips does not have a
10 well offsetting it at 140 feet, as Phillips is requesting to
11 drill a well.

12 Q Could you estimate for me, if you would,
13 the productive acreage for your proposed well on the Penn-
14 zoil tract, as shown on Exhibit One?

15 A As Mr. Hair testified, this is only one
16 interpretation and we have no pressure data, and I've testi-
17 fied we have no pressure data, to confirm that this is the
18 right interpretation or the right size, but as it is shown,
19 and we've put into testimony, on some of your Exhibit Ones
20 it's actually shown that Pennzoil has 22.1 acres, or 772-
21 acre feet of reservoir there.

22 Q Is that total acreage only with regards
23 to your proposed well location or also your Viersen 2 loca-
24 tion?

25 A Only within the zero line of the pod as

1 illustrated by Mr. Hair's map to the south.

2 Q So that does not include any acreage in
3 connection with Viersen No. 2.

4 A Correct.

5 Q And your estimated productive acreage for
6 the Phillips tract based on your Exhibit Number One is 1.9
7 acres, is that correct?

8 A That's correct.

9 Q And notwithstanding those two facts you
10 propose that no penalty be imposed on Pennzoil in connection
11 with its proposed location but that a penalty be proposed on
12 -- imposed upon Phillips in connection with its proposed
13 location, is that correct?

14 A I believe that's what we've said over and
15 over, yes.

16 Q How far off the quarter quarter section
17 line is your Viersen No. 2 Well?

18 A If I recall correctly, the surface
19 location is 20 feet south of the quarter quarter section
20 line. It could be 10; I'm not absolutely sure.

21 Q And do you know what the distance from
22 the east/west lines are?

23 A No, I do not recall. It's more than 660,
24 if I remember right. It was 330 feet from the unit, eastern
25 proration unit line.

1 Q And why was that drilled, that well
2 drilled at that unorthodox location?

3 A When we first began our exploration in
4 this area, we felt like that we needed, because of the
5 small, limited extent of these pods, we needed the flexibil-
6 ity to get within 330 feet of an 80-acre proration unit. We
7 asked for those rules at the original field rule hearing.
8 That field rule hearing was -- those field rules were ap-
9 proved initially but due to some legal problems they were
10 later revised to the 150 feet from the center of a quarter
11 quarter section line; however, all of the locations that had
12 been permitted up to that point in time, including the Exxon
13 well at 330 feet, and the Viersen 2 at 330 from its eastern
14 proration unit, were grandfathered in as standard locations,
15 except that we had taken the double precaution of having an
16 unorthodox location for the Viersen 2 at that point in time,
17 also, in case the field rules were not approved. That was
18 some of the history there, but it was drilled at that loca-
19 tion because that's where our seismic said it was the best
20 spot.

21 MR. IVES: That's all the ques-
22 tions I have.

23

24

25

CROSS EXAMINATION

BY MR. STAMETS:

Q Mr. Bruce, on Exhibits Three, Four, and Five it appears as though there's one rate of decline for the first 10,000 barrels and then a changing rate of decline or a different rate of decline after that.

Do you have an explanation?

A Yes, sir, that's very easy to explain if you know the bubble point.

That volume on the earliest pressure decline is associated with the amount of oil that's produced above its bubble point. Once the bubble point occurs, or in reality that pressure turns out to be 50 to 100 pounds below the actual bubble point of the oil, you see this shift in decline rate or bottom hole pressure decline rate, and it's -- it's very simple -- it's very simply the actual results of what a reservoir engineer would do on a material balance not knowing all the reservoir pressure data but knowing the pvt data and the initial bottom hole pressure.

This is -- with that data a reservoir engineer would initially model it, but we've taken the actual data and shown you what the model would look like if we had done it from the beginning.

Q Looking at Exhibits Three and Five, it looks as though there's a slightly different bubble point

1 between those two exhibits.

2 A That's correct. We only have a bottom
3 hole sample with pvt data showing the bubble point in one
4 well and our experience is that the actual point was about
5 100 pounds below what it calculated out on the pvt work, and
6 I think that's reasonable because of the averaging of the
7 reservoir pressure away from the wellbore.

8 However, it is apparent that those bubble
9 points, or effective bubble points, vary somewhat from pod
10 to pod.

11 Q Is that further indication of isolated
12 reservoirs?

13 A I don't think it would be conclusive to
14 that but it certainly supports our belief of that.

15 MR. STAMETS: Are there other
16 questions of this witness?

17 He may be excused.

18 Do you have another witness?

19 MR. KELLAHIN: No, sir, that
20 completes our direct case, Mr. Chairman.

21 MR. STAMETS: I think this is
22 probably a good time to break for lunch and be back here at
23 1:15.

24

25 (Thereupon the noon recess was taken.)

1
2 MR. STAMETS: The hearing will
3 please come to order.

4 Since -- unless there is
5 another desired order, since Mr. Padilla spoke up second,
6 we'll allow him to proceed at this time.

7 MR. PADILLA: Mr. Chairman, I
8 have one witness, and call Mr. Groce.

9
10 JAMES GROCE,
11 being called as a witness and being duly sworn upon his
12 oath, testified as follows, to-wit:

13
14 DIRECT EXAMINATION

15 BY MR. PADILLA:

16 Q Mr. Groce, for the record would you
17 please state your name and by whom you're employed?

18 A James Groce. I'm a petroleum engineer
19 for Henry Engineering, which is a wholly owned subsidiary of
20 Barbara Fasken.

21 Q Mr. Groce, did you testify here in con-
22 nection with the application of Phillips Petroleum Company
23 for an nonstandard location north of your well?

24 A Yes, sir.

25 Q Have you previously testified before the

1 Oil Conservation Division and had your credentials accepted
2 as a matter of record?

3 A Yes, I have.

4 Q As a reservoir engineer?

5 A Yes, sir.

6 MR. PADILLA: Mr. Chairman, we
7 tender Mr. Groce as an expert witness in this case.

8 MR. STAMETS: He is considered
9 qualified.

10 Q Mr. Groce, let's first of all start by
11 having you state what your position with Barbara Fasken is
12 in this case.

13 A Our position in this case is the same as
14 our position in the Phillips application, that the field
15 rules have been established for this field. We feel like
16 the well spacing is adequate to drain 80 acres as presented;
17 that standard locations can effectively protect correlative
18 rights and prevent waste, and that we feel like standard
19 locations should be drilled in this field.

20 Q Mr. Groce, let me hand you what we have
21 marked as Exhibit Number One, and this is also an exhibit,
22 Mr. Chairman, that we tendered in the Examiner Hearing.

23 Mr. Groce, would you tell the Commission
24 what that is and what it contains?

25 A This is an interoffice memo that was

1 directed to me by Mr. Mark Merritt, who is a petroleum en-
2 gineer for our firm and who works under my supervision. It
3 is the results of a pressure build-up analysis that we ran
4 on our Consolidated State No. 3 Well in October of this
5 year.

6 Q What are the conclusions reached in that
7 memorandum, Mr. Groce?

8 A Based on an anlysis of the build-up we
9 determined that the well had very good permeability in the
10 order of 99.7 millidarcies; that based on the production of
11 our well, the bottom hole pressure at the time we drilled
12 the well, and the bottom hole pressure we measured at this
13 time, we made a material balance of the oil in place that
14 this well was effectively seeing; that that amount of oil
15 was considered to be 245,000 barrels of oil in place; that
16 based on the average reservoir parameters that we determined
17 at our wellbore, being 14 feet of pay, 6 percent porosity,
18 and 25.7 percent water saturation, that volumetrically that
19 area would be approximately 87 acres.

20 Q How does that relate to locations as re-
21 quired by the field rules?

22 A That is the field rules, an 80-acre loca-
23 tion, and that would be approximately the size of a prora-
24 tion unit.

25 Q Do you think that it is necessary to have

1 wells located at nonstandard locations in order to adequately
2 ly drain an 80-acre proration unit?

3 A I do not. One of the additional conclu-
4 sions that we made on this analysis based on information
5 furnished to us by Exxon in the pressure analysis of their
6 well, which is the "EX" No. 2, that offsets us to the east,
7 we concluded that we were in communication with their well;
8 that this communication was demonstrated by the fact that
9 their flowing tubing pressure declined very rapidly after we
10 brought our well on production.

11 We asked them to run some interference
12 tests with us to confirm this and they were not willing to,
13 since they were preparing for this hearing, but we made the
14 assumption that since we were in communication that our
15 average reservoir pressure at our well, or measured at our
16 well, would be the same reservoir pressure that their well
17 was seeing.

18 Based on their original reservoir pres-
19 sure and our average reservoir pressure and their cumulative
20 production, we calculated that the original oil in place of
21 their well was approximately 4-million barrels.

22 Volumetrically we calculated that their
23 pay thickness would be some 63 feet. Using 6 percent poro-
24 sity and calculating with the same water saturations, we de-
25 termined that that areal extent would be some 272 acres.

1 Q Mr. Groce, has either Phillips or Penn-
2 zoil presented any evidence in either of these two hearings
3 concerning the nonstandard locations that would show the
4 kind of data you have just testified to?

5 A No, sir.

6 Q Mr. Groce, this morning you heard Mr.
7 Bruce testify that Pennzoil had conducted interference tests
8 between the Viersen No. 1 and the Viersen No. 2 Wells, did
9 you not?

10 A Yes, sir.

11 Q Wouldn't that be the best type of
12 evidence to submit to this Commission to show that there is
13 no communication between those two wells?

14 A Yes, sir, it would.

15 Q Is it your testimony today that the data
16 that is available is sufficient to define the reservoir in a
17 more accurate way than has been proposed by Pennzoil?

18 A Yes, sir. There is evidence available to
19 support our conclusion based on the information we have and
20 that information has been available to Pennzoil and Exxon
21 when they've requested it from us.

22 Q Mr. Groce, what is the size -- what is
23 the acreage dedicated to your well?

24 A 80 acres.

25 Q And how is that configured?

1 A We have an east/west 80-acre proration
2 unit on the north half of the northwest quarter section.

3 Q Mr. Groce, do you have any evidence that
4 leads you to conclude that that 80-acre spacing unit is not
5 entirely productive?

6 A No, sir.

7 Q Mr. Groce, if you will, would you clarify
8 a question that was -- came up this morning concerning your
9 bottom hole location.

10 A Yes, sir. There's been some discussion
11 about the bottom hole location. It did drift north; how-
12 ever, the actual course that it took was a northwest course
13 and then back to the northeast for some 270 feet. The tri-
14 angulation of that bottom hole location, as my best recol-
15 lection is, it's approximately 150 feet north of our surface
16 location.

17 Q Is that still a standard location?

18 A Yes, sir.

19 MR. STAMETS: The surface loca-
20 tion is 660 from the north line?

21 A Yes, sir.

22 MR. STAMETS: And so we've got
23 660 and 150 feet and that 150 feet is what's allowed by the
24 rules.

25 A Yes, sir.

1 MR. STAMETS: Okay. That's
2 basically the same thing that Pennzoil said, it's 510 feet
3 from the line.

4 A Yes, sir.

5 Q Mr. Groce, do you have anything further
6 to add to your testimony?

7 A Yes, sir. I'd like to point to Penn-
8 zoil's Exhibit Number One, which is their Isopach map.

9 As we asked Mr. Hair earlier, they had
10 drawn a standard location on that map. I would like to
11 point out that they have indicated our well has approximate-
12 ly 12 feet of pay on that. Their standard location would be
13 even better than that, having approximately 20 feet from
14 their contour.

15 Our well is a flowing, top allowable
16 well. It has been flowing since late August, some 90 days
17 now, has made allowable every month. Our cumulative produc-
18 tion is in the order of 40,000 barrels. It is in communica-
19 tion, or we feel it is effectively competing with Exxon's
20 well. We feel that that adequately demonstrates that stand-
21 ard locations in this reservoir can compete; that they can
22 protect correlative rights, and that in fact spacing on any
23 closer distance than that could cause interference between
24 the wells, a reduction in the recoveries and therefore
25 waste.

1 Q Well, you brought up something now, Mr.
2 Groce. Let me have you explain to the Commission what you
3 feel with regards to the Viersen No. 2 as being an unortho-
4 dox location. How could that affect waste?

5 A Our interpretation of the rapid depletion
6 of bottom hole pressure in that area could well be the re-
7 sult of interference from other wells that are already pro-
8 ducing in the area. We feel that that unstandard location
9 has resulted in a less than average recovery for the wells
10 in the area and that then very conceivably could be because
11 it is closer than it should be to the other wells.

12 Q What affect would result if you had four
13 wells bunched up around the bottom well in Exhibit Number
14 One of Pennzoil in the common corner of Tracts 1, 4, 3, and
15 2?

16 A That would be the equivalent of spacing
17 on 40-acre spacing units. We've already seen testimony en-
18 tered in the field rules hearing that said that the wells on
19 80-acre spacing do interfere with each other. That would be
20 very close spacing, even closer than 80-acre spacing, and
21 there would be a considerable amount of interference in
22 those wells.

23 Q Would that create -- or could that create
24 reservoir waste?

25 A In -- yes, sir, in the - in draining an

1 80-acre proration unit the most effective method would be to
2 space the wells on normal locations at opposite ends of the
3 80's, if you would, so that they would be a maximum distance
4 from each other. This would maximize recovery in that 80.

5 Putting them closer than that does create
6 interference and the wells competing with each other and
7 having more difficulty draining the edges of the reservoir
8 that are opposite those wells.

9 Q Would having to drill additional wells to
10 adequately drain an 80-acre proration unit constitute econo-
11 mic waste?

12 A Yes, sir.

13 Q Anything further, Mr. Groce?

14 A No, sir.

15 MR. PADILLA: Pass the witness,
16 Mr. Chairman.

17

18 CROSS EXAMINATION

19 BY MR. STAMETS:

20 Q Mr. Groce, you've indicated that you be-
21 lieve the Fasken well is draining 87 acres.

22 A That is correct.

23 Q And is in communication with the Exxon
24 well, which is draining 272 acres.

25 A Yes, sir.

Q I'm not exactly clear on how you can have

A All right, the -- at the time we made the

Q Okay. Does the size of the -- of your

A Yes, sir.

Q If that is the case, and given -- and

A Well, we're not objecting to them drill-

If they conclude in their analysis that

1 they have not affected that lower portion of the 80, then we
2 feel that their evidence indicates that they can do it with
3 a standard location, and because of the excellent permeabil-
4 ity of the reservoir, that a standard location would compete
5 effectively with Exxon's well, even though their location
6 may be closer. The reservoir doesn't care.

7 Q Looking at what has been drawn on
8 Pennzoil's Exhibit Number One, I see it looks as though a
9 standard location would be on about the 20-foot Strawn lime
10 Isopach.

11 A Yes, sir.

12 Q And your well is probably, oh, about 15
13 feet.

14 A Yes, sir.

15 Q And you've indicated that because of the
16 difference in thickness of those between, perhaps, your well
17 and Exxon, Exxon is draining a portion of the reservoir that
18 you're not connected to.

19 A That's correct.

20 Q Now, looking at -- comparing Exxon,
21 Exxon's well and the proposed Pennzoil well, it would appear
22 as though if Pennzoil located at the standard location they
23 might be in the same position you are, not contacting all
24 the potentially drainable reservoir under their tract.

25 A Yes, sir.

1 Q If we accept that because of the Exxon
2 location the oil is being drained from the southwest quarter
3 southwest quarter of Section 4, in a fairly thick section of
4 Strawn, how will Pennzoil be able to protect themselves from
5 drainage in the thicker section unless they locate closer to
6 the thicker portion of the Strawn reservoir?

7 A Well, our -- our position there is that
8 they could take their chances. We took our chances by
9 drilling a standard location. We certainly would have liked
10 to have crowded up next to the lease line and taken advantage
11 of all the pay that was present but we drilled the location
12 recently under the new field rules. We drilled it as
13 a standard location and it was a risk. We took that risk.
14 We feel like the other operators should take the same risk
15 and that they could adequately protect themselves by doing
16 so.

17 Q Pennzoil has indicated they've got 22
18 acres, more or less, productive in the southwest southwest of
19 Section 4. Do you think it would be appropriate to base a
20 penalty on -- on 22 acres?

21 A It would be my opinion that if they were
22 unwilling to drill a standard location, that they would probably
23 be so on the grounds that they think there's very limited
24 areal extent on their acreage and in that respect, yes,
25 I would support a very severe penalty for their application.

1 Q Just a quick analysis would lead me to
2 believe we'd be looking at an allowable which would be some-
3 thing like to 27/28 percent of a standard allowable, maybe
4 120/125 barrels a day. Do you think such an allowable might
5 help to protect the correlative rights of the other owners
6 in the -- in this area of the pool?

7 A Yes, sir.

8 Q I wasn't clear on how locating two wells
9 in this proximity, one the Exxon well and the proposed Penn-
10 zoil well, would cause waste.

11 A This -- this reservoir, because of its
12 very, very good permeability, now I refer to their average
13 of 43, our calculate 99, you're able to cover a wide drain-
14 age area with one well.

15 When you space all those wells in one
16 portion of the reservoir, those wells are going to see the
17 pressure effect, the pressure drawdown, if you will, from
18 each other. That gives them more difficulty in effectively
19 drawing in the reservoir from other areas where other wells
20 might be further spaced away from them. It would be more
21 difficult for them to compete equitably.

22 Q Okay.

23 MR. STAMETS: Are there other
24 questions of the witness?

25 MR. KELLAHIN: Yes, sir.

1 MR. STAMETS: Mr. Kellahin.

2
3 CROSS EXAMINATION

4 BY MR. KELLAHIN:

5 Q Mr. Groce, what effort did you make to
6 prepare the memorandum that's shown on your Exhibit Number
7 One that's signed by Mr. Merritt?

8 A I supervised Mr. Merritt's work in pre-
9 paring the exhibit, or the memorandum.

10 Q The memorandum indicates 272 acres on a
11 volumetric basis underlying the Exxon share of the reser-
12 voir?

13 A That is -- we made no estimate of where
14 that acreage lies. The method that we used does not deter-
15 mine areal extent. We determined the reservoir size from
16 the pressure and volumes at the wellbore itself.

17 Q This represents, then, the total size of
18 the reservoir what we have described as the Fasken/Exxon
19 pod?

20 A Yes, sir.

21 Q And out of that pod, then, you calculate
22 Fasken's share at what percentage or what -- what number of
23 acres?

24 A 87 acres.

25 Q You get 87 acres out of the 272.

1 A Yes, sir.

2 Q Okay. What portion of that acreage
3 number out the 272 do you attribute to the Philips tract?

4 A If I -- I know whether you're going, if I
5 may, I --

6 Q Well, you want to go along with me or you
7 going to go somewhere else?

8 A No, I'm going to go along with you.

9 Q Okay.

10 A If I may qualify this, it's my -- if I
11 were putting this 272 acres on the map, I would put 80 acres
12 under our well, 89 acres under Exxon's "EX" No. 2, and 80
13 acres under the tract north of that in the Pennzoil tract.
14 The remaining would be approximately 32 acres, which the
15 evidence that Phillips indicated in their hearing would be
16 under their tract.

17 Q Well, you've gone where I wanted to go.
18 I was going to ask you how you would divide the reservoir
19 among the various operators and you've given 80 to Exxon, 89
20 to Pennzoil, 32 to Phillips, and 87 to yourself, or 80 to
21 yourself, right?

22 A Yes, sir. I'm not greedy; I'll just take
23 the 80 and the other 7 we'll share.

24 Q Well, we're not greedy either, we just
25 want our fair share. When we talk about Mr. Stamets' ques-

1 tion on Pennzoil's Exhibit Number One, he asked you whether
2 or not it might be equitable to allocate Pennzoil's allow-
3 able based upon 22 acres out of 80.

4 A Yes, sir.

5 Q And ypu thought that was all right.

6 A Yes, sir.

7 Q If we're going to try to allocate produc-
8 tion among the four wells that are drilled or to be drilled,
9 then would it also not be fair to allocate that production
10 to the other three tracts based upon their share of the ac-
11 reage, also?

12 A I have no objections to that.

13 Q So when we look at Tract No. 2, the Exxon
14 tract, if we're allocating 22 acres to Pennzoil, then we
15 could allocate 18 acres to Exxon; we can allocate 18 acres
16 to Fasken; and then about 2 acres to the Phillips tract.

17 A Excuse me, you lost me on that. I
18 thought we were discussing the 272 acres, are we not?

19 Q We shifted gears.

20 A All right. In that case --

21 Q All right.

22 A -- I'd rather you restate your question.

23 Q Okay. Mr. Stamets asked you to give us
24 comments concerning the allocation of the reservoir as de-
25 picted on Pennzoil's Exhibit Number One.

1 A Yes, sir.

2 Q Let's assume that this is some way to al-
3 locate it.

4 A Okay.

5 Q Each of the four tracts has got 80 acres
6 dedicated to it and yet we are going to allocate the acres
7 based upon this plat, and we're going to derive a penalty
8 for the Pennzoil well based upon the relationship that this
9 acreage number, 22 acres, has to an 80-acre allowable. All
10 right?

11 A Right.

12 Q And you said that was all right.

13 A Yeah, as I said, I did not follow your
14 question because I -- since I was not privileged to te draw-
15 ing of those acreages, I could not comment to that question.

16 If it's Pennzoil's contention that they
17 only have 22 acres on their tract, then I think that's a
18 reasonable penalty based on what they have entered in evi-
19 dence, but before I would penalize everyone else's well, I
20 think that we should discuss, review, and look at the size
21 of the reservoir in those tracts.

22 Q Well, don't misunderstand me, I don't
23 adopt that approach, either, I'm just following up on Mr.
24 Stamets' suggestion that --

25 A Right.

1 Q -- at least one way to conceptualize a
2 solution for balancing the equity --

3 A Uh-huh.

4 Q -- would be to look first of all at the
5 Pennzoil tract. If you want to allocate it based upon this
6 plat, for which you and I both disagree, then we take 22 ac-
7 res out of the 80, and I believe your answer was, yeah, that
8 was okay, we could derive a penalty based upon some type of
9 acreage factor.

10 A My answer was that if Pennzoil does not
11 drill a standard location, then I would say it's because
12 they do not believe that they can effectively drain their
13 acreage from a standard location, which leads me to believe
14 that they do not have a full 80 acres available.

15 We are not advocating a penalty. We are
16 advocating a standard location.

17 Q Okay. Is your position going to be the
18 same if that Exxon well was 150 feet from you as opposed to
19 being 150 feet from the Pennzoil tract?

20 A As far as I know now, from the informa-
21 tion my boss has provided me, yes, sir, it would be.

22 Q Okay.

23 A They were grandfathered into the field.
24 We understand that it's difficult to make retroactive rules
25 and that we feel that if the field rules are adopted by the

1 Commission they are considered equitable and we believe in
2 abiding by them unless there is something that we feel is
3 very, very mitigating in the circumstances.

4 Q So if you had the Pennzoil acreage you
5 wouldn't propose to drill 150 feet off the Exxon, the common
6 property line between Exxon and Phillips.

7 A No, sir.

8 Q You'd move back to a standard location.

9 A Yes, sir.

10 Q You want to trade acreage with us?

11 A If you'll give us the cumulative that
12 you've gotten off of your well.

13 Q What is the -- what is -- what is the
14 distance, and I don't think I have it yet on my map, what is
15 the distance from your Fasken well to the common property
16 line that separates you from the Exxon spacing unit?

17 A 512 feet.

18 Q You're 512 from that line?

19 A Yes, sir.

20 Q And how far away is the Exxon well from
21 your common line?

22 A I believe it's 330 but I don't -- is it
23 660?

24 Q I kind of think it's 660.

25 A I'll accept that. I'd have to look at

1 the location again. I don't have that -- well, I've got it
2 in my notes but if it's 660, I'll accept that.

3 Q It appears that give or take 100 feet,
4 you and the Exxon well, and the Fasken well are about the
5 same distance from the common line between the two.

6 A Yes.

7 Q Mr. Groce, when we look at that line that
8 runs vertically between the east side of your spacing unit
9 and the west side of the Exxon spacing unit, and as we con-
10 tinue that line on up north, it's the same line that divides
11 Phillips from the Pennzoil tract.

12 A Yes.

13 Q Is that true?

14 A Yes.

15 Q All right. When we look at the Pennzoil
16 location, it is 660 from that common line, at least that's
17 the proposed location on the surface, and that is greater
18 distance from that line than is permitted from -- from the
19 existing pool rules, is it not?

20 A Yes, sir.

21 MR. KELLAHIN: I have no fur-
22 ther questions. Thank you.

23 MR. STAMETS: Are there ques-
24 tions of this witness?

25 He may be excused.

1 MR. PADILLA: Mr. Examiner, we
2 tender Exhibit Number One into evidence.

3 MR. STAMETS: Exhibit One will
4 be admitted.

5 Let's see, Mr. Bruce, I think
6 you're next.

7 MR. BRUCE: Yes, Mr. Chairman.
8 First, we have an additional witness who needs to be sworn.

9 MR. STAMETS: Okay.

10

11 (Witness sworn.)

12

13 WILLIAM T. DUNCAN, JR.,
14 being called as a witness and being duly sworn upon his oath,
15 testified as follows, to-wit:

16

17 DIRECT EXAMINATION

18 BY MR. BRUCE:

19 Q Would you please state your full name and
20 city of residence?

21 A William T. Duncan, Junior, and my city of
22 residence is Midland, Texas.

23 Q And what is your occupation and who is
24 your employer?

25 A I'm a reservoir engineer with Exxon Cor-

1 poration.

2 Q And have you previously testified before
3 the Division or the Commission as a reservoir engineer and
4 had your credentials accepted?

5 A Yes, I have.

6 Q And have you reviewed engineering matters
7 at least with respect to the pod of porosity surrounding the
8 Viersen 2 Well, as put forth by the Pennzoil witnesses to-
9 day?

10 A I've been present for the testimony by
11 Pennzoil and have reviewed their exhibit, Exhibit One.

12 MR. BRUCE: Mr. Examiner, is
13 the witness considered qualified?

14 MR. STAMETS: He is.

15 Q While you were present, Mr. Duncan, did
16 you listen to the testimony of Mr. Paul Bruce regarding the
17 size of the porosity pod underneath the Viersen 2 Well?

18 A That's correct.

19 Q And did you also review Pennzoil Exhibit
20 Number One?

21 A Yes, I did.

22 Q And did you note the numbers given by Mr.
23 Bruce regarding calculations on the Viersen 2 pod size?

24 A Yes, I did.

25 Q Did you make a calculation with the num-

1 bers given by Mr. Bruce?

2 A Yes, I did. I took the numbers that were
3 included in Pennzoil's testimony for the number of acres in
4 that pod, the porosity, average porosity in that pod, the
5 water saturation, the recovery factor, the oil formation
6 volume factor, and the recoverable reserves, and saw for the
7 height of the pod, it would be the average thickness of the
8 pod.

9 Q And are your calculations contained on
10 Exxon Exhibit One-B?

11 A Yes, they are.

12 Q And what do those numbers show?

13 A It shows that the pod thickness would
14 have to average 80.7 feet for the pod to be as described in
15 Pennzoil's testimony.

16 Q In other words, for the pod to be 10 ac-
17 res in size.

18 A That's correct.

19 Q And the testimony of Pennzoil shows that
20 the maximum pod thickness is 77 feet, is that correct?

21 A That's correct.

22 Q From that -- from your calculations what
23 do you -- what conclusion do you draw regarding the size of
24 the Viersen 2 pod?

25 A One of the variables, another of the var-

1 iables in the volumetric equation is probably in error. Be-
2 cause of the one variable that is particular to this pod is
3 the area, and therefore the thickness of the pod if probably
4 less than the 77 -- the average thickness if probably less
5 than the 77 feet shown in the Viersen No. 2 and therefore
6 the acreage for the pod is probably much larger.

7 Q And was Exhibit One-B prepared by you?

8 A Yes, it was.

9 MR. BRUCE: At this time I ten-
10 der Exhibit One-B into evidence, Mr. Chairman.

11 MR. STAMETS: Exhibit One-B
12 will be admitted.

13 MR. BRUCE: I have no further
14 questions of the witness at this time.

15 MR. STAMETS: Are there ques-
16 tions of Mr. Duncan?

17 MR. KELLAHIN: Yes, Mr. Chair-
18 man.

19
20 CROSS EXAMINATION

21 BY MR. KELLAHIN:

22 Q Mr. Duncan, have you conducted similar
23 volumetric calculations on any of the other pods depicted on
24 this exhibit?

25 A No, I have not.

1 Q Have you conducted volumetric calculations
2 for any of the Isopachs prepared by your company with
3 regards to any well in this pool?

4 A No, I have not.

5 Q Prior to today have you been involved
6 with any of the engineering aspects of the Exxon well?

7 A Only to the degree that I helped prepared
8 the testimony but I did not do the engineering.

9 Q Were you involved in the drilling, engineering
10 with regards to the drilling of the Exxon well?

11 A No, I was not.

12 Q Is Exxon a participant as a working
13 interest owner in any other well in the Shipp-Strawn Pool
14 other than the Exxon well we've described within Tract Number
15 2?

16 A (Unclear).

17 MR. KELLAHIN: I have nothing
18 further.

19 MR. STAMETS: Any other questions
20 of this witness? He may be excused.

21

22 DAVID ANDREWS,
23 being called as a witness and being duly sworn upon his
24 oath, testified as follows, to-wit:

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

DIRECT EXAMINATION

BY MR. BRUCE:

Q Mr. Andrews, would you please state your full name and city of residence?

A Yes. David John Andrews. I reside in Midland, Texas.

Q And what is your occupation and who is your employer?

A I'm a petroleum geologist with Exxon Corporation.

Q And would you please state briefly your educational and employment background?

A Yes. I received a Bachelor of Science degree in geology from the University of Texas. I graduated in the fall of 1980.

In the spring of 1981 I went to work for Exxon Corporation and for the last 5-1/2 years I've been employed as a geologist for Exxon.

The first four years of that time was spent in Oklahoma City in our Oklahoma City Exploration District. As a geologist there, of course generated wells, analyzed competitive proposals and did regional geological studies.

The last year and a half has been spent

1 in the Midland District and I've been working there as a
2 production geologist. While there my duties have been fair-
3 ly similar to those that I was occupied in at Oklahoma City.

4 Q And have you been qualified as an expert
5 witness before any other state commissions?

6 A Yes, I have. I've been qualified before
7 this one and before the Railroad Commission in Texas.

8 Q And when were you qualified for this one?

9 A That was two days ago in the Phillips
10 hearing that's been referred to earlier.

11 Q Case 9036?

12 A I believe that's right, yes, sir.

13 Q And are you familiar with the geology in
14 Case 9003?

15 A Yes, sir, I am.

16 MR. BRUCE: Mr. Chairman, I
17 tender the witness as an expert geologist.

18 MR. STAMETS: He is considered
19 qualified.

20 Q Mr. Andrews, I'm handing you what has
21 been marked as exhibit -- Exxon Exhibit Number One and would
22 ask you to briefly describe its contents.

23 A Yes. This is a plat of the area around
24 the Shipp-Strawn Field. The Shipp-Strawn Field is located
25 in Sections 4 and 9 of 17 South, 37 East.

1 In those two sections in an adjoining
2 section, Section 3, we've indicated the wells that have pen-
3 etrated the Strawn formation to the best of our knowledge.

4 I'd like to point out one additional well
5 that was spotted on the Pennzoil exhibit. That's the well
6 to the north of the dry hole symbol in the west part of Sec-
7 tion 3. That was their, I believe, Meyers Well. It has re-
8 cently TD'ed in the Strawn we know, but we do not know if
9 the well is completed yet or not.

10 We've also put in Sections 4 and 9, to
11 the best of our knowledge, the leaseholdings of all com-
12 panies in these two sections. We've also pointed out the
13 Pennzoil unorthodox proposed location and the Phillips unor-
14 thodox proposed location.

15 To the north we've indicated an area in
16 Sections 20 and 21 of 16 South, 37 East. Here recently Tex-
17 aco proposed an unorthodox location. We feel it's very sim-
18 ilar to the Pennzoil proposed unorthodox location here.

19 This was Case 8993 and we'll be referring
20 to this case a little bit later on in the testimony.

21 Q Okay. Mr. Andrews, I now hand you Exxon
22 Exhibit Number Two and would you please describe that brief-
23 ly?

24 A Yes. This is a net porosity map of the
25 Strawn formation in Shipp-Strawn Field. The scale of this

1 map is one inch is equal to 1000 feet. Contour interval is
2 25 feet and we used a 4 percent porosity cutoff in preparing
3 this map.

4 We've shown the Strawn producers design-
5 nated by the green dots on the map. We'd like to point out
6 one well in the northwest quarter of the northwest quarter
7 of Section 4, the Tidewater State U-1 Well. We have that
8 designated as a Strawn producer; however, that has been
9 plugged and abandoned and it is no longer producing in the
10 Strawn formation.

11 As you can see, the geology here, accor-
12 ding to our interpretation, is fairly similar to the one
13 presented by Pennzoil earlier, with the exception of the
14 lower pod in Sections 9 and 4 that the "EX" No. 2 Well, the
15 Exxon well, and the Fasken No. 3 Consolidated State Well are
16 producing out of.

17 So I'd like to briefly explain our basis
18 for orienting the pod this way. Of course we did look at
19 all the well data in the area and we looked at the well data
20 specifically on these two wells and that gave us two points,
21 we felt, that were in a common reservoir.

22 We also had dipmeters on these two wells
23 and unlike the Pennzoil testimony earlier, we feel that
24 there is a general relationship between structure on top of
25 the Strawn and formation of porosity within the Strawn.

1 This reflects the carbonate mound nature of the deposition
2 of the Strawn. We feel like where we had maximum Strawn
3 mound growth we tended to have porosity developed in the
4 Strawn; therefore structures on top of the Strawn indicate
5 maximum mound growth and you tend to find porosity in these
6 areas.

7 The dipmeter on our Exxon well showed dip
8 primarily down dip to the east, going up dip to the west.

9 On the Fasken 3 Well we saw just the op-
10 posite relationship. It showed the top of the Strawn being
11 structurally higher to the east.

12 We therefore concluded that there was a
13 structure higher than both the two wells in between the Ex-
14 xon well and the Barbara Fasken well. Therefore we have
15 placed the thickest part of the reservoir in between these
16 two wells.

17 Q And is it your general opinion that the
18 reservoirs in this pool have a relatively small areal ex-
19 tent?

20 A Yes, it is. We do not think that these
21 individual porosity pods extend over large distances.

22 Q Would you please now refer to Exxon Exhi-
23 bit Two-A and describe that --

24 A Yes.

25 Q -- for the Commission?

1 A This is a structure map on top of the
2 Strawn formation. Contour interval here is 50 feet. This
3 map is also a one inch equal to 1000 foot scale.

4 The overall structure in the Shipp-Strawn
5 Field is regional dip down dip to the east. As you can see
6 on this map, we see two small structures in the Strawn for-
7 mation. In the northwest quarter of Section 4 we see a
8 structure designated by the closed contour of the -7200
9 mark, around which the two Tipperary wells are producing.

10 Down to the south in Section 9 we see an-
11 other structure. This is where the Fasken No. 3 Consoli-
12 dated State Well is producing.

13 Trending off this structure to the north-
14 east we see a structural nose along which the Exxon well and
15 the two Pennzoil Viersen wells are located and, of course,
16 those are Strawn producers.

17 We feel that this map supports our opin-
18 ion that there is a general, not a definite, but a general
19 relationship between structure on top of the Strawn and the
20 formation of porosity within the Strawn formation.

21 Q Mr. Andrews, were you listening to Mr.
22 Duncan testify?

23 A Yes, I was.

24 Q And you heard him testify that based on
25 his figures the Vierseon 2 porosity pod could be slightly

1 larger than as testified by Pennzoil?

2 A Yes, sir.

3 Q In your opinion what would be the effect
4 on the Exxon/Fasken pod by having the Viersen 2 pod larger
5 than indicated?

6 A We feel that any enlargement of that par-
7 ticular pod would have to some degree come down to the
8 south. If this were the case, then, of course, since it has
9 been established that there is no communication between the
10 Exxon well and the Viersen 2 well, that the pod that Exxon
11 and Fasken well is producing out of would have to be pushed
12 down to the south to respect that data.

13 Q Mr. Andrews, is there any evidence of
14 fractures in the Strawn reservoir?

15 A Yes. On core reports that we've seen on
16 the Pennzoil Viersen No. 2 and the recent well, the Meyers
17 well, which again is not spotted on this map, but it is lo-
18 cated to the north of the Waldron No. 1, which is to the
19 east of Section 4, the core reports indicate that there are
20 fractures in the Strawn formation.

21 I believe a Pennzoil witness testified
22 earlier that there were fractures in the Strawn formation.

23 We think that, of course, the presence of
24 fractures in the Strawn formation greatly increases the per-
25 meability and resulting drainage area of any well that's

1 producing out of the Strawn formation.

2 Q Does Exxon request, if -- if indeed the
3 Pennzoil proposed location is approved, does Exxon request
4 daily drilling reports and a directional survey on the well
5 and what is the reason for this, and please refer to Exhibit
6 Number Three.

7 A Yes, sir. Yes, we do request daily
8 drilling reports and directional surveys on the proposed un-
9 orthodox Pennzoil location should it be drilled.

10 The reason for this, and again we're
11 looking at Exhibit Number Three here, we've drawn the Penn-
12 zoil unorthodox proposed location and a circle around that
13 location. That circle indicates all possible bottom hole
14 locations of the proposed well without the well ever exceed-
15 ing a 5 degrees deviation.

16 As you can see, a large number of the
17 possible bottom hole locations of that well falls on the Ex-
18 xon lease. In order to insure that that well does not drift
19 to the south and cross our lease line, we would like to mon-
20 itor the drilling of the well. That's why we require the
21 daily drilling reports and we'd also like a directional sur-
22 vey on the well when it reaches total depth.

23 Q Mr. Andrews, do you have an opinion as to
24 a penalty which should be assessed against production from
25 Pennzoil's Viersen No. 3 Well if this application is ap-

1 proved, and I would refer you to both Exhibits Four and
2 Five?

3 A Yes, we do. We've calculated a potential
4 penalty in two methods.

5 The first one is indicated on Exhibit
6 Number Four. Exhibit Number Four shows the acreage
7 distribution of the Strawn reservoir productive in the
8 Fasken well and the Exxon well. This just looking at the
9 number of productive acres.

10 As you can see at the top of the page,
11 according to our interpretation Pennzoil has approximately
12 13 productive acres of that pod on their lease.

13 We calculate the penalty by taking that
14 13 productive acres and dividing it by 80 acres, which is
15 the proration spacing unit for the Shipp-Strawn Field. That
16 gives a production limitation factor of .16, a penalty of 84
17 percent of top allowable. The production limitation would
18 therefore be .16 times 445 barrels of oil per day, which is
19 the top allowable in the field right now, and that would
20 result in an allowable of 71 barrels of oil per day for the
21 Pennzoil location. This would be applied to the 80-acre oil
22 proration unit.

23 This method was used in a similar case in
24 this area, Order No. R-8239.

25 The second method that we used to

1 calculate a penalty is shown on Exhibit Number Five. This
2 shows a volume distribution of the Strawn reservoir produc-
3 tive in the Fasken and Exxon wells. So here we looked at
4 not only the acres but the total acre feet of reservoir.

5 At the top of the page we indicate that
6 Pennzoil has approximately 360 acre feet of productive
7 reservoir on their lease. Total volume of the productive
8 reservoir, according to our interpretation is 2509 acre
9 feet.

10 To calculate this penalty we took Penn-
11 zoil's 360 acre feet, divided it by 2509 acre feet, and came
12 up with a production limitation factor of .14; resulting
13 penalty would be 86 percent. Production limitation would be
14 in an allowable of 62 barrels of oil per day. This would
15 also be applied to the 80-acre proration unit.

16 We feel that this is a very reasonable
17 penalty considering that Pennzoil used a similar penalty
18 calculation when they protested or excuse me, when they
19 wanted to assess a penalty to the Texaco well to the north
20 that we pointed out on Exhibit Number One.

21 In that case, 8993, the proposed Texaco
22 well was 150 acres from the lease line and Pennzoil recom-
23 mended, I believe, a 94 percent penalty. The OCD did assess
24 a penalty of 86.6 -- excuse me, 87.6 percent. We feel that
25 the methodology that Pennzoil used, which was similar to

1 this one, was fair. We feel that the OCD penalty assessed
2 to Texaco was fair, and we feel that that methodology is ap-
3 plicable in this case, also.

4 Q In Exhibit Four, Mr. Andrews, why did Ex-
5 xon calculate this penalty based on 80 acres?

6 A We calculated the penalty based on 80 ac-
7 res because of Pennzoil's request of simultaneous dedication
8 and a shared allowable. We were concerned about the pos-
9 sibility of perhaps they make a very good well in their
10 Viersen No. 3 location. They could, as we've mentioned
11 earlier, shut in the Viersen No. 2 and produce the entire
12 allowable, whatever they receive, in their well to the
13 south. We wanted to make sure, in the event of this happen-
14 ing, that the allowable given to the 80-acre unit was what
15 we felt was equitable.

16 Q Referring to Pennzoil Exhibit Number One,
17 if you would refer to that, what would be the approximate
18 porosity thickness at a legal location on the Pennzoil Exhi-
19 bit Number One?

20 A It would be somewhere between 20 and 40
21 feet, in that vicinity, approximately.

22 Q Does this compare -- how does this com-
23 pare with the Fasken well?

24 A It would compare favorably with the Fas-
25 ken well. The Fasken well found, according to the Pennzoil

1 exhibit, 12 feet, according to ours, 14 feet, a negligible
2 difference, and they have, of course, a very good well
3 there.

4 We feel that a well, considering the per-
5 meability, fractures in the Strawn, that encountered, let's
6 say 20 feet or 30 feet of porosity, would be a very good
7 well.

8 Q Mr. Andrews, in your opinion will the
9 granting of Pennzoil's application with the assessment of a
10 penalty as recommended by Exxon, be in the interest of con-
11 servation, the prevention of waste, and the protection of
12 correlative rights?

13 A Yes, sir.

14 Q Were Exhibits One through Five prepared
15 by you or under your direction?

16 A Yes, they were.

17 MR. BRUCE: Mr. Chairman, at
18 this time I would move the admission of Exhibits One
19 through Five.

20 MR. STAMETS: The exhibits will
21 be admitted.

22 MR. BRUCE: I have no further
23 questions at this time.

24

25

CROSS EXAMINATION

BY MR. STAMETS:

Q Mr. Andrews, if the calculation is correct that the Exxon well is draining 272 acres, would not the pod that you've drawn on Exhibit Two have to be made larger?

A Yes, sir. If I understand the 272 acre mark or figure, they're suggesting that this reservoir is 270 acres in areal extent. That does not meet with our interpretation of the individual Strawn porosity units in this area. I would disagree using the information that I have at hand on the 272 acre figure. I disagree with that figure.

Q Have you made a separate calculation to demonstrate the productive acres associated with the Exxon well?

A No, sir. What we have here is an estimate of the size of this porosity pod based on what we think are the sizes of the porosity pods in the other producing wells here in the field.

As we mentioned earlier, we are not that far in disagreement with Pennzoil. We think that, as you can see, the dry hole control around these pods, that they're not very areally extensive, and we really think that this is a better interpretation knowing the depositional

1 nature of the Strawn in the area. We have no real exact way
2 of coming up with a rock solid calculation on the areal ex-
3 tent of this.

4 Q You could have made the calculations made
5 by Mr. Groce and you did not make those calculations.

6 A If I understand Mr. Groce's calculations,
7 he used those with two bottom hole pressure tests, I be-
8 lieve, if I understand his interpretation correctly.

9 We have run one bottom hole pressure test
10 in our well. I'm not a reservoir engineer. I've been told
11 by our reservoir engineers that the test was not conclusive
12 and we really were not able to derive much information, es-
13 pecially toward indicating size of this reservoir from that
14 bottom hole pressure test.

15 Q Looking at your Exhibit Number Two-A, the
16 structure map, if the Pennzoil well were drilled more appro-
17 ximate to a standard location, say at 510 feet from the
18 south line, which is the closest standard location, it does
19 not appear to me that they -- they would gain or lose any
20 structural position, within a few feet.

21 A Yes, sir, were they to drill an orthodox
22 location there we feel that structurally they would be in
23 just as advantageous a position as their proposed unorthodox
24 location, that's correct.

25 Q Okay. If we would accept your pod de-

1 scription as shown on Exhibit Two, they'd be out in the mid-
2 dle of no man's land between two pods and have a dry hole.

3 A Excuse me, sir, I didn't understand the
4 question.

5 Q If they drilled at a standard location at
6 -- and if the geologic conditions are as you show on Exhibit
7 Number Two, then they probably would have a dry hole.

8 A Yes, sir, because according to our inter-
9 pretation, they really don't have that much productive
10 reservoir on their lease. We feel that a standard location
11 would certainly be a lot riskier than where they're drilling
12 now and according to our interpretation, it would most like-
13 ly be a dry hole, yes, sir.

14 Q Now you've oriented the pod on your Exhi-
15 bit Number Two in sort of a northwest/southeast direction.

16 A Yes, sir.

17 Q And yet when we look at the structure map
18 it seems as though the general structural trend in that area
19 is from southwest to the northeast, and I thought your tes-
20 timony was that structure sort of generally reflected the
21 porosity development, build up these algal mounds.

22 A Yes, sir.

23 Q Are -- have you --

24 A Seems to be a contradiction there.

25 Q Yes, there seems to be a contradiction.

1 Can you explain it?

2 A Yes, sir, I sure can.

3 Q The description of general relationship
4 is one that we really want to emphasize here. As you can
5 see, the Fasken well is further up dip than our well by al-
6 most 100 feet, yet they only found 14 feet of productive re-
7 servoir. We found 67 feet. I point that out to show that
8 it is not a 1-to-1 correlation between the two.

9 We also appear to have a continuous
10 structural nose trending off this structure going through
11 the two Pennzoil Viersen locations. As you can see, we have
12 not honored exactly the structure on the orientation of
13 those two pods. As a matter of fact, they seem to run
14 perpendicular to the nose. And this interpretation is
15 fairly similar to the one that Pennzoil presented.

16 All we can say, again, is that the
17 relationship that we have determined is that structures on
18 top of the Strawn seem to indicate that there is porosity in
19 the Strawn nearby, the specific orientation of that porosity
20 within the overall Strawn unit to us is still a very tricky
21 relationship and I can't say that we've determined that
22 exact relationship.

23 Again what we're comfortable in saying is
24 where you find structures, you tend to generally find
25 porosity in the Strawn.

1 Q You talked about the dipmeter information
2 and you indicated that the Fasken well showed to be down to
3 the west, up to the east, and the Exxon exactly the oppo-
4 site, with a high in between.

5 A Yes, sir.

6 Q And you've drawn that on Exhibit Number
7 Two?

8 A The structure map is on Two-A. The
9 resulting porosity map on Exhibit Two was based on that re-
10 lationship, yes, sir.

11 Q So you're not trying to draw Exhibit Num-
12 ber Two from the evidence derived from the dipmeter.

13 A No, sir, I'm sorry I misquoted myself.
14 We did see that you could get structurally higher in the
15 Strawn somewhere between these two wells. Based again on
16 the general relationship of porosity and top of the Strawn,
17 we felt it logical to draw the thickest part of the porosity
18 somewhere in between those two wells corresponding to the
19 structural high.

20 Q Has -- hasn't Pennzoil done that on their
21 Exhibit Number One?

22 A They have drawn it to an extent. I would
23 say that perhaps the dipmeter on the Fasken well shows a bit
24 more westerly orientation than northerly, but for the most
25 part they -- they have not contradicted dipmeter data, I

1 don't believe, on their interpretation. no, sir.

2 MR. STAMETS: Are there other
3 questions of the witness?

4 Mr. Kellahin.

5 MR. KELLAHIN: Thank you, Mr.
6 Chairman.

7

8 CROSS EXAMINATION

9 BY MR. KELLAHIN:

10 Q To follow up on Mr. Stamets' question,
11 Mr. Andrews -- Andrew or Andrews?

12 A Andrews.

13 Q Mr. Andrews, am I correct in
14 understanding that in arriving at your net porosity Isopach,
15 your Exhibit Number Two, you have taken one interpretation
16 which you believe is consistent with and honors the
17 available data, the geologic data --

18 A That we have, yes, sir.

19 Q What is it that you have that you've
20 relied upon?

21 A Well, we have electrical log data in the
22 area.

23 Q On the Exxon well?

24 A On all the wells in this area we have
25 electrical logs. And, of course, as we just stated, we have

1 dipmeters that we think assist in our interpretation.

2 Q Taking that same information and having
3 re-examined Pennzoil's Exhibit Number One, am I correct in
4 understanding your response to Mr. Stamets that Mr. Hair's
5 orientation of the Strawn pod is certainly consistent with
6 the data and can represent another reasonable interpreta-
7 tion?

8 A Yes, sir, that's correct.

9 Q When was the Exxon well drilled, Mr.
10 Andrews? I think I have forgotten.

11 A Okay.

12 Q About when?

13 A Let me get my notes so I can tell you
14 exactly. Exxon well completed in February of 1986.

15 Q Okay. Did you participate in determining
16 the well location for Exxon when they drilled that well?

17 A No, sir, my predecessor who worked this
18 area, worked up that location. I worked this area after the
19 No. 2 "EX" was drilled.

20 Q Your involvement in this area for your
21 company is after February of '86.

22 A Yes, sir.

23 Q And who was your predecessor?

24 A It was a geologist namd Pauy Molnar, M-O-
25 L-N-A-R.

1 Q What was the first thing that you did
2 when you were assigned the responsibility for Exxon's
3 acreage within the Shipp-Strawn Pool?

4 A Yes, sir. We reviewed all work that had
5 been previously done, not only for the Shipp-Strawn Field,
6 but for the area in general. We reviewed it with our prede-
7 cessor, or excuse me, I reviewed it with my predecessor. We
8 went over everything. He showed me what he did. I satis-
9 fied myself that his was good work. I thought it was, and
10 that was the extent of my relationship with my predecessor.

11 Q What is your understanding, then, Mr. An-
12 drews, of the reason why Exxon chose to drill its well at
13 that particular location at that time?

14 A Our particular location is based partly
15 on one seismic line that runs east/west across the north
16 lease line -- or excuse me, the north section line of Sec-
17 tion 9. We also knew that this was an area of good Strawn
18 production and that was basically the basis.

19 Q At that time, Mr. Andrews, did it appear
20 to you from available information that you were looking at a
21 continuation of the same reservoir in which either the Vier-
22 sen 2 or the Viersen No. 1 had been completed?

23 A I'm not sure if they considered a contin-
24 uation or not. That is possibly something they discussed.
25 I have not been told that they were looking for a continua-

1 tion. That's about all I can say on that.

2 Q Did the information available to you that
3 you reviewed identify that there was in fact what appears to
4 be a separate productive pod in the pool?

5 A At that time, of course, we did not know
6 that we had a separate producing pod in this area.

7 Q What is the sequence with regards to the
8 drilling of the other well on the Exxon tract? The dry hole
9 to the east of the No. 2 Well, I guess it's the No. 1?

10 A "EX" No. 1, that's correct, sir.

11 Q Was that "EX" No. 1 drilled before the
12 No. 2?

13 A No, sir, it was drilled after.

14 Q When was the No. 1 Well to the east of
15 the No. 2, when was that drilled, approximately?

16 A Approximately, I'm going to speculate,
17 March or April of '86. I'm not quite sure on the spud date.
18 We are still trying to complete that well. It's still an
19 active well.

20 Q In analyzing the dipmeter information you
21 have placed an emphasis on that information to orient the
22 pod so that the No. 2 Well appears to be to the northeast of
23 the high point of that pod.

24 A To part of the pod, yes, sir.

25 Q All right. Did you have that dipmeter

1 information in the No. 2 Well at the time the No. 1 Well was
2 commenced?

3 A Yes, sir, we did.

4 Q Wouldn't it be more consistent in relying
5 upon that dipmeter information to have drilled the No. 1
6 Well over on the west side of that 160-acre unit rather than
7 down dip farther out there in the east?

8 A One of the reasons that we do put such an
9 emphasis on the dipmeter is based on the results of the "EX"
10 1 Well.

11 Q Fooled you, didn't I? I think you've
12 confirmed for yourself or have you satisfied yourself that
13 the bottom hole location for the Exxon No. 2 Well is in fact
14 approximately 150 feet from the common line with Pennzoil?

15 A Yes, sir, I agree with that.

16 Q Do you see any geologic evidence or in-
17 formation available to you, Mr. Andrews, to demonstrate that
18 the Exxon well is in fact not capable of producing any of
19 the reserves that lie on the Pennzoil tract?

20 A No, sir.

21 Q In absence of a Viersen No. 3 Well drilled
22 by Pennzoil, then you don't see any geologic reason that
23 would preclude the Exxon No. 2 Well from draining the Penn-
24 zoil acreage?

25 A That's true.

1 MR. KELLAHIN: I have no fur-
2 ther questions.

3 MR. STAMETS: Are there other
4 questions of this witness?

5 Oh, yes, I had one.
6

7 RE CROSS EXAMINATION

8 BY MR. STAMETS:

9 Q You requested the daily drilling reports
10 and requirement for directional survey. I think it's an op-
11 tion and I'm wanting to know if this perhaps would be an ac-
12 ceptable option, probably information on the daily drilling
13 report Pennzoil might not wish to share, but if Exxon were
14 aware of the make-up of the drill string and the results of
15 the TOTCOs as they came in, and were provided in any order
16 approving the drilling of this well that upon a showing that
17 a directional survey was required to assure that the well
18 was bottomed on Pennzoil lease, would that be an acceptable
19 alternative to Exxon?

20 A You're saying if we received information
21 on the make up of the drill string, TOTCOs down to TD --

22 Q Uh-huh.

23 A -- and then a directional survey at TD.

24 Q Only --

25 A If the TOTCOs --

1 Q -- upon a showing by Exxon that there was
2 an opportunity for the well to be on Exxon's acreage instead
3 of Pennzoil acreage.

4 A Yes, sir, I would think that would be ac-
5 ceptable.

6 MR. STAMETS: Any other ques-
7 tions of the witness?

8 MR. BRUCE: One question, Mr.
9 Chairman.

10

11 REDIRECT EXAMINATION

12 BY MR. BRUCE:

13 Q Mr. Andrews, based upon Mr. Duncan's tes-
14 timony, in your opinion does the Exxon Isopach or Pennzoil's
15 Isopach more accurately reflect the size of the Viersen 2
16 pod and the orientation of the Exxon/Fasken pod?

17 A Oh, I believe that the Exxon interpreta-
18 tion is the more accurate one.

19 MR. BRUCE: Nothing further.

20 MR. STAMETS: Any other ques-
21 tions of the witness?

22 He may be excused.

23 MR. BRUCE: That concludes our
24 preentation, Mr. Chairman, thank you.

25 MR. STAMETS: Mr. Ives. The

1 witness is excused in case I didn't.

2 MR. IVES: Mr. Chairman, may we
3 have a five minute break in order to re-assess our presenta-
4 tion in light of all the additional testimony?

5 MR. STAMETS: Why don't we take
6 fifteen, and we'll finish up when we get back.

7

8 (Thereupon a recess was taken.)

9

10 MR. IVES: Mr. Chairman, I have
11 one witness.

12

13

14 WILLIAM J. MUELLER,
15 being called as a witness and being duly sworn upon his
16 oath, testified as follows, to-wit:

17

18

19 DIRECT EXAMINATION

20 BY MR. IVES:

21

22 Q Would you please state your full name and
23 place of residence?

24

25 A My full name is William J. Mueller, M-U-
26 E-L-L-E-R; we pronounce it "Miller". My place of residence
27 is Odessa, Texas.

28

29 Q And by whom are you employed and in what
30 capacity?

1 A I'm a Reservoir Engineering Supervisor
2 with Phillips Petroleum Company.

3 Q And have you previously testified before
4 this Commission and had your credentials accepted and made a
5 matter of record?

6 A Yes, sir.

7 Q Are you familiar with the subject area in
8 this proceeding?

9 A Yes, sir.

10 Q And are you familiar with the proposed
11 well of Pennzoil by virtue of having attended these proceed-
12 ings?

13 A Yes, sir.

14 MR. IVES: I would tender the
15 witness as an expert reservoir engineer.

16 MR. STAMETS: The witness is
17 considered qualified.

18 Q Could you please state exactly what the
19 position of Phillips Petroleum Company is in this matter?

20 A Yes. I'd like to say one thing first,
21 though.

22 I'm really disappointed. I didn't get a
23 written invitation to this; I had to crash this party.
24 Phillips did not get a copy of that, Tom.

25 MR. KELLAHIN: Because we sent

1 the notice out to the Turkey Ranch.

2 A In Case 9036 heard before the Examiner on
3 Wednesday, Phillips had an application to drill 330 feet
4 from the south line and 140 feet from the east line of Tract
5 4, as shown -- depicted on Pennzoil's Exhibit Number One,
6 and at that time Phillips asked the Examiner to essentially
7 impose upon us a 50 percent penalty allowable off of the 80.
8 In other words, we testified to only 40 productive acres and
9 we requested a 40-acre allowable, or essentially 223 barrels
10 per day, a 50 percent penalty.

11 We will be drilling in that case 330 feet
12 from the south line, which is the same common section line
13 that the Exxon line now is 330 feet off of.

14 We would like to drill 140 feet off of
15 Pennzoil's line and here they are today. They opposed us
16 then and they're asking today to go 150 feet off their line.

17 So it's our -- if everybody needs nice,
18 unorthodox locations to recover their oil we can support
19 that because Phillips needs it, but we also would request
20 that Pennzoil's allowable to restricted to at least whatever
21 Phillips gets.

22 MR. IVES: Those are all the
23 questions I have.

24 MR. STAMETS: Are there ques-
25 tions of Mr. Mueller?

CROSS EXAMINATION

BY MR. KELLAHIN:

Q Mr. Mueller, the Certificate of Mailing indicates Phillips' address in Odessa, Texas, as being 4001 Pembroke, Odessa, Texas, Zip Code 79762. Are you still there?

A Yes, sir.

Q I'm sorry you didn't get it. I'm glad you're here.

A I wouldn't want to miss this.

Q I'm not sure I understood your last statement, Mr. Mueller. The arrangement between Pennzoil and Phillips with regards to their well is such that you think they're both in similar positions and therefore should be treated similarly?

A Yes.

Q Did you understand that the Pennzoil proposed location was to be 660 feet away from the Phillips proration line with the Pennzoil line?

A True, but I also heard testimony put on by Pennzoil Wednesday that said an interference test run between I believe it was their Shipp No. 1 and some Tipperary well, that in 1650 feet between wells they saw a pressure drop of 1.4 psi per day while their well was shut in. So

1 drainage extends over a very large area.

2 Q Okay. So there is no doubt in your mind
3 that there will be interference and communication between
4 the Pennzoil well and the Phillips well if they're both
5 drilled.

6 A That's right.

7 Q And yet the Pennzoil well is going to be
8 660 feet away from you and you're only going to be 140 feet
9 away from them.

10 A That's true.

11 MR. KELLAHIN: I have nothing
12 further.

13 MR. STAMETS: Any other ques-
14 tions --

15 MR. KELLEY: I have two or
16 three questions of Mr. Mueller.

17

18 CROSS EXAMINATION

19 BY MR. KELLEY:

20 Q On Exxon's Exhibit Number Two with the
21 porosity contours going into the section where you put the
22 proposed well, you would be within that porosity, while on
23 the Pennzoil plot you would be outside the --

24 A We like Exxon's picture better.

25 Q So you think Exxon's --

A It looks a lot more like ours.

1 MR. STAMETS: Any -- Mr. Bruce.

2
3 CROSS EXAMINATION

4 BY MR. BRUCE:

5 Q Mr. Mueller, were you present at
6 Phillips unorthodox location hearing in Case 9036?

7 A Yes, sir.

8 Q And did you hear Mr. Kellahin refer to
9 Phillips proposed unorthodox well as a turkey?

10 A Yes, sir.

11 Q Do you have any opinion as to Pennzoil's
12 proposed Viersen 3 Well?

13 A I think that Mr. Kellahin said he thought
14 he killed and plucked a turkey Wednesday, and I would like
15 to assure the Chairman today that we have killed and cooked
16 a goose today.

17 MR. STAMETS: Mr. Kellahin's
18 statements don't always come back to haunt him quite so
19 quickly.

20 MR. KELLAHIN: Mr. Chairman, it
21 was the golden goose, but it was our goose.

22 MR. STAMETS: Are there any
23 other questions of this witness?

24 He may be excused.

25 Does anyone have anything on

1 redirect?

2 MR. KELLAHIN: Yes, sir, I'd
3 like to recall each of my witnesses for one, I hope, shortly
4 -- short question for each.

5 Mr. Bruce, let me call you
6 first, sir.

7 MR. STAMETS: Go ahead.

8
9 PAUL BRUCE,
10 being recalled and remaining under oath, testified as
11 follows, to-wit:

12
13 REDIRECT EXAMINATION

14 BY MR. KELLAHIN:

15 Q Mr. Bruce, I show you a copy of Exxon's
16 exhibit in which Mr. Duncan has taken some information from
17 your testimony and made a volumetric calculation. I ask you
18 if you've had an opportunity to review that information?

19 A Yes, I have.

20 Q Do you have any additions or corrections
21 to make to the parameters that Mr. Duncan used in making
22 that calculation?

23 A Yes. I would like to state that in giv-
24 ing my testimony this morning I was relatively uncertain
25 about the recovery factor that we had used in back calculat-

1 ing into the actual volume or area that the Pennzoil Exhibit
2 One showed, and I think if you'll recall, I turned and asked
3 my assistant whether we used 35 or 25 and he told me 25, and
4 when we reviewed our numbers, we actually used 35.

5 Q If you used 35 in the volumetric calcula-
6 tion, what does that do in terms of determining the height
7 in the calculation?

8 A If we have done the calculation correct-
9 ly, the way that Mr. --

10 Q Duncan.

11 A -- Duncan has done, I believe the calcu-
12 lation would turn out to be 58 feet.

13 Q And if 58 is calculated to be the height,
14 is that then consistent with Mr. Hair's Exhibit Number One
15 in which he -- he plots the size of the Strawn pod around
16 the Viersen No. 2 Well?

17 A I certainly think so. These mounds are
18 relatively steep sided and we do have a thickness encoun-
19 tered in the wellbore of 77 feet.

20 Q All right, sir, thank you.

21 MR. STAMETS: Any questions of
22 the witness?

23 Mr. Bruce?
24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
RE CROSS EXAMINATION

BY MR. BRUCE:

Q Is that an average of 58 feet?

A That's doing the calculation the way that Mr. Duncan did it, that's what you come out with, 58 in that.

MR. STAMETS: Any other questions?

The witness may be excused.

GREGORY L. HAIR,

being recalled and remaining under oath, testified as follows, to-wit:

DIRECT EXAMINATION

BY MR. KELLAHIN:

Q Mr. Hair, I'd like to direct your attention to Exxon Exhibit Number One, which was an exhibit that Mr. Andrews testified from and it showed a land map in which he made a specific reference to a Texaco proposed location in the township to the north, identifying a proposed Texaco location and subsequently in his testimony he proposed a penalty calculation based upon the order entered by the Division in Order No.. R-8239.

Were you present and did you in fact tes-

1 tify in the Division case that resulted in that order impos-
2 ing a penalty on the Texaco location?

3 A Yes, I was and yes, I did.

4 Q Are the fact situations as you know them
5 to exist in the Texaco case similar or different to the fact
6 situation involved in the subject case before this Commis-
7 sion?

8 A I believe there are two similarities;
9 both wells are nonstandard locations and they're both in the
10 same county.

11 Q Are there any other similarities?

12 A Not that I'm aware of.

13 Q Would you describe for the Commission
14 what the significant dissimilarities were between the two
15 cases and why you therefore have concluded that the applica-
16 tion of Order R-8239 to this case is totally inappropriate?

17 A First of all, if the Commissioners will
18 review the exhibits from that case, they'll find that, of
19 course, a number of producing wells were left off the map
20 surrounding the Texaco proposed location. It applies that
21 there's no control to this well, nothing is going on.

22 There is indeed great control to the Tex-
23 aco case. As a matter of fact, there was such great con-
24 trol, I believe three companies testified. Their maps are
25 almost identical, within a very small percentage of error

1 they are identical.

2 Texaco in their own case did not defend
3 or make a statement about that they had more reservoir than
4 anyone allows them. The reservoir is very well defined.
5 The acreage, the volume, everything is very well defined.

6 In this case we have heard three differ-
7 ent companies talk about size. Our company has said we have
8 no idea what the size of the pod is.

9 Exxon has said they have no idea what the
10 size of the pod is, and the one witness who speculated on
11 the size said 272 acres. That's extreme divergence if ever
12 there was any.

13 I do not believe that you can make a
14 similarity there, where you have an extremely well control-
15 led reservoir as opposed to one that's not very well
16 controlled as to size at all.

17 Q Was the proposed penalty that Pennzoil
18 suggested for the Texaco case one in which the penalty was
19 based upon the actual producing ratios of the existing off-
20 setting wells in relationship to the proposed unorthodox lo-
21 cation well?

22 A Yes. It was based on that and I believe
23 on what most people agreed on as reservoir volume under each
24 tract.

25 MR. KELLAHIN: I have nothing

1 further.

2

3

RECROSS EXAMINATION

4

BY MR. STAMETS:

5

Q Mr. Hair, do you recall in that Texaco
6 case whether we had a similar situation where there was a
7 well on the opposite side of the line at an unorthodox loca-
8 tion?

9

A Sir, all the wells surrounding the Texaco
10 well were at standard, legal locations.

11

Q Okay.

12

MR. STAMETS: Are there any
13 other questions of the witness?

14

Mr. Bruce?

15

16

RECROSS EXAMINATION

17

BY MR. BRUCE:

18

Q Mr. Hair, concerning the Northeast Lov-
19 ington well involved, or wells involved in Case 8993, just
20 like the current case they are Strawn?

21

A Yes, they are.

22

Q And the reservoirs are contained in the
23 porosity pods just like the Shipp-Strawn?

24

A Similar to the Shipp-Strawn, yes.

25

Q And is the depositional enviroment in the

1 Northeast Lovington or similar as to the Shipp-Strawn?

2 A I am going to have to refuse to answer
3 that based on the fact of the proprietary information.

4 Q That's okay.

5 MR. STAMETS: Any other ques-
6 tions of this witness?

7 He may be excused.

8 Does anyone else have anything
9 on redirect?

10 I presume we'll have some clos-
11 ing statements.

12 Mr. Padilla?

13 MR. PADILLA: Mr. Chairman, Mr.
14 Kelley.

15 We just finished hearing Mr.
16 Hair tell us about how there have been three attempts to
17 figure out how much productive acreage is in all of these
18 pods.

19 I would ask the Commission to
20 take administrative notice of the Isopach introduced by
21 Phillips in the case presented by Phillips, and that shows
22 the different geologic interpretation as to the thickness of
23 the pay.

24 In that regard, I believe in
25 retrospect that these cases should have all been combined or

1 both cases should have been combined in order to present a
2 complete view to the commission.

3 Had Pennzoil today presented a
4 case that was very close to the vest. They indicated
5 they've had interference testing done between the Viersen
6 No. 1 and the Viersen No. 2 Wells, if they did not present
7 it.

8 We believe this is the best ev-
9 idence that could have been presented to show that there
10 would be communication. We don't know for sure on the pres-
11 sure decline evidence whether or not any of that pressure
12 decline is truly indicative of separate reservoirs. Inter-
13 ference tests would have shown that, that there was a break-
14 down in permeability between the two wells.

15 No material balance calcula-
16 tions were presented by engineers for Pennzoil. We pre-
17 sented what we believe is the most reliable evidence here.

18 Our position is that under the
19 Phillips case or under the confusing geologic data here,
20 that Pennzoil can drill at a standard location and have a
21 commercial production there based upon the size of the
22 reservoir as calculated, not as speculated by Mr. Groce and
23 his assistant.

24 Mr. Hair indicated just recent-
25 ly -- just awhile ago that we had speculated. We didn't

1 speculate; Mr. Groce calculated the reserves.

2 We also have the question of
3 simultaneous dedication here. The Commission should have
4 and consider the already unorthodox location that Pennzoil
5 has in its location with the Viersen No. 2 Well. There are
6 already -- there has already been some production and that
7 should be taken into consideration with regard to their abi-
8 lity to place another well if its nonstandard.

9 The Fasken position obviously
10 is that all of the wells would fairly obtain their just and
11 equitable share at standard locations.

12 I don't think that you can look
13 at the Isopach presented by Exxon and the Isopach presented
14 by Pennzoil and come to any conclusion whether or not a
15 standard location would be a productive well.

16 Obviously I think those
17 positions are skewed to favor each of the companies, no
18 different than what the Phillips Ispach was hung on Friday
19 -- or on Wednesday.

20 Therefore we submit that we
21 should place these wells to where they can adequately drain
22 the reservoir. There's a question as to whether or not
23 there is going to be waste if you place four wells on what
24 is in effect 40-acre spacing. Phillips has asked for a non-
25 standard proration unit of 40 acres but that also is affected

1 by the fact that a portion of the 80-acre proration unit has
2 already been condemned.

3 In Phillips case we argued as
4 to the propriety of how that allowable ought to be calcu-
5 lated and that's a matter of record in that case.

6 Going back to the closeness and
7 the tightness of the information here today, we've had num-
8 erous conditions that -- or reliance, I should say, on con-
9 fidentiality. If you're going to win these cases around
10 here I think that the companies ought to come forward with
11 their information and totally disclose that completely to
12 the Commission so that it can decide appropriately in these
13 cases as to what the appropriate penalties and the propriety
14 of even granting a nonstandard location.

15 Should the Commission decide,
16 and this is the last alternative that we have, we're cer-
17 tainly not proposing that should the Commission decide that
18 this case ought to be -- have a -- that a nonstandard loca-
19 tion ought to be granted, then we request that a severe pen-
20 alty be assessed.

21 Thank you.

22 MR. BRUCE: Mr. Chairman,
23 Pennzoil is before you today seeking approval for an unor-
24 thodox well location very similar in Exxon's mind to the lo-
25 cation Phillips seeks in the unit to the west. This is a

1 location which Pennzoil has disparaged and Exxon sees little
2 to distinguish between the Pennzoil case and the Phillips
3 case.

4 I think it's proper to look
5 back at Case Numbers 8696 and 897 -- or 8790, in which these
6 pool rules were established.

7 Pennzoil originally proposed
8 the Shipp-Strawn Pool and requesting 80-acre spacing with
9 wells located no more than 330 feet to the unit boundaries.

10 In Case 8790 the OCD on its own
11 motion changed the location requirements, but in those hear-
12 ings which were reopened again two days ago, Pennzoil has
13 been consistent in arguing that these Strawn reservoirs have
14 very high porosity, that one well will more than adequately
15 drain 80 acres; that wells should be no closer than 990 feet
16 together to prevent interference; that wells spaced too
17 closely together will ineffectively drain the reservoir, and
18 that one well per 40-acres will cause economic waste.

19 Exxon agrees with these posi-
20 tions held by Pennzoil; however Pennzoil now comes in and
21 seeks to drill a well which would violate most of these
22 rules or statements set forth by it. In fact, Pennzoil has
23 testified that a well at an orthodox location would be pro-
24 ductive and in the absence of the No. 2 Exxon Well and the
25 Fasken Wells would drain the entire porosity pod due to the

1 high permeability.

2 In fact, the well at an
3 orthodox location should be as productive as the Fasken Con-
4 solidated No. 3 Well. Certainly at an orthodox location un-
5 der Pennzoil's interpretation of the porosity pod, the well
6 should be able to drain its 20 acres in the southern part of
7 its unit; therefore, we think Exxon has presented a case --
8 I mean Pennzoil has presented a case which requires that its
9 application be denied for if it is granted without a penal-
10 ty, other interest owners in the pool will have their cor-
11 relative rights violated.

12 Now correlative rights is gen-
13 erally the opportunity afforded the owner of a property in a
14 pool to produce without waste his fair share of oil in the
15 pool.

16 Pennzoil's testimony in this
17 case and at the hearings on the Shipp-Strawn Pool, show that
18 if the Viersen 3 Well is drilled it will cause the reservoir
19 to be ineffectively drained and thus cause waste. Again
20 this is a reason to deny the application as set forth by
21 Pennzoil.

22 Furthermore, the present case
23 involves the entire west half southeast quarter of Section
24 4. This unit already has the Viersen 2 Well on it, a well
25 which has paid out and produced approximately 70,000 barrels

1 of oil.

2 Therefore Pennzoil has already
3 recovered substantial hydrocarbons from its unit. In fact
4 it now wants to drill the Viersen 3 Well at an extremely un-
5 orthodox location with no penalty. This would be unfair to
6 the offsetting interest owners.

7 Now the geology in the imme-
8 diate area of the Viersen 3, the No. 2 Exxon, the Philips
9 and the Fasken wells, are fairly well defined but there are
10 limits of uncertainty.

11 It shows a porosity pod appro-
12 ximately 60 to 70 acres in extent with only about 15 to 20
13 percent of Pennzoil's acreage productive. Exxon took this a
14 step farther and calculated in or factored in porosity
15 thickness. Again the Pennzoil acreage contains only about
16 15 percent of the reservoir volume.

17 Pennzoil has also been carping
18 on Exxon's well location. I think we should note that Exxon
19 did nothing not allowed by the pool rules and these pool
20 rules were proposed by Pennzoil.

21 I also think that in a case
22 like this you take them as you find them. As Mr. Kellahin
23 himself said in his closing argument on behalf of Pennzoil
24 in Case Number 8993, in discussing unorthodox locations and
25 correlative rights, "What we consider in terms of balancing

1 equities between the tracts is not what happened in the past
2 but what happens in the future. It's a prospective view of
3 correlative rights."

4 The Exxon well isn't at issue
5 today. What is at issue is how can Pennzoil produce its
6 fair share of remaining reserves under its tract without im-
7 pairing correlative rights.

8 Exxon submits that the only way
9 to protect correlative rights if the unorthodox location is
10 permitted is to assess a substantial penalty. Exxon cal-
11 culated that penalty in two ways, one based on productive
12 acres, and one based on reservoir volume. Both calculations
13 yield a penalty on the order of 85 percent. Exxon feels
14 that such a penalty is fair, especially considering that
15 Pennzoil supports a penalty against the Philips well to the
16 west.

17 In conclusion, Mr. Chairman, if
18 Pennzoil's unorthodox location is approved, a penalty such
19 as the one suggested by Exxon is necessary in order to pro-
20 tect the offset owners correlative rights and to prevent
21 physical waste and economic waste.

22 Exxon also reminds the Commis-
23 sion of its request for downhole monitoring and would also
24 request that adequate metering of production on the Viersen
25 3 Well be required, if necessary.

1 And finally, we would request
2 permission to submit a proposed order to the Commission.

3 Thank you.

4 MR. STAMETS: Mr. Ives.

5 MR. IVES: May it please the
6 Commission, Phillips Petroleum Company has appeared here to-
7 day before you and does not oppose the unorthodox location
8 that is proposed by Pennzoil in this matter.

9 Rather Phillips is merely
10 seeking to insure that fairness with regards to production
11 from the reserves in this pool is preserved. Toward that
12 end Phillips is asking for consistency and its fair oppor-
13 tunity to produce its fair of reserves underlying its lease
14 property in the Shipp-Strawn Pool.

15 Therefore we would simply ask
16 that in connection with ruling on the application of Penn-
17 zoil which is currently before the Commission an appropriate
18 penalty be applied which will insure an opportunity to each
19 and every one of the leaseholders to produce their fair
20 share and protect correlative rights in this particular cir-
21 cumstance.

22 MR. STAMETS: Mr. Rogers, do
23 you have anything to add in your support of Exxon this mor-
24 ning?

25 MR. ROGERS: No, sir, I do not,

1 other than the letter presented to you earlier.

2 MR. STAMETS: Thank you.

3 Mr. Kellahin.

4 MR. KELLAHIN: Thank you, Mr.
5 Chairman. It's always a pleasure to come before the Commis-
6 sion and see some of my new friends and some of my old
7 friends and to talk about what I think is a very interesting
8 problem.

9 I appreciate hearing from Mr.
10 Ives his comments about not proposing a penalty on the Penn-
11 zoil location. I think that's a clear and distinct under-
12 standing of the Commission rules and regulations. Phillips
13 has absolutely no standing upon which to complain to our lo-
14 cation. They are, in fact, the parties encroaching upon us.
15 It doesn't take any degree of intelligence to look at one of
16 these maps and figure out we're 660 feet away from them and
17 they're going to be 140 feet away from us. Seeing that, ob-
18 viously they have no objection.

19 We look to Mr. Bruce's comments
20 about Exxon. Mr. Hair said in an ideal situation one well
21 in any of these pods could drain the whole thing. We've got
22 wonderful permeability and in a perfect world one well will
23 drain the entire reservoir within any of these pods.

24 It would be marvelous if the
25 Commission and all the operators in fact had one what Penn-

1 zoil had suggested in the beginning, is that keep these
2 wells spaced far apart and develop it on true 80-acre spac-
3 ing. Unfortunately the surface ownership does not always
4 understand or care where the reservoir is.

5 It is not a perfect world. The
6 imperfection in this reservoir was infested (sic) upon us by
7 the Exxon well and they are the ones that are 150 feet away
8 from us. It is our correlative rights that we are seeking
9 to protect.

10 We think it's an interesting
11 problem but it doesn't provide an unsurmountable problem for
12 the Commission. We think you ought to give some reliance to
13 Mr. Groce's position in here. Here's a party that probably
14 has the least to complain or object about in terms of our
15 location. There are going to be at least two wells that are
16 going to compete for his share of the reservoir before the
17 Pennzoil well ever gets a chance.

18 Mr. Padilla wants to take re-
19 liance upon the technical information given to you by Mr.
20 Groce and I'm certainly willing to rely on it. He said
21 based upon his professional opinion as a reservoir engineer
22 he would allocate that 272 acre reservoir. He would take 80
23 of it, give 80 to Exxon, 80 to Pennzoil, and 30 to Phillips,
24 and if you're going to talk about a fair allocation, that
25 looks as fair as any. In that situation there is certainly

1 no reason to penalize the Pennzoil location for simply re-
2 acting to set up counter-drainage to protect itself from the
3 continual and significant drainage that's occurring because
4 of the Exxon well at its location.

5 It's your obligation and man-
6 date to prevent waste. This is not a waste case.

7 It's also your mandate to pro-
8 tect correlative rights and it says in the statute and the
9 rules and regulations that you may where appropriate provide
10 certain penalties. We believe that in order to provide us
11 an opportunity to produce our share of the reservoir, that
12 in that instance no penalty should be provided because by
13 approving this application you put us in a competitive posi-
14 tion with the other operators and give us a chance to re-
15 cover our share of the oil.

16 We would concur that we have an
17 obligation and responsibility to get no closer than 150
18 feet. As the chairman suggested in questions to the Exxon
19 witness, there are existing rules and regulations to provide
20 that and we'll be happy to follow the guidelines of the Com-
21 mission and provide certain information to Exxon and they
22 can require from us if they want a directional survey pur-
23 suant to the rules.

24 We are certainly here ready and
25 willing to admit that there are about 10 acres of our tract

14 Mr. Bruce quoted me in terms of
15 correlative rights. I think that statement was correct then
16 and I think it's correct now. Correlative rights are pros-
17 pective. If they were not, then we would be seeking compen-
18 satory damages from Exxon to recover our share of their pro-
19 duction that they've already taken from our location. That
20 is not the case and we simply want the opportunity to pros-
21 pectively protect ourselves.

22 You're dealing here with the
23 most knowledgeable operator in the pool. Pennzoil has sig-
24 nificant years of experience and has spent hundreds of
25 thousands of dollars developing this reservoir. You're

1 playing in their own backyard. If you're judging the cred-
2 ibility of these witnesses, I would suggest that you rely
3 upon the credibility of Mr. Hair and Mr. Bruce, who have
4 years of experience dealing with a very complex reservoir
5 and that you rely upon their judgment and in their judgment
6 the best way to protect Pennzoil is to let them do as they
7 have requested in this application.

8 Thank you.

9 MR. STAMETS: Thank you, Mr.
10 Kellahin.

11 Let's talk about this and see
12 if we're where we can render a decision or if we want to let
13 people submit proposed orders.

14
15 (There followed a discussion off the record.)
16

17 MR. STAMETS: I sense that Mr.
18 Kelley, like I, is somewhat of the feeling that we need to
19 spend some time with this and so we will take the case under
20 advisement and request the submittal of this supplemental
21 information and any proposed orders by the first Tuesday in
22 December, and would then propose to issue an order on the
23 18th when we meet to issue orders in the cases that were
24 heard in the earlier portion of this docket.

25 Does everybody understand? Any

1 questions?

2 With that, then, the hearing
3 will be adjourned.

4

5 (Hearing concluded.)

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY CERTIFY the foregoing Transcript of Hearing before the Oil Conservation Division (Commission) was reported by me; that the said transcript is a full, true, and correct record of this portion of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR