

STATE OF NEW MEXICO
ENERGY AND MINERALS DEPARTMENT
OIL CONSERVATION DIVISION
STATE LAND OFFICE BLDG.
Santa Fe, New Mexico

8 October 1986

EXAMINER HEARING

IN THE MATTER OF:

Application of Zia Energy, Inc. for CASE
a nonstandard gas proration unit, 9002
unorthodox gas well location, and
simultaneous dedication, Lea County,
New Mexico.

BEFORE: Michael E. Stogner, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Division:

Jeff Taylor
Legal Counsel to the Division
Oil Conservation Division
State Land Office Bldg.
Santa Fe, New Mexico

For the Applicant:

W. Thomas Kellahin
Attorney at Law
KELLAHIN, KELLAHIN & AUBREY
P. O. Box 2265
Santa Fe, New Mexico 87501

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

DON BRATTON

Direct Examination by Mr. Kellahin	4
Cross Examination by Mr. Stogner	14

E X H I B I T S

Zia Exhibit One, Map	6
Zia Exhibit Two, Plat	7
Zia Exhibit Three, Structure Map	10
Zia Exhibit Four, Cross Section	11
Zia Exhibit Five, Schematic	12

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. STOGNER: Call next Case
No. 9002.

MR. TAYLOR: Application of Zio
Energy, Incorporated, for nonstandard gas proration unit,
unorthodox gas well location, and simultaneous dedication,
Lea County, New Mexico.

MR. STOGNER: Call for
appearances.

MR. KELLAHIN: If the Examiner
please, I am Tom Kellahin of the Santa Fe law firm Kellahin
& Kellahin, appearing on behalf of the applicant, and I have
one witness to be sworn.

MR. STOGNER: Are there any
other appearances in this matter?

Will the witness please stand
and raise your right hand and be sworn.

(Witness sworn.)

MR. STOGNER: Mr. Kellahin?

1 DON BRATTON,

2 being called as a witness and being duly sworn upon his
3 oath, testified as follows, to-wit:

4
5 DIRECT EXAMINATION

6 BY MR. KELLAHIN:

7 Q Mr. Bratton, would you please state your
8 name and occupation?

9 A My name is Don Bratton. I'm a petroleum
10 engineer employed by Zia Energy, Incorporated, in Hobbs, New
11 Mexico.

12 Q Mr. Bratton, have you previously testi-
13 fied before the Oil Conservation Division as an engineer?

14 A I have not.

15 Q Would you summarize your educational
16 background and tell the Examiner when and where you obtained
17 your degree and in what year?

18 A I obtained a Bachelor of Science in in-
19 dustrial engineering from New Mexico State University in
20 1971.

21 Q Subsequent to graduation have you been
22 employed in the oil and gas industry as an engineer?

23 A Yes, I have. I was employed approximately
24 ten years by Gulf Exploration and Production Company in West
25 Texas, Houston, and New Orleans. Positions included two

1 years as Production Engineer; three years as a Reservoir En-
2 gineer; one year as a Senior Project Engineer in our head-
3 quarters in Houston; 1-1/2 years as an Over-water Production
4 Superintendent; one year as an Area Equipment Engineer; 1-
5 1/2 years as a Area Engineer supervising all engineering
6 functions for the Southeastern Offshore Division for Gulf in
7 New Orleans.

8 Q How long have you been employed as an
9 engineer for Zia Energy, Inc.?

10 A I've been employed by Zia Energy for
11 approximately one year and two months.

12 Q What are your responsibilities as an
13 engineer for that company?

14 A My responsibilities include all
15 engineering functions in the field and the office, including
16 data processing and property acquisition.

17 Q Are you a Registered Professional
18 Engineer in any state?

19 A I am registered in the State of Texas.

20 Q And have you prepared the technical
21 information upon which this application is based?

22 A I have.

23 MR. KELLAHIN: We tender Mr.
24 Bratton as an expert petroleum engineer.

25 MR. STOGNER: Mr. Bratton is so

1 qualified.

2 Q Mr. Bratton, let me direct your attention
3 to what we've marked as Exhibit Number One and simply have
4 you identify what that exhibit is and what information is
5 shown on that exhibit.

6 A Exhibit Number One is a map showing the
7 existing proration unit outlined in yellow. Also shown on
8 the map are all wells in the surrounding area.

9 Those wells that are circled indicate
10 Jalmat wellss that have produced as either Jalmat oil or
11 Jalmat gas wells.

12 Q For purposes of the notice requirements
13 of the Division, what offset operators have you caused not-
14 ice of this hearing to be sent to?

15 A We've sent notices to Doyle Hartman in
16 Midland, Texas; Conoco, Incorporated, in Hobbs, New Mexico;
17 Cities Services Company in Midland, Texas; and Eurotex Cor-
18 poration in Ft. Worth, Texas.

19 MR. KELLAHIN: Mr. Examiner,
20 there a certificate of mailing on file in the application --
21 with the application in the case file for this case.

22 Q Mr. Bratton, does that constitute all the
23 adjoining offset operators that may have an interest in the
24 outcome of this application?

25 A Yes, it does.

1 Q Let me direct your attention now to Exhi-
2 bit Number Two and if you'll identify Exhibit Number Two for
3 us.

4 A Exhibit Number Two is an enlarged area
5 immediately surrounding the proration unit and identifies
6 the wells in question as well as those wells for the immed-
7 iate surrounding offset operators.

8 Q From what pool or formation do the wells
9 depicted on this exhibit produce?

10 A The wells depicted on this picture pro-
11 duce from various formations ranging all the way from the
12 Yates or the Jalmat Pool to deeper formations, including the
13 Devonian.

14 Q Directing your attention to the west half
15 of Section 20, will you explain to the Examiner what has
16 been the history insofar as the changes that have occurred
17 with regards to the dedication of Jalmat gas acreage to var-
18 ious wells or combination of wells?

19 A Zia Energy, Incorporated is the operator
20 of a previously established 280-acre nonstandard Jalmat gas
21 proration unit in the west half of Section 20, exclusive of
22 the northwest quarter of the northwest quarter.

23 This was established by the ODC Order No.
24 4139 and was later amended by R-4139-A and R-4139-B.

25 Q When that was established, then, it was a

1 280-acre Jalmat gas spacing and proration unit that consis-
2 ted of the west half of 20 with the exception of the 40-acre
3 tract labeled Martindale up in the northwest of the north-
4 west?

5 A That is correct.

6 Q When that was done, Mr. Brtton, what were
7 the Jalmat gas wells dedicated to that proration and spacing
8 unit?

9 A Originally under R-4139 all this acreage
10 was dedicated to Well No. 1.

11 Q All right, sir, what changes have subse-
12 quently been made?

13 A With the amendment of R-4139-A, there was
14 simultaneous dedication to Wells No. 1 and 2, and then with
15 R-31 -- 4139-B there was simultaneous dedication to Wells 1,
16 2, and 4.

17 Q What has recently occurred that is the
18 basis upon which you seek the current order from the Commis-
19 sion today?

20 A Well No. 1 has subsequently been conver-
21 ted to salt water disposal.

22 Well No. 2 has been requalified as an oil
23 producer.

24 Well No. 3 has subsequently watered out
25 in the South Eunice Queen Field and as a result has been

1 plugged back to the Jalmat.

2 Q When we look at the Well No. 3, would you
3 identify for the Examiner what portions of the current ap-
4 plication would apply to that well?

5 A You have asked for an unorthodox gas well
6 location as one of the parts of this application. To which
7 well does that apply?

8 A That applies to Well No. 3.

9 Q All right, and in what way is that an un-
10 orthodox gas well location?

11 A Well No. 3 is located at a location 330
12 feet from the north line and approximately 2310 feet from
13 the west line of Section 20 and it's my understanding that
14 this is an exception to the Rule 5-B.

15 Q It was originally completed and produced
16 in another formation, qualified as a standard location in
17 that formation?

18 A That's correct.

19 Q Now you have recompleted it and are pro-
20 ducing it under a temporary allowable for Jalmat gas?

21 A That's correct. We have a temporary 80-
22 acre allowable that was established by the Hobbs Office of
23 the ODC.

24 Q So now you're seeking the approval of the
25 unorthodox gas well location in the Jalmat plus the nonstan-

1 dard gas proration unit consisting of the 240 acres depicted
2 in yellow?

3 A That's correct, along with the right to
4 produceds the assigned unit allowable from either well or
5 both wells or in any combination.

6 Q When you talk about either or both wells,
7 which are the two wells you're discussing?

8 A Either Well 3 or 4.

9 Q All right, sir, let's look now at the
10 basis upon which you have concluded that the spacing and
11 proration unit is reasonably productive of Jalmat gas in the
12 configuration that you propose to dedicate.

13 Let me show you Exhibit Number Three and
14 have you, Mr. Bratton, identify that exhibit for us.

15 A Exhibit Number Three is a structure map
16 contoured on top of the Yates formation. It shows the
17 structural position of all wells in the proration unit in-
18 cluding the Cities Federal No. 3, which shows to be slightly
19 higher than the other wells which have produced from this
20 unit.

21 We don't feel that structural position
22 within the unit appears -- or it appears that structural
23 position has little or no bearing on the wells' ability to
24 produce; however, we do believe that Well No. 3, being
25 structurally higher than the other wells, it will afford us

1 the opportunity to better drain the acreage.

2 Q Have you caused a cross section to be
3 prepared running through an adequate number of wells in the
4 immediate area to determine whether or not there is geologic
5 continuity of the producing formation in the Jalmat that
6 would connect this formation geologically to the two pro-
7 posed producing wells?

8 A We have. Exhibit Number Four is a cross
9 section trending from the southwest to the northeast. It
10 includes wells from Zia Energy No.2-M in Section 20 to the
11 Conoco State E No. 10-0 in Section 17.

12 It shows the Yates formation is consistent
13 throughout the proration unit. The logs indicate that it is
14 reasonable to expect the Jalmat gas to be productive
15 throughout the proration unit and certainly in the proposed
16 Cities Federal No. 3.

17 Q Do you have an opinion, Mr. Bratton, as
18 to whether the two proposed producing wells will allow the
19 operator a reasonable opportunity to recover the Jalmat gas
20 reserves that remain to be produced under this nonstandard
21 gas proration unit?

22 A I do feel that the production from both
23 wells will allow us the maximum opportunity to produce those
24 reserves that remain in this proration unit.

25 Q Let's turn, sir, to Exhibit Number Five

1 and have you discuss for us the method in which the No. 3
2 Well has been recompleted for production out of the Jalmat
3 gas interval.

4 A Exhibit Number Five is a schematic
5 showing the present casing program for the Cities Federal 3
6 and the recompletion.

7 The well was originally completed with 4-
8 1/2 inch casing which was set at 4019 feet, cemented with
9 1,050 sacks of cement. The cement was circulated to the
10 surface.

11 The previous producing interval was from
12 3704 to 3866 in the South Eunice-Seven Rivers-Queen Field.
13 A cement retainer was set at 3409 and the lower set of per-
14 forations was squeezed with 300 sacks of cement. Then zones
15 of porosity in the Yates were perforated, acidized, and
16 fractured.

17 What is the current producing rate of the
18 No. 3 Well?

19 A The well was IP'ed for 405 MCF per day on
20 August 20th, 1986; however, due to the low allowable estab-
21 lished for the Jalmat in September, the well's production
22 has been reduced to 50 MCF per day.

23 Q In your opinion is it appropriate to de-
24 dicate the 240-acre nonstandard gas spacing and proration
25 unit to the No. 3 and the No. 4 Wells?

1 A I believe that the dedication of the
2 acreage to Well No. 3 and No. 4 will help to maximize
3 recovery from the proration unit, will allow Zia Energy as
4 the operator of this property to produce its just and
5 equitable share of gas in the Jalmat Gas Pool. It will
6 prevent the economic loss caused by drilling of unnecessary
7 wells, and will avoid the augmentation of risk arising from
8 the drilling of unnecessary wells, and will otherwise
9 prevent waste and protect correlative rights.

10 Q In your opinion do Wells No. 3 and 4
11 have the producing capability to effectively and efficiently
12 produce a 240-acre proration allowable?

13 A Yes, they do.

14 Q Were Exhibits One through Five prepared
15 by you or compiled under your direction and supervision?

16 A Yes, they were.

17 MR. KELLAHIN: That concludes
18 my examination of Mr. Bratton, Mr. Examiner.

19 We would move the introduction
20 of Zia Energy's Exhibits One through Five.

21 MR. STOGNER: Exhibits One
22 through Five will be admitted in evidence.

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CROSS EXAMINATION

BY MR. STOGNER:

Q Mr. Bratton, as I understand it, the No. 2 Well is now an oil well in the Jalmat Pool?

A That's correct.

Q Okay, and where's the perforations in the -- in that No. 2 Well?

A I don't show that to be marked on the log and I didn't bring a copy of the log with me, so I couldn't tell you exactly.

Q Do you have an idea of where they're at, in what formation in the Jalmat Pool?

A Yes. They would range from approximately 3,310 feet down to a depth of approximately 3,460 feet.

Q That's approximate, of course, and that would all be in the Yates formation of the Jalmat, is that correct?

A That is correct.

Q Now the -- where did the perforations fall in the No. 4 and No. 3?

A The No. 4 Well is perforated from 3294 to 3434 with approximately 48 holes.

The Well No. 3 is perforated is from 3189 to 92; 3196 to 3200; 3248 to 50; 3268 to 69; 3272 to 73;

1 3279 to 82; with approximately 20 holes.

2 Q All of which, both of those formations
3 are the Yates, is that correct?

4 A That's correct.

5 Q When did that No. 2 Well convert to an
6 oil well?

7 A It converted to an oil well and was re-
8 classified in November of 1985.

9 Q Has there been any production from the
10 No. 2 Well between now and that date?

11 A Yes, there has. It's been on continuous
12 production since that time.

13 Q Was this production dedicated to that
14 previous 280-acre proration unit?

15 A It's acreage was dedicated previously to
16 the 280-acre proration unit; however, it's my understanding
17 with the filing of that well as an oil well -- reclassifica-
18 tion of that well as an oil well, that that 40 acres was
19 administratively removed from the proration unit.

20 Q Administratively by who?

21 A By the Oil and Gas Commission, the OCD.

22 Q Santa Fe or Hobbs?

23 A Hobbs.

24 Q And who notified you of that?

25 A I'm not sure that we received notifica-

1 tion of that. It was my understanding that filing for re-
2 classification, that that was automatically done.

3 Q When was the No. 3 Well recompleted from
4 the Eumont to the Jalmat?

5 A It was recompleted in August of this
6 year.

7 Q Has it gone on line yet?

8 A Yes, it has.

9 Q And when was first delivery?

10 A First delivery was on August 20th.

11 Q And its production was dedicated to the
12 280-acre --

13 A That's correct.

14 Q When you referred to Exhibit Number Five,
15 you mentioned about the allowable assigned. Were you
16 talking about the allowable assigned to the 280-acre prora-
17 tion unit or today's -- I'm sorry -- yeah, 280-acre prora-
18 tion unit or to a specific well?

19 A I think I made reference to both. We
20 were given authorization unit this -- till the outcome of
21 this hearing to produce the well based on an 80-acre allow-
22 able, that being Well No. 3.

23 Q And 80-acre allowable?

24 A That's correct.

25 Q What was the allowable assigned to the

1 No. 4 Well?

2 A The allowable assigned to the No. 4 Well
3 was the entire proration unit.

4 Q Of 280 acres.

5 A The 280 acres less, we assume, the 40
6 acres that should have been removed for Well No. 2.

7 Q Do you remember, by chance, what the
8 amount of gas was assigned to it; what the allowable was?

9 A For September?

10 Q Yeah.

11 A I believe it was 100 MCF for 160-acre
12 proration unit. Being 240 acres that would allow 150 MCF
13 per day.

14 Q Is the gas from the No. 4 and No. 3 Well
15 being sold to the same purchaser?

16 A Yes, they are.

17 Q And who might that purchaser be?

18 A The purchaser is Texaco.

19 Q Does the Well No. 2 make any casinghead
20 gas?

21 A Yes, it does.

22 Q And who is that being sold to?

23 A It also goes to Texaco.

24 MR. STOGNER: Are there any
25 other questions of Mr. Bratton?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. KELLAHIN: No, sir.

MR. STOGNER: I have no further questions.

There being no further questions of this witness he may be excused.

Mr. Kellahin, do you have anything further in this case?

MR. KELLAHIN: No, Mr. Stogner.

MR. STOGNER: Does anybody else have anything further in Case Number 9002?

If not, this case will be taken under advisement.

(Hearing concluded.)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO
HEREBY CERTIFY the foregoing Transcript of Hearing before
the Oil Conservation Division (Commission) was reported by
me; that the said transcript is a full, true, and correct
record of the hearing, prepared by me to the best of my
ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 9002
heard by me on 8 October 1986
Michael R. [Signature] Examiner
Oil Conservation Division