

STATE OF NEW MEXICO
ENERGY AND MINERALS DEPARTMENT
OIL CONSERVATION DIVISION
STATE LAND OFFICE BLDG.
Santa Fe, New Mexico

18 March 1987

EXAMINER HEARING

IN THE MATTER OF:

Application of Yates Petroleum Corporation for pool reclassification, or, in the alternative, the amendment of Division Order No. R-6129-A, Eddy County, New Mexico.	CASE 9109
and	
Application of Meridian Oil Inc. to amend Division Order R-6129-A, Eddy County, New Mexico.	CASE 9110

BEFORE: David R. Catanach, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Division:	Jeff Taylor Legal Counsel to the Division Oil Conservation Division State Land Office Bldg. Santa Fe, New Mexico
-------------------	--

For Yates Petroleum:	Chad Dickerson Attorney at Law DICKERSON, FISK, & VANDIVER Seventh and Mahone, Suite E Artesia, New Mexico 89210
----------------------	--

For Meridian Oil Inc.:	W. Thomas Kellahin Attorney at Law KELLAHIN, KELLAHIN, & AUBREY P. O. Box 2265 Santa Fe, New Mexico 87501
------------------------	---

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

STATEMENT BY MR. DICKERSON	9
STATEMENT BY MR. KELLAHIN	15
STATEMENT BY MR. DICKERSON	20
JANET RICHARDSON	
Direct Examination by Mr. Dickerson	21
Cross Examination by Mr. Kellahin	27
Redirect Examination by Mr. Dickerson	30
RAY BECK	
Direct Examination by Mr. Dickerson	32
Cross Examination by Mr. Kellahin	38
DAVID LANNING	
Direct Examination by Mr. Dickerson	41
Cross Examination by Mr. Kellahin	66
Questions by Mr. Lemay	81
Cross Examination by Mr. Catanach	82
Cross Examination by Mr. Taylor	84
Recross Examination by Mr. Catanach	85

I N D E X CONT'D

LEE CATALANO

Direct Examination by Mr. Kellahin	87
Cross Examination by Mr. Dickerson	91
Questions by Mr. Lemay	93
Redirect Examination by Mr. Kellahin	94
Recross Examination by Mr. Dickerson	95

BRETT HERRING

Direct Examination by Mr. Kellahin	96
Cross Examination by Mr. Dickerson	115
Redirect Examination by Mr. Kellahin	132
Recross Examination by Mr. Dickerson	133

E X H I B I T S

Yates Exhibit One, Plat	22
Yates Exhibit Two, Unit Agreement	22
Yates Exhibit Three, Application, etc.	25
Yates Exhibit Four, Structure Map	33
Yates Exhibit Five, Cross Section	35
Yates Exhibit Six, Plat	43

E X H I B I T S CONT'D

1		
2		
3		
4	Yates Exhibit Seven, Pool Rules	45
5	Yates Exhibit Eight, Chronology	46
6	Yates Exhibit Nine, Letters	49
7	Yates Exhibit Ten, Shut-in Order	52
8	Yates Exhibit Eleven, Fluid Data	55
9	Yates Exhibit Twelve, Sand Tanks Data	59
10	Yates Exhibit Thirteen, Log	60
11	Yates Exhibit Fourteen, Analysis	61
12		
13	Meridian Exhibit One, Map	98
14	Meridian Exhibit Two, Curve	105
15	Meridian Exhibit Three, Plot	107
16	Meridian Exhibit Four, GOR Curve	108
17	Meridian Exhibit Five, Fluid Parameters	110
18	Meridian Exhibit Six, Calculation	111
19	Meridian Exhibit Seven, Cross Section	88
20		
21		
22		
23		
24		
25		

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. CATANACH: Call next Case
Number 9109.

MR. TAYLOR: The application of
Yates Petroleum Corporation for pool reclassification, or,
in the alternative, the amendment of Division Order No. R-
6129-A, Eddy County, New Mexico.

MR. CATANACH: Are there ap-
pearances in this case?

MR. DICKERSON: Mr. Examiner,
I'm Chad Dickerson of Artesia, New Mexico, on behalf of the
applicant and I have three witnesses.

MR. CATANACH: Are there other
appearances in this case?

MR. KELLAHIN: Mr. Examiner,
I'm Tom Kellahin of Santa Fe, New Mexico, appearing on be-
half of Meridian Oil, Inc., and I have one witness.

We'd request at this time, Mr.
Examiner, that you also call Case 9110. Both cases involve
the same subject matter. Both involve the Benson Strawn
Pool, and I think the operators have simply taken alterna-
tive choices as to a solution to some producing rate ques-
tions, and so I think they ought to be consolidated and we
would so request.

MR. CATANACH: Any objection to

1 that?

2 MR. DICKERSON: No.

3 MR. CATANACH: We'll call next
4 Case 9110.

5 MR. TAYLOR: The application of
6 Meridian Oil, Incorporated, to amend Division Order No. E-
7 6129-A, Eddy County, New Mexico.

8 MR. CATANACH: And let the re-
9 cord show we have the same appearances in both cases.

10 You may proceed.

11 MR. DICKERSON: Mr. Examiner,

12 --

13 MR. TAYLOR: Let me swear them
14 all. Do you have any witnesses, Tom?

15 MR. KELLAHIN: Yes, sir, I'd
16 like to swear Mr. Herring.

17

18 (Witnesses sworn.)

19

20 MR. DICKERSON: Mr. Examiner, a
21 brief procedural point first. Rule 1207 (a) 4 of the Divi-
22 sion Rules of Procedure require notice in a proceeding of
23 this type to offsetting operators and unleased mineral in-
24 terest owners, and I took the liberty of reviewing your file
25 and it does not appear that the required notice has been

1 given to other offset operators.

2 I mentioned this to Mr. Kella-
3 hin and we -- I would suggest that we proceed with our hear-
4 ing today; that Yates Petroleum Corporation give the re-
5 quired notice to the offsetting owners; and that the case be
6 held open for thirty days, which should be a sufficient per-
7 iod of time for any of these parties, if they desire, to ob-
8 ject and we did not think any others would, to make an ap-
9 pearance and handle the problem in that manner.

10 MR. CATANACH: Any objection to
11 that?

12 MR. KELLAHIN: I have no objec-
13 tion.

14 MR. CATANACH: Okay, we'll
15 leave the record open in this case until the -- we'll leave
16 the record open until the April 22nd Examiner Hearing Doc-
17 ket.

18 MR. DICKERSON: Mr. Examiner,
19 we also would direct your attention to the provisions of
20 1207 (a) 4 and ask your and Mr. Taylor's opinion on the par-
21 ties that should be notified.

22 There are only at this point
23 three wells actually completed in this Benson Strawn Pool.
24 There are a total of five or six wells in the area which
25 have penetrated this zone. The rule merely says that all

1 operators of wells within one mile of such boundaries.
2 There are a great number of shallow wells that have not pen-
3 etrated the Benson Strawn Pool and a little guidance on who
4 is required to be notified under that rule would be appre-
5 ciated.

6 MR. TAYLOR: Well, just off
7 the -- off the top, I'd say anybody who would be affected,
8 so if their well was not penetrating the horizon we're going
9 to be dealing with and you'll have to know from what rules
10 you're proposing and I certainly don't know what -- at this
11 point you're proposing, but you should be able to tell from
12 what you're proposing who would be affected by it, and I
13 guess if later on they wanted to deepen their wells or some-
14 thing, then -- then they would --

15 MR. DICKERSON: So a working
16 interest owner on undeveloped acreage that has no well lo-
17 cated on it at the present time but is within a mile of the
18 boundaries of the Benson Strawn Pool needs to be notified?

19 MR. TAYLOR: Oh, I would say
20 probably so. I know that may be difficult, I don't know un-
21 less the -- certainly unleased people (not clearly under-
22 stood).

23 MR. DICKERSON: Well, operators
24 are no problem but working interest owners on undeveloped
25 acreage are a little more difficult but we can do it.

1 MR. TAYLOR: And if there's no
2 operator that could be difficult.

3 MR. DICKERSON: Thank you for
4 that.

5 Mr. Examiner, may I make a
6 brief opening statement?

7 MR. CATANACH: Yes, sir.

8 MR. DICKERSON: We've hung a
9 map of the general vicinity of the Benson Strawn Pool on the
10 wall.

11 Mr. Examiner, in approximately
12 the mid-part of 1979 NAPCO, Inc., who was then the operator
13 of the unit, put together a three-section federal explora-
14 tory unit. It approved by the federal, the state authori-
15 ties, and this Division at a hearing and the boundaries of
16 that unit are shown in the yellow acreage. It consists of
17 the west half of Section 34 and all of Section 33 in 18
18 South, 30 East, Eddy County, New Mexico; all of Section 4
19 and the west half of Section 3 in 19 South, 30 East, Eddy
20 County.

21 The initial unit well was drill-
22 ed later that same year and it was the Benson Deep Unit No.
23 1 Well, operated by NAPCO, Inc. It was a Morrow attempt not
24 completed in the Morrow but instead completed in the Strawn
25 formation and has continued to produce from the Strawn con-

1 tinuously to the current date.

2 The second well drilled was the
3 Benson Deep Unit No. 2 Well. It was also drilled to the
4 Morrow formation. It was subsequently depleted in the Mor-
5 row and is now completed as a Bone Spring oil well.

6 The third well was the No. 3
7 Well, also a Morrow completion and continuing to produce
8 from the Morrow formation to the current date.

9 The fourth well was the Yates
10 Petroleum Corporation Benson Deep Unit No. 4 Well, located
11 in the west half of Section 3, 19 South, 30 East. This well
12 was drilled in the middle of 1984 and has been producing gas
13 and condensate from the Strawn formation since that time.

14 The number five well was drill-
15 ed in 1985 and at the present time Meridian has very
16 recently, within the last month, drilled and completed a
17 well offsetting the Benson Deep Unit No. 4 but outside the
18 boundaries of the Benson Deep Unit Federal exploratory unit.

19 Following the completion of the
20 Benson Deep Unit No. 1 Well, and prior to the drilling of
21 any additional wells in this unit area, NAPCO filed an ap-
22 plication with this Division to establish 160-acre spacing
23 and at the Examiner Hearing, based on some inconclusiveness
24 in the evidence to the area that could be drained, because
25 the only well penetrating the formation was not on line at

1 that time, it was denied on the basis that no evidence had
2 been presented to show that it in fact was capable of drain
3 ing 160 acres.

4 A de novo hearing was requested
5 and in April of 1980 the de novo hearing resulted in the es-
6 tablishment of the Benson Strawn Pool, at that time consis-
7 ting only of the southeast quarter of Section 33 in 13
8 South, 30 East.

9 The Benson Strawn Pool rules
10 very briefly insofar as they affect the parties here today
11 provided for 160-acre spacing, classified the pool as an oil
12 pool.

13 The evidence presented to the
14 Commission in that case, the order, for your information was
15 R-6129-A, was somewhat uncertain at the time because the
16 well had not been on line. It was a -- fluids in the reser-
17 voir were of some unusual nature and there was considerable
18 debate and expert testimony regarding whether this was --
19 this fluid existed in the reservoir as oil, whether it exis-
20 ted as gas, or in fact the opinions of NAPCO's experts at
21 that time was that in fact it consisted of a substance they
22 called volatile oil, which as I understood the testimony was
23 neither oil nor gas, but based on that evidence prior to the
24 production history being established from the Benson No. 1
25 Well, the Benson Strawn Pool rules were promulgated.

1 There was a provision in there
2 because of the concern of the Commission and the parties, as
3 well, because of the unusual qualities of these reservoir
4 fluids, that as additional information became available from
5 the production of this well, that further studies would be
6 done and the order was left open to revise or change the
7 pool rules as the evidence would dictate.

8 What in fact happened was that
9 the Benson Deep Unit No. 2 Well was then drilled, completed
10 in the Morrow formation, not affected by the Benson Strawn
11 Pool rules.

12 The No. 3 Well also drilled,
13 completed in the Morrow formation, not affected by these
14 rules.

15 The No. 4 Well in 1984 was then
16 drilled and it was completed in the lower part of the Strawn
17 formation.

18 While not within the original
19 boundaries of the Benson Strawn Pool, it was within one mile
20 of those boundaries and therefore technically was subject to
21 those pool rules.

22 This was not recognized by
23 Yates Drilling Corporation, who effective October 1st, 1980,
24 following the completion of the first well and prior to the
25 completion and drilling of the second well, had assumed

1 operations of this Benson Deep Unit Federal exploratory
2 unit.

3 The No. 4 Well has continued to
4 produce from the lower part of the Strawn since that time.

5 Approximately a year after its
6 completion the No. 5 Well was also completed in the Strawn
7 formation. It has been shut-in and has not produced. At
8 this date it is still waiting on a pipeline connection.

9 As production from the Benson
10 Deep Unit No. 1 Well was developed the pool rules as origin-
11 ally established set an allowable of 70 barrels of oil per
12 day. At that time, based on the testimony that this was the
13 substance that was called by the witnesses volatile oil. It
14 followed the general 2000-to-1 GOR rule and as I stated,
15 there was a provision for the parties to submit additional
16 evidence to the Division with the discretion left in the
17 Director of the Division to either administratively revise
18 these rules or set it for hearing at his pleasure.

19 At least later in 1980 there
20 were some submittals of additional information made by Yates
21 to the Division at that time reflecting what little addi-
22 tional information had been gained, but it really, given the
23 fact that at that time and for several years thereafter, the
24 Benson Deep Unit No. 1 Well was the only well producing from
25 the Strawn formation and following a fracture treatment that

1 was performed on that well in 1981, the productivity of that
2 well never approached the 70-barrel per day allowable set in
3 the order.

4 As a result, while we don't
5 know, the records are somewhat skimpy on whatever happened,
6 it looks like it just sort of -- the parties lost interest
7 on it because the well would not -- was not a very good pro-
8 ducer, and as I stated, upon the drilling of the Benson No.
9 4 Well, which has proven to be a very good producer since
10 that time, the present problem arose when the Meridian well
11 offsetting was completed and about contemporaneously with
12 the completion of the Meridian well offsetting the unit ac-
13 reage, Yates Petroleum Corporation received from the Divi-
14 sion an order to shut in its Benson Deep Unit No. 4 Well
15 because under the pool rules it has exceeded its casinghead
16 gas allowable.

17 The position of Yates Petroleum
18 Corporation that we intend to introduce today is that the
19 establishment of the Benson Strawn Pool was based on infor-
20 mation which has later subsequently been proven to be simply
21 incorrect. The unit has been developed de facto on 320-acre
22 spacing since its inception. In fact, you can notice that
23 of the five unit wells drilled within the boundaries of the
24 Benson Deep Unit one, two, three, four, five wells, each po-
25 tential spacing unit within that unit area has one well lo-

1 cated upon it completed in either one of three formations,
2 except the west half of Section 4, 19 South, 30 East, and
3 you'll note in some of the exhibits that we introduce that
4 that is within the potash area.

5 MR. CATANACH: Would you like
6 to make a statement.

7 MR. KELLAHIN: Yes, we do, Mr.
8 Catanach.

9 I'd like to amplify some of the
10 points that Mr. Dickerson addressed in his opening statement
11 to you.

12 The transcript of the hearing
13 of the original case back in April of 1980, when parties
14 came forward to establish spacing rules and production rates
15 for the Benson 1 Well is an interesting transcript and I
16 would invite your attention to look at some of the material
17 that established that pool.

18 My recollection is that repre-
19 sentatives of the applicant had a fluid reservoir study made
20 of the Benson Deep well fluid characteristics and they had
21 pvt data for that well, and the conclusion of their
22 engineering experts, and there were, I believe, a total of
23 three, was that in classifying this well they characterized
24 it as a volatile oil reservoir. It was their opinion look-
25 ing at that data that this was not a gas reservoir. It cer

1 tainly was not a dry gas reservoir, and when you talk about
2 classifying the reservoir, it wasn't a strictly crude reser-
3 voir, either. It had elements of an oil pool and they char-
4 acterized it as volatile.

5 The testimony was that the com-
6 position of the hydrocarbons in the reservoir were in an oil
7 stage and that after they were produced they were separated
8 and recombined to confirm the technical data.

9 The initial question we believe
10 you need to decide is whether or not the additional develop-
11 ment that's occurred in the pool should be required to abide
12 by the characterization of the reservoir or the pool as an
13 oil pool, or whether or not you can reclassify this area as
14 a gas pool. We consider that the threshold question.

15 Meridian not realizing that the
16 Yates Benson Deep 4 Well, which is also in Section 3, not
17 realizing that Yates was under the impression they were
18 dealing with a gas well, filed for approval to drill its
19 well in Section 3 in the northeast quarter, and contacted
20 the District Office to confirm whether or not their well was
21 going to be subject to the Benson Deep rules, the Benson
22 Strawn Pool rules.

23 They were advised that they
24 were within a mile of those rules; that the Strawn interval
25 was suspected to correlate; that was the principal objec-

1 tive, and that they were to abide by the oil spacing on 160-
2 acres for that pool.

3 In good faith reliance upon
4 that as being the rules, they in fact drilled the Meridian
5 Benson 3 Federal 1 Well.

6 After the well was completed in
7 February of this year and potentialed for a significant
8 amount of oil and demonstrating a very low gas/oil ratio,
9 Meridian contacted the District Office to reconfirm whether
10 or not the producing limitation of those pool rules of 70
11 barrels a day was going to apply to them. They were advised
12 that yes, they were subject to the 70-barrel a day limita-
13 tion.

14 Apparently, and at some specu-
15 lation on my part, but apparently, as a result of that con-
16 versation and the examination of other wells in the area,
17 including the Yates well, it became apparent to the District
18 Office that we had a well, the Yates Benson Deep Well No. 4
19 being operated as if it were a gas well and producing in ex-
20 cess of those limits set in the Benson Strawn as Mr. Dicker-
21 son has told us, and we simply inquired as to what the rules
22 were. Was this a gas reservoir and should we do what Yates
23 was doing or were we still all committed to the original oil
24 pool rules.

25 As an outcome of that discus-

1 sion, each operator has filed applications for you today to
2 solve the situation in different ways.

3 The situation and the next de-
4 cision we would ask you to make is what the production limi-
5 tation ought to be. I think both Yates and Meridian are in
6 agreement that the original 70-barrel a day limitation in
7 the Benson Strawn is no longer justified, if it ever was or-
8 iginally. My recollection of the testimony in that tran-
9 script is that there was a computer model projected upon the
10 information available on that original well at that time,
11 and the computer modeling showed that there was at least a
12 producing rate for which the original well could be produced
13 and not concern anyone about damage to the reservoir, and
14 the question remained open as to the whether the pool was
15 going to be rate sensitive.

16 The Commission, I think, arbit-
17 rarily set 70 barrels a day limit. It appears that the ori-
18 ginal well never produced much in excess of that at any
19 point and it never became an issue, and it's natural to see
20 how that well was shelved and as the unit, Yates unit was
21 developed, it was quite natural to assume that they were
22 dealing with gas wells and acted accordingly.

23 Our opinion from what we know
24 about our well and from what we know about the Benson Deep 1
25 Well, is we are of the opinion and believe the evidence will

1 demonstrate that this is an oil reservoir and that the
2 gas/oil ratios are so low that you must continue to treat it
3 as an oil reservoir; that the production limitation, how-
4 ever, can be increased to the statewide depth bracket allow-
5 able.

6 In addition we believe that you
7 can use a higher gas/oil ratio than the statewide 2000-to-1.

8 Our evidence shows that the
9 production has not caused the gas/oil ratios to climb when
10 that production exceeds 70 barrels a day. We don't see any
11 damage to the reservoir, no adverse consequences, and be-
12 lieve the reduction limitation can be eliminated and in-
13 creased; however, we believe the geologic testimony and the
14 engineering data shows that for whatever you do with the
15 Yates wells in the Strawn, you must also do for the Meridian
16 well because we believe that they're in communication and
17 ought to be subject to the same rules. They appear to be in
18 the same equivalent interval in the Strawn and it would be
19 inappropriate to set different rules for the two wells.

20 So in conclusion we believe our
21 evidence is that the oil reservoir continues to be an oil
22 reservoir; that all wells ought to abide by those rules, and
23 that the production limitation ought to be eliminated and
24 let us go to the statewide basis and allow the production to
25 be balanced and treated accordingly, and that would be our

1 position.

2 MR. DICKERSON: Mr. Examiner
3 I'll only close my statement by saying that the Yates
4 position is only that the evidence will show that this is in
5 fact a gas pool and should be continued to be developed on
6 320-acre spacing as it has in the -- as a matter of fact in
7 the past, subject to the statewide, the general statewide
8 rule on gas well spacing in formations of this age in south-
9 east New Mexico.

10 In the alternative, in the
11 event that the Division believed the evidence of Meridian,
12 that this was not in fact a gas pool but was an oil pool,
13 then we seek the same relief as Meridian, that is an in-
14 crease to a realistic level in the allowable and the gas/oil
15 ratio, but at the same time we request that in view of the
16 fact that the Yates Benson Deep Unit No. 4 Well has produced
17 for several years, and given the nature of the questions as
18 to the reservoir actually involved, which you will decide
19 here today, that it would be inequitable to force Yates to
20 shut its well in for any period of time given the recent
21 completion of Meridian's offsetting well, that both parties
22 obviously have the right to drill and to produce their fair
23 and equitable share of the gas, oil, or condensate, or com-
24 bination, whatever it actually is that is in place, and that
25 the only manner in which the status quo can be equitably pre-

1 served for both parties regardless of the decision of the
2 Division, is to allow both of those wells to continue to
3 produce since we also believe that the Meridian well is in
4 communication and in fact in the same reservoir as the
5 Benson Deep Unit No. 4 Well and other wells in the Benson
6 Strawn Pool.

7

8

JANET RICHARDSON,

9 being called as a witness and being duly sworn upon her
10 oath, testified as follows, to-wit:

11

12

DIRECT EXAMINATION

13

BY MR. DICKERSON:

14

Q

For the record, will you state your name,
15 your occupation, and by whom you're employed, please?

16

A

Janet Richardson. I'm a landman for
17 Yates Petroleum Corporation in Artesia, New Mexico.

18

Q

And, Mrs. Richardson, you have testified
19 on several occasions before this Division --

20

A

Yes.

21

Q

-- have you not?

22

A

Yes, I have.

23

Q

And are you familiar with the land situa-
24 tion in the area of the Benson Strawn Pool and the Benson
25 Deep Unit Area?

1 A Yes, I am.

2 MR. DICKERSON: Is this witness
3 qualified, Mr. Examiner?

4 MR. CATANACH: The witness is
5 qualified.

6 Q Ms. Richardsan, directing your attention
7 to what we have submitted as Yates Exhibit Number One, will
8 you tell the Examiner what that map shows?

9 A This is a map of the Benson Deep Unit.
10 The purple outline shows the full outline of the unit, it's
11 a three section unit.

12 The red spots are where the well loca-
13 tions are. We have five wells in this unit.

14 The red outline is where the Strawn par-
15 ticipating area is at.

16 Q Okay. Let's turn to Exhibit Number Two
17 but keep Exhibit Number One handy because I'll ask you to
18 make further reference to it in a minute. Identify what we
19 have submitted as Yates Exhibit Number Two.

20 A Exhibit Number Two is the first page and
21 basically paragraph IX of our unit agreement for the Benson
22 Deep Unit Area. Paragraph IX deals with the participation
23 after discovery. It outlines how the Bureau of Land Manage-
24 ment delegates lands to be put into a participating area.
25 They say that land regarded as reasonably proved to be pro-

1 ductive in paying quantities should be included in the par-
2 ticipating area.

3 Q And who is it that makes that determina-
4 tion?

5 A The Bureau of Land Management.

6 Q Okay. Now directing your attention back
7 to Exhibit Number One, will you point out for the Examiner
8 the first well drilled in this area?

9 A The Benson Deep Unit No. 1 Well is drill-
10 ed in the south half of Section 33 and it was applied for
11 and received approval for the initial Strawn participating
12 area.

13 Q Consisting of what acreage?

14 A Of 320 acres.

15 Q Okay, what was the second well drilled in
16 this unit?

17 A The Benson Deep Unit -- No. 2 Unit --
18 No. 2 Well. It was in the west half of Section 34.

19 Q And that was completed in what zone?

20 A That was completed in the Morrow zone and
21 then subsequently recompleted.

22 Q In the Bone Spring?

23 A In the Bone Spring.

24 Q Was a Strawn participating area in fact
25 dedicated to that well by the BLM also?

1 A Yes, it was. The well was proved to be
2 capable of producing in the Strawn but isn't at the moment.

3 Q Okay. And what was the third well drill-
4 led within the boundaries of the Benson Deep Unit?

5 A That's the Benson Deep Unit No. 3 Well.
6 It's in the north half of Section 33 and it's completed in
7 the Morrow.

8 Q And so is not affected by any Strawn --

9 A Right.

10 Q -- participating area.

11 A Right.

12 Q Point out for us the fourth well drilled
13 on the unit area.

14 A It's located in the west half of Section
15 3 of 19 South, 30 East, and it was also included in the
16 Strawn participating area and is completed in the Strawn at
17 this time.

18 Q And has produced continuously from the
19 Strawn since it's completion?

20 A Yes, it has.

21 Q Describe for us the fifth and last well
22 which has been drilled in the boundaries of the unit.

23 A The fifth well is in the east half of
24 Section 4 and it's completed in the Strawn but it is shut-in
25 at this time.

1 Q Did -- in connection with that, and as
2 required under the terms of the Federal exploratory unit,
3 did the Bureau of Land Management make a determination as to
4 whether or not that No. 5 Well was a commercial well or not?

5 A Yes, they have determined that that No. 5
6 Well is a noncommercial well.

7 Q Okay, identify Exhibit Number Three and
8 tell us what it consists of.

9 A Exhibit Number Three are the applications
10 for the initial participating area for the Strawn formation.
11 This exhibit also includes the first revision and second re-
12 vision of the Strawn participating area.

13 It also includes the approvals by the
14 Bureau of Land Management, which approved all of the initial
15 and both revisions of the Strawn Participating Area.

16 Q So given (not understood) to all revi-
17 sions of the Strawn Participating Area, what acreage is at
18 the present time included by the BLM in the Strawn Partici-
19 pating Area for this Federal Unit?

20 A At this time it includes the south half
21 of Section 33 and the west half of Section 34 and the west
22 half of Section 3.

23 Q Mrs. Richardson, directing your attention
24 to the acreage in Sections 34 and Section 3 lying to the
25 east and contiguous to the Benson Deep Unit boundaries, spe-

1 cifically first with regard to the southeast quarter of Sec-
2 tion 3, do you have any knowledge of who owns that 160-acre
3 tract?

4 A The Hinkle Law Firm filed an application
5 for this tract and received approval from the Bureau of Land
6 Management on their last KGS sale.

7 Q This is a Federal KGS tract?

8 A Yes, it is.

9 Q Did the application show on whose behalf
10 the application -- it was filed?

11 A Yes, on Meridian Oil Company.

12 Q Okay. And to your knowledge does Merid-
13 ian also have acreage in the east half of Section 34 imme-
14 diately to the north?

15 A I believe they have an option from the
16 owners of the acreage to go up there and drill.

17 Q This is based on your conversations with
18 Meridian personnel?

19 A No. Based on -- on some of the owners of
20 the southeast quarter of 34.

21 Q Okay. Were Exhibits One, Two, and Three
22 compiled by you?

23 A Yes.

24 MR. DICKERSON: Mr. Examiner, I
25 move admission of Yates Exhibits One, Two, and Three at this

1 time and I have no further questions of Mrs. Richardson.

2 MR. CATANACH: Exhibits One,
3 Two, and Three will be admitted into evidence.

4 Any cross?

5 MR. KELLAHIN: Yes, Mr. Cata-
6 nach.

7
8 CROSS EXAMINATION

9 BY MR. KELLAHIN:

10 Q A couple points of clarification, Mrs.
11 Richardson.

12 My Exhibit Three that Mr. Dickerson has
13 given me, the first page is a February 4th, 1984 letter, but
14 then stapled together are a number of documents. Is this
15 all intended to be one exhibit?

16 A Yes, it is. This includes -- the top
17 letter is the application. The application also includes
18 the geological report, a plat for the different participat-
19 ing area. It also includes another letter for the first re-
20 vision. That's dated July 3rd, 1984, and it also --
21 no, it doesn't have any --

22 Q You don't have to tell me --

23 A Okay.

24 Q -- all of the pieces of paper in here but
25 this constituted then the attachments to the February 8th

1 letter to the Bureau of Land Management talking about the
2 participation area in the Strawn for the Benson Deep No. 1
3 Well.

4 A Well, it also includes, though, when we
5 went in and revised the participating area.

6 Q Ah, all right.

7 A For -- and enlarged it.

8 Q Very good.

9 A So that you have both of those in there,
10 also.

11 Q All right. My second point of clarification
12 is my colors on Exhibit Number One are perhaps not as
13 clear as yours. What was intended by the purple outline?

14 A That is the outline of the Benson Deep
15 Unit.

16 Q Is that entire area still intact insofar
17 as the unit area goes?

18 A No, I believe it was on July 9th of 1985
19 the unit contracted.

20 Q To conform to the red outline.

21 A Right, to the participating area.

22 Q All right. Let me ask you this. If the
23 Examiner finds that the appropriate spacing for the Strawn
24 is going to be 160 acres as opposed to 320 gas, my question
25 is whether or not that will require you to contract the par-

1 participation area for the Benson Deep 4 Well and to delete the
2 southeast quarter from the section -- from the unit.

3 A The southwest quarter?

4 Q Yeah, the southwest quarter.

5 A I believe that under the rules that you
6 do not contract your participating area unless all the wells
7 producing out of that formation are plugged and abandoned,
8 so your -- your participating area will remain the same.

9 Q Let me make my question more simply --

10 A All right.

11 Q Simpler. If -- if the Commission deter-
12 mines that the Benson Strawn rules, 160-acre rules, are to
13 apply to the No. 4 Well, is that going to cause you to have
14 to change the parties that are currently sharing and enjoy-
15 ing the production from that well?

16 A No, our unit also consists of a working
17 interest unit which -- the working interest owners equally
18 share in the entire outline of the Benson Deep Unit.

19 Q In addition, will the deletion of the
20 southwest quarter of Section 3 from the acreage dedicated to
21 the Benson Deep 4 Well, would that result in the change in
22 the participation percentage for any of those individuals?

23 A No.

24 Q Same answer, same units holding it to-
25 gether.

A Right. Uh-huh.

1 Q Will the change from 320 to 160, if
2 that's what the outcome is, would that require you to per-
3 form any other function under either the agreement with the
4 BLM or under the unit agreement?

5 A I don't believe so.

6 Q Okay.

7 MR. KELLAHIN: Thank you, I
8 have nothing further.

9 MR. CATANACH: Anything
10 further?

11 MR. DICKERSON: One question,
12 Mr. Examiner.

13

14 REDIRECT EXAMINATION

15 BY MR. DICKERSON:

16 Q Mrs. Richardson, upon the contraction of
17 the deep -- of the Benson Deep Unit Area to the areas
18 contained within the then participating areas on July 9th of
19 1985, we had the area 960 acres outlined in red, roughly
20 shaped like a sideways T, committed to Strawn participating
21 areas. We had the acreage consisting of the north half of
22 Section 33 dedicated to a Morrow participating area. So the
23 contraction of that unit actually affected only Section 4?

24 A No, I believe that the Morrow well in Sec-

25

1 tion 33, the No. 3 Well, I don't believe it was commercial,
2 either.

3 Q No, it was deemed noncommercial.

4 A Okay, also noncommercial and I don't
5 believe it's in the participating area.

6 Q And to amplify just a little bit on Mr.
7 Kellahin's question, did I understand you that regardless of
8 the contraction of the Benson Deep Unit Area, the Federal
9 Exploratory Unit, that the working interest unit operating
10 agreement executed along with that remains in effect
11 according to its terms among the parties, regardless of the
12 contraction of the Federal Unit?

13 A Yes, it does.

14 Q Okay.

15 MR. DICKERSON: No further
16 questions.

17 MR. CATANACH: I don't have any
18 questions of the witness, either.

19 She may be excused.

20 MR. DICKERSON: Call Mr. Ray
21 Beck.

22
23 RAY BECK,
24 being called as a witness and being duly sworn upon his
25 oath, testified as follows, to-wit:

DIRECT EXAMINATION

BY MR. DICKERSON:

Q Mr. Beck, will you state your name, your occupation and by whom you're employed?

A Ray Beck, geologist, Yates Petroleum, Artesia, New Mexico.

Q Mr. Beck, you have testified before this Division and the Commission on numerous occasions as a petroleum geologist and your credentials are a matter of record, are they not?

A Yes, sir.

Q And have you made an examination of the available geological data as the prelude to forming your opinions upon which you're prepared to testify today?

A Yes, I have.

Q And are you familiar with the geology in the area of the Benson Deep Unit and the Benson Strawn Pool?

A Yes, I am.

MR. DICKERSON: Tender Mr. Beck as an expert petroleum geologist, Mr. Examiner.

MR. CATANACH: Mr. Beck is so qualified.

Q Mr. Beck, what is the purpose of your geological testimony today?

1 A The purpose of my testimony is to serve
2 as a geological background for the main testimony, which
3 will be reservoir engineering testimony to be presented
4 later.

5 Q Directing your attention to what we have
6 submitted as Yates Exhibit Number Four, Mr. Beck, will you
7 describe to the Examiner what that instrument is?

8 A Exhibit Number Four is a location and
9 structure map covering the township-sized area surrounding
10 the Yates Benson Deep No. 4 Well in the west half of 3, 19,
11 30.

12 The well spots on the map indicate the
13 horizon at which the wells are now completed; however, I
14 will talk about the Strawn in those wells.

15 The Yates, formerly Napeco, Benson Deep
16 No. 1 in the south half of 33, produces from the upper part
17 of the Strawn Series, as indicated by the coloration on the
18 well spot on the map.

19 The Yates Benson No. 2, the west half of
20 34 of 18, 30, is a Morrow well, which is probably capable of
21 producing gas and condensate from the upper part of the
22 Strawn Series, same zone which is producing in the No. 1
23 well.

24 The Yates Benson Deep No. 3, the north
25 half of 33 of 18, 30, is a Morrow gas well which has good

1 potential to produce at a later time from the middle part of
2 the Strawn Series, a little lower than the other two wells
3 previously mentioned.

4 The Yates Benson No. 4, in the west half
5 of 3, 19, 30, is producing from the middle part of the
6 Strawn Series, as indicated on the map by a different well
7 spot coloration.

8 The Yates Benson Deep No. 5, in the east
9 half of 4, is completed in the middle part of the Strawn
10 Series.

11 So two of the wells that we know of are
12 producing from the middle part and two are from the upper
13 part -- excuse me, three from the middle part and two from
14 the upper part.

15 The Texaco Manning Well in 28 of 18, 30,
16 is a Devonian penetration which was plugged back for a com-
17 pletion in the Morrow Clastics. It might make a small re-
18 covery of gas and condensate later from the middle part of
19 the Strawn Series.

20 The ARCO State No. 1 Well in the Section
21 2 of 19, 30, is a dry -- is a Morrow penetration that was a
22 dry hole. They attempted a completion in the Bone Spring
23 and plugged the well as noncommercial.

24 The structure on the top of the Strawn
25 shows the present Strawn production and especially the

1 better future production apparently, is not within the
2 closed structure or on the top of the structural closure.

3 I'd say this map sums up that the sporadic
4 scattering of production from different zones within the
5 Strawn and the non-relationship of Strawn production to the
6 structural closure, shows that the horizontal and vertical
7 pool limitations are difficult to ascertain on the basis of
8 one early well, the Benson Deep No. 1, and may be expected to
9 be changed as more drilling is done and more information obtained.
10

11 Q Is the trace of your next Exhibit Number
12 Five shown on this map, Mr. Beck?

13 A Yes, it is.

14 Q Okay, refer now to what we've hung on the
15 wall as Yates Exhibit Number Five and tell us what you depict
16 by that cross section.

17 A The cross section is hung on the top of
18 the Strawn Series. The top of the Strawn and other log markers
19 are easily correlated from well to well.

20 The purpose of the cross section is to
21 show the relationship of the different Strawn producing
22 zones and certain log characteristics present in the Strawn.

23 The perforations or producing zones in
24 the Benson Deep No. 1 are stratigraphically higher than the
25 perforations in the zones in the Benson Deep No. 5 and Ben-

1 son Deep No. 4.

2 Correlating the Benson Deep No. 1 with
3 the Benson Deep No. 4, one on one, it is found that the base
4 of the perforations in the No. 1 Well are 42 feet strati-
5 graphically high to the top of the perforations in the Ben-
6 son Deep No. 4 Well, and in the previous map I refer to
7 these as the upper zone and the middle zone.

8 Now, it may be also observed from the ap-
9 pearance of the log that the clean limestone lens from which
10 the Benson Deep No. 4 produces is present in the Benson Deep
11 No. 5 but is not present in the Benson Deep No. 1 or the
12 ARCO State No. 2 Well.

13 This BDU No. 4 reservoir lens is obvious-
14 ly cleaner and less radioactive and less broken than the
15 equivalent stratigraphic intervals in either the Benson Deep
16 No. 1 or the ARCO well.

17 In addition, the neutron density log,
18 what this cross section is composed of, shows gas effect,
19 that is, separation of about 3 chart divisions between the
20 neutron curve and the density curve on the Benson Deep No. 4
21 Well. This indicates a gas hydrocarbon reservoir at depth.

22 In contrast, experience has shown that
23 oil productive pay zones show the density curve and neutron
24 curves stacked or to be coincident, or much closer together
25 than this.

1 Q Mr. Beck, based on your examination of
2 this data have you formed an opinion as to the likely ulti-
3 mate extent of the Benson Strawn Pool, whether it be classi-
4 fied as oil or gas?

5 A I would say that the -- there are two
6 probably good wells in the pool, the Benson Deep No. 4 and
7 the Meridian Well, which we have not seen a log on, but we
8 assume it's in the same reservoir.

9 The Benson Deep No. 5 would be, say, an
10 edge well.

11 The Benson Deep No. 1 would be a small
12 well, upper.

13 The Benson Deep No. 3 would be a small
14 well in the lower, I mean middle zone.

15 The Benson Deep No. 2 would be a small
16 well in the upper zone.

17 So I would say that we probably have one
18 more good location besides the wells drilled now.

19 Q Mr. Beck, were Exhibits Four and Five
20 prepared by you or under your direction and supervision?

21 A Yes, they were.

22 MR. DICKERSON: Mr. Examiner,
23 I'd move admission of Yates Exhibits Four and Five at this
24 time and that concludes my direct examination of Mr. Beck.

25 MR. CATANACH: Exhibits Four

1 and Five will be admitted into evidence.

2 Mr. Kellahin, any questions?

3 MR. KELLAHIN: Thank you, Mr.
4 Catanach.

5

6 CROSS EXAMINATION

7 BY MR. KELLAHIN:

8 Q Mr. Beck, what is your understanding of
9 the vertical limits for the Benson Strawn Pool? Can you
10 show those to us on the cross section?

11 A The vertical limits as -- if you call the
12 whole Strawn Series the Strawn formation, it would be this
13 here.

14 Q You've identified on your Exhibit -- what
15 is that, Exhibit Four?

16 A Five.

17 Q Exhibit Number Five, you've picked that
18 line that's shown across the cross section labeled Strawn
19 Series and then you've taken it down to the top of where it
20 identifies itself as the Atoka Series?

21 A Yes.

22 Q Okay, that is the vertical limits, then,
23 for the Benson Strawn Pool?

24 A That's my understanding.

25 Q Do you see any geologic reason to change

1 the vertical limits for the Benson Strawn Pool?

2 A In my geological opinion, I don't believe
3 that the Benson Deep No. 1 and the Benson Deep No. 4 are
4 connected. They may be all in the Strawn Series but I don't
5 believe it's the same reservoir.

6 Q Are you proposing to the Examiner that we
7 ought to try to separate out any of these wells into separ-
8 ate reservoirs or pools?

9 A I'm not proposing that.

10 Q Okay. We generally treat the Strawn
11 Series as one pool under the pool rules of the various
12 Strawn pools?

13 A As far as my experience has shown, yes.

14 Q Do you know of any instance where we've
15 attempted to isolate out the various zones within the Strawn
16 Series as separate reservoirs?

17 A Not to my knowledge.

18 Q In terms of the horizontal extent of the
19 reservoir as you have seen it thus far, do you have a geolo-
20 gic opinion as to whether the Deep 1, the Benson Deep 5, the
21 Benson Deep 4 Wells ought to be in the same horizontal re-
22 servoir?

23 A Would you restate your question while I'm
24 looking at the map?

25 Q Yes, sir. When we look at the wells on

1 your exhibit, do you see any geologic reason not to include
2 all those wells in the same common rules for whatever reser-
3 voir that is?

4 A What all wells are you talking about?

5 Q Well, I'm talking about the Deep 1, which
6 is completed in the Upper Strawn.

7 A Uh-huh.

8 Q And I'm talking about the two Yates wells
9 that are completed in what you call the Middle Strawn.

10 A I understand your question. I -- I can
11 see by the pool rules that they're all in the Strawn Pool,
12 but like I say, the Benson Deep No. 1 and 5 in my opinion
13 are different reservoirs, geologically different.

14 Q Okay, and you haven't seen the log on the
15 Meridian well yet.

16 A No, sir.

17 Q All right, sir. Thank you, I have no-
18 thing further.

19 MR. DICKERSON: No further
20 questions.

21 MR. CATANACH: I have no ques-
22 tions of the witness at this time.

23 MR. DICKERSON: Call Mr. David
24 Lanning at this time, Mr. Examiner.

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

DAVID LANNING,

being called as a witness and being duly sworn upon his
oath, testified as follows, to-wit:

DIRECT EXAMINATION

BY MR. DICKERSON:

Q Mr. Lanning, will you state for the re-
cord your name, your occupation, and by whom you're em-
ployed?

A My name is David Lanning. I'm a petro-
leum engineer in Artesia, New Mexico, with Yates Petroleum
Corporation.

Q And you have testified before this Divi-
sion and the Commission as a petroleum engineer in the re-
cent past, have you not, and your --

A Yes, I have.

Q -- credentials are a matter of record?
Have you made a study, Mr. Lanning, of the available engine-
ering data in the area in question before us today?

A Yes, I have.

Q And based on your study have you presen-
ted -- have you prepared certain exhibits upon which you in-
tend to rely today?

A Yes, I have.

1 MR. DICKERSON: Mr. Examiner, I
2 tender Mr. Lanning as an expert petroleum engineer.

3 MR. CATANACH: Mr. Lanning is
4 so qualified.

5 Q Mr. Lanning, what is the purpose of Yates
6 application in this Case 9109?

7 A We are asking that the pool rules for the
8 Benson Strawn Pool that were established with Order R-6129
9 be rescinded and that the Benson Strawn be reclassified as a
10 gas pool under statewide rules.

11 For the last seven years Yates has been
12 the only operator in the field. We have developed the field
13 on 320-acre spacing. We believe it is a gas reservoir and
14 that that correlative rights can be protected and that
15 wasteful drilling could be prevented if 320-acre development
16 can be continued.

17 Q Do you have an alternate proposal in the
18 event that the Division did not agree with Yates' evidence
19 on that --

20 A Yes.

21 Q -- finding?

22 A Yes. If the Commission does not agree
23 that the pool is in fact a gas pool and that a well is cap-
24 able of draining 320 acres, we ask that the temporary allow-
25 able be increased from the current 70 barrels of oil per day

1 to the full depth bracket allowable of 560 barrels of oil
2 per day and that a special gas/oil ratio limitation of 3000-
3 to-1 be established.

4 In addition, we request that the Commis-
5 sion make the necessary changes in the Benson Strawn Pool
6 rules effective January 1st, 1985.

7 Q Mr. Lanning, what is your testimony be-
8 fore the Division today designed to show?

9 A I prepared several exhibits to show that
10 the Benson Strawn is in fact a gas pool and that it should
11 be developed under statewide rules of 320-acre spacing.

12 Q Okay, direct the Examiner's attention to
13 the instrument submitted as Yates Exhibit Number Six and
14 tell us what that is.

15 A Exhibit Number Six is a map of the Benson
16 Strawn area. It includes all of the wells that have been
17 drilled in the Benson Deep Unit, which is outlined on the
18 map, and the well Meridian recently drilled, the Benson 3
19 Federal No. 1.

20 Going through the map well by well, in
21 the south half of Section 33 Yates completed the Benson Deep
22 Unit No. 1 in the Strawn in May of 1979.

23 It has currently produced 258-milllion
24 cubic feet of gas and 62,000 barrels of condensate. It is
25 currently producing about 10 barrels of condensate and 125

1 MCF a day.

2 The GOR on this well is currently only
3 12,500 but it should soon increase back to its previously
4 established trend of about 25,000-to-1.

5 Over the last year it has gradually de-
6 creased because the well was loading up and dying and we re-
7 cently swabbed the well back in and it's gradually increas-
8 ing back up to where it was before.

9 In the west half of Section 34 the Benson
10 No. 2 was completed in the Morrow in 1982. It ws recom-
11 pleted in the Bone Spring last year.

12 In the north half of Section 33 the Ben-
13 son No. 3 was completed in the Morrow in 1983. In the west
14 half of Section 3 the Benson Deep No. 4 was completed in the
15 Strawn in June of 1984. It has produced 383-million cubic
16 feet of gas and 190,000 barrels of condensate. Current pro-
17 duction is approximately 450 MCF a day and 200 barrels of
18 condensate per day.

19 The current GOR of the No. 4 is about
20 2300-to-1 and it should begin to increase very soon in the
21 same pattern that the No. 1 did.

22 In the east half of Section 4 the Benson
23 Deep No. 5 was completed in the Strawn in May of 1985. It
24 has not been hooked up to pipeline.

25 In the east half of Section 3 Meridian

1 completed the Benson 3 Federal No. 1 last month and it is
2 still shut-in waiting on a pipeline connection.

3 Q Okay, refer to what we've submitted as
4 Yates Exhibit Number Seven, Mr. Lanning, and tell us what
5 that is.

6 A Okay. This is a copy of the Benson
7 Strawn Pool Rules and I intend to review the major points
8 that were covered in this rule. I've highlighted the por-
9 tions of the order which are the main points I want to
10 cover.

11 Order R-6129-A established the Benson
12 Strawn Oil Pool in June of 1980.

13 Rule Number 1 establishes that Strawn
14 wells drilled within a mile of the southeast quarter of Sec-
15 tion 33 would fall under the rules of this order.

16 Rule Number 2 establishes 160-acre prora-
17 tion units.

18 Rule Number 3 requires drilling no closer
19 than 660 feet to any quarter section line, nor closer than
20 330 feet to any quarter quarter section line.

21 Rule Number 5 assigns a depth bracket al-
22 lowable of 70 barrels of oil per day to each well.

23 It was further ordered that (1) special
24 depth bracket allowable established in Rule 5 would remain
25 in effect pending the establishment of a permanent depth

1 bracket allowable and the gas/oil ratio limit for the pool.

2 And numbers (2) and (3) production tests
3 were to be performed on the Benson Deep Unit No. 1 and sub-
4 mitted to the Commission.

5 And then number (4), based on the results
6 of the tests submitted the Director of the Division could
7 administratively revise the special depth bracket allowable
8 set forth in Rule 5, could establish a special GOR limit, or
9 he could set the matter for public hearing.

10 Q Okay, refer to what we've submitted as
11 Exhibit Number 8, Mr. Lanning, and tell us what that is and
12 how it relates to Yates completion of the No. 4 Well and its
13 subsequent production in excess of the allowable set by the
14 previous exhibit.

15 A Exhibit Number 8 is a chronological list
16 of the events from the last seven years that concern this
17 case, and I want to go through them one at a time.

18 In May of 1979 the discovery well, the
19 Benson Deep Unit No. 1, was completed in the Upper Strawn.
20 Napeco was the operator of the Benson Deep Unit at this
21 time.

22 July 25th of '79, the initial hearing was
23 held in which Napeco sought the creation of the Benson
24 Strawn Pool with provision for 160-acre spacing. In this
25 hearing Napeco was asking for oil classification but they

1 felt that a well was capable of draining at least 160 acres
2 and possibly 320 acres.

3 Mr. Nutter was the examiner. He ques-
4 tioned whether the pool was in fact oil or gas. He was
5 aware of a nearby pool, the Parkway -- West Parkway Strawn,
6 in which there had been a question about whether or not the
7 reservoir was oil or gas, and there was some doubt about the
8 classification.

9 10-10-79, Napeco's application was denied
10 based on their lack of evidence that a well could effective-
11 ly drain 160 acres.

12 December 19th of 1979 the first fluid
13 sample was obtained from the Benson Deep Unit No. 1.

14 February of 1980 the results of the first
15 fluid sample indicated that the fluid was a volatile oil and
16 the de novo application that had been filed after the first
17 hearing was revised to include classification of the Benson
18 Strawn as a volatile oil reservoir.

19 A volatile oil is a somewhat rare fluid
20 that experiences unusually high shrinkage when it goes below
21 the bubble point. At initial reservoir pressure above the
22 bubble point a volatile oil exists in a single phase as a
23 liquid. As soon as you go below the bubble point a greater
24 than normal percentage of that liquid converts to gas and
25 that's where it gets the term volatile oil.

1 April 16th of 1980 the de novo hearing
2 was held on Napeco's application for pool creation and
3 special rules allowing for 160-acre spacing. At this hear-
4 ing there was a great deal of testimony regarding this vola-
5 tile oil fluid study, pressure analysis that had been done
6 and computer simulation of the Benson Strawn reservoir.

7 The Benson Deep working interest owners
8 had gone to a lot of trouble and expense to obtain some
9 special pool rules that they felt would allow for the most
10 effective development plan to maximize the ultimate recovery
11 from this new pool.

12 Their effort was successful and that re-
13 sulted in Order 6129, which was Exhibit Number Seven, which
14 created the Benson Strawn Pool.

15 The additional testing requirements of
16 the order were included so that final pool rules would pro-
17 vide for the most efficient production rate for the field.

18 June 29th of 1980 a second fluid sample
19 was obtained from the Benson Deep Unit No. 1 because of some
20 doubts regarding the validity of the initial sample. At
21 some point in time after this first sample was taken, it was
22 discovered that there was a problem with the measurement of
23 the gas during the sampling procedure. These samples are
24 taken at the surface and then the gas and the fluid are re-
25 combined for the fluid analysis in the laboratory.

1 If they are recombined at the wrong ratio
2 it will alter the results of the analysis. Because a frac-
3 ture treatment design study for the Benson Deep Unit No. 1
4 and additional reservoir modeling were being planned, every
5 effort was being made to insure accurate data.

6 September 19th of 1980 the results of the
7 second fluid analysis indicated the reservoir fluid to be a
8 retrograde condensate gas. A retrograde condensate gas is
9 also an unusual fluid but it is found in other reservoirs in
10 southeastern New Mexico. A retrograde condensate gas is
11 also in a single gas phase under initial reservoir
12 conditions above the dew point pressure. When pressure is
13 reduced in a retrograde condensate gas, instead of
14 expanding as a gas normally would, they condense and varying
15 amounts of condensate fall out of the gas.

16 October 1st of 1980 Yates Petroleum
17 became the operator of the Benson Deep Unit.

18 One week later on the 8th Yates Petroleum
19 provided the pre-frac production tests from the Benson Deep
20 Unit No. 1 to the Oil Conservation Division as required by
21 the special pool rules.

22 Q And your Exhibit Number Nine consists of
23 that letter and one additional letter?

24 A Yes. This Exhibit Number Nine is two
25 different letters.

1 The first letter is dated September 10th,
2 1980. It is from Keplinger and Associates, which was the
3 engineering consulting firm handling the work on this mat-
4 ter.

5 In this letter they are informing Yates
6 of the preliminary results of this second fluid sample and
7 the second paragraph shows that the C7+ content is much
8 lower than previously determined on the first sample and
9 that the fluid is a rich condensate. The general cutoff in
10 fluid analysis is about 12-1/2 percent. Normally when your
11 C7+ content is above 12-1/2 the fluid exists as a liquid
12 single phase. Below 12-1/2 percent the C7+ content, it nor-
13 mally exists as a gas.

14 He then summarizes that additional model
15 and simulation studies are planned and based upon this data
16 he expects a completion date of somewhere between 1 and 15
17 October.

18 The second letter is dated October 8th,
19 1980, and it is from Yates Petroleum to Joe Ramey. In this
20 letter we were filing the initial production tests on the
21 Benson No. 1 as required by the pool rules.

22 The last paragraph also said that further
23 tests would be performed after the fracture stimulation so
24 that the requirements of the order would be complied with to
25 their fullest.

1 No. 4 is approximately 40 feet lower than the completion in-
2 terval in the No. 1 and it's obviously a much more produc-
3 tive interval as you can see just from looking at the cumu-
4 lative production.

5 The Benson Deep Unit No. 1 is completed
6 in 30 feet of low quality pay. The Benson Deep Unit No. 4
7 is completed in 12 feet of very high quality pay. It is es-
8 sentially a separate reservoir; however, the Benson Deep
9 Unit No. 4 is within a mile of the Benson Deep Unit No. 1
10 and therefore it technically fell within the special pool
11 rules that had been established back in 1980.

12 The pool should have been reclassified at
13 this time but due to the three year time period which it
14 will last and the different pay intervals in which the wells
15 were completed, it was inadvertantly not done at that time.

16 From June of '84 two more years passed
17 and then in June of 1986 the OCD recognized that the Benson
18 Deep Unit No. 4 was within the limits of the Benson Strawn
19 special pool rules.

20 Q Identify and tell us what Exhibit Number
21 Ten is, Mr. Lanning.

22 A Exhibit Number Ten is a copy of the
23 monthly statistical page for June of 1986 and the second
24 page is a shut-in notice for the Benson Deep Unit No. 4.

25 Looking at page one you can see that the

1 Benson No. 4 was placed in the Benson Strawn Pool. Prior to
2 this time, as I said, it was being carried as Eddy County
3 Undesignated Strawn.

4 In this particular sheet you can see it
5 was now being classified as a gas well in an oil pool and it
6 began to accumulate casinghead gas overproduction based on
7 the 70-barrel of oil a day allowable and the 2000-to-1 GOR
8 limitation.

9 Yates did not become aware of this action
10 in June of '86 because we do not routinely review these
11 monthly statistical reports and we received no other notice.

12 Page 2 is the shut-in notice that we re-
13 ceived on February 13th of 1987. It is also shown to be
14 calculating overproduction for the well based on the special
15 pool rules allowable.

16 This shut-in order was the first indica-
17 tion that Yates received of the problem that we're here ad-
18 dressing today.

19 Then in January and February of this year
20 Meridian drilled their Benson 3 Federal No. 1 offset to
21 Yates Petroleum Benson Deep No. 4.

22 Q Mr. Lanning, has any further action been
23 taken on the shut-in order which was sent to Yates Petroleum
24 Corporation prior to this hearing?

25 A Well, immediately after we received the

1 shut-in order I called the girl's name who is on the shut-in
2 order and she told me I needed to talk to Les Clements in
3 the Artesia Office, and so I went and talked to Les and ex-
4 plained the problem and told him that we were going to be
5 appearing at a hearing to take care of the matter and we
6 were requesting to produce the well as we had for the pre-
7 vious two years until the hearing.

8 He said that he would allow us to produce
9 the well until the hearing and he would grant us to produce
10 it in the event a continuance was necessary.

11 Q And he wrote a letter to that effect?

12 A Yes, he wrote a letter to that effect.

13 Q Which should be in the Division's files.

14 A Yes, it is.

15 Q So then, Mr. Lanning, is it then Yates'
16 position in this case that in fact the Benson Strawn is a
17 gas reservoir and in fact not an oil reservoir and that the
18 special pool rules adopted in 1980 should be rescinded ef-
19 fective at least as early as January 1st, 1985?

20 A That's correct.

21 Q Have you prepared any exhibits that you
22 could use to show -- to demonstrate your opinion that the
23 Benson Strawn is in fact a gas reservoir?

24 A Yes, I have.

25 Q Identify what we've submitted as Yates

1 Exhibit Number Eleven, Mr. Lanning, and tell us what that
2 is.

3 A Exhibit Number Eleven is a 9-page exhibit
4 which will summarize the fluid analysis available for the
5 Benson Strawn and two other adjacent Strawn pools.

6 Page 1 of the exhibit is an area map
7 which illustrates the location of the Benson Strawn and the
8 two adjacent Strawn pools, the West Parkway Strawn and the
9 East Burton Flats Strawn.

10 The red circles indicate which wells have
11 had fluid analysis performed on them.

12 Page 2 and 3 summarize the results of a
13 fluid analysis performed by Core Laboratories and on the
14 second sample obtained from the Benson Deep Unit No. 1 in
15 July of 1980.

16 This fluid was identified as a retrograde
17 condensate gas. The initial reservoir pressure was above
18 the dew point pressure that's listed, so the reservoir was
19 in a 100 percent gas phase when it was discovered.

20 The maximum observed retrograde
21 condensate volume was 43.1 percent of the hydrocarbon pore
22 space. That means that of the 100 percent gas phase that
23 originally existed in the reservoir 43 percent of that
24 hydrocarbon pore volume at some particular pressure will
25 revert to condensate.

As you produce past that pressure, then part of that condensate will then re-vaporize. This is a very high percentage of retrograde condensate volume and this is what accounts for the high condensate production and the low initial GOR's in this Benson Strawn Pool.

6 Q And has that opinion been subsequently
7 borne out by the actual production of this oil?

8 A Yes, it has. Pages 4 and 5 summarize the
9 results of the fluid analysis performed by Core Laboratories
10 on a sample obtained from the Benson Deep Unit No. 4 last
11 month, February 25th.

This fluid was also identified as a retrograde condensate gas and it was compared to the Benson Deep Unit No. 1 sample, which you can see on the second page.

16 Reading from that second page it says,
17 "An examination of the study done on the Benson Deep Unit
18 No. 1 indicates strong similarities with the Benson Deep No.
19 4. This is evidenced in the well stream composition and the
20 retrograde liquid accumulation."

The well stream composition in the Benson Deep No. 1, the C7+, had I believe it was a 10.5 percent concentration and in the Benson Deep No. 4 it was 9.8 percent.

25 The retrograde volumes were also very

1 similar.

2 Q Based on this information have you formed
3 a conclusion or is it possible for an engineer to form a
4 conclusion as to whether this -- the fluids in place in this
5 Benson Strawn Reservoir are in fact oil or gas?

6 A Yes. Based on the fact that the original
7 fluid sample was suspected to be in error and the fact that
8 two samples have been done subsequent to that sample, and
9 they both agree very close to one another, we now believe
10 that the gas -- that the reservoir was in fact a gas reser-
11 voir and not a volatile oil reservoir as originally be-
12 lieved.

13 Q Do you have another gas analysis con-
14 tained in part of this Exhibit --

15 A Yes.

16 Q -- Eleven?

17 A Page 6 and 7 of the exhibit are the fluid
18 analysis of the Slinkard UR Federal No. 2. This well is al-
19 so operated by Yates Petroleum and is located in the East
20 Burton Flats Strawn Field approximately eight miles south-
21 west of the Benson Strawn.

22 This fluid sample was also obtained by
23 Core Laboratories, analyzed in 1984. It shows the fluid to
24 be a retrograde condensate gas.

25 Q And do you know whether or not this East

1 Burton Flats Strawn Pool is classified as an oil pool or as
2 a gas pool?

3 A It is classified as a gas pool and devel-
4 oped on 320-acre spacing.

5 Q Okay. Please continue with this exhibit.

6 A Pages 8 and 9 relate to the West Parkway
7 Strawn Pool, which is located approximately seven miles
8 southwest of the Benson Strawn. This is the pool that Mr.
9 Nutter questioned Napeco about in the original hearing for
10 the Benson Pool.

11 This exhibit is a copy of Order R-4638,
12 which created operating rules for the West Parkway Strawn
13 Gas Pool and the West Parkway Atoka Gas Pool.

14 Findings 6 and 8, which are highlighted,
15 they indicate that there was initially a question regarding
16 whether the reservoir was in fact oil, gas, or retrograde
17 condensate gas.

18 Finding 8 established that the reservoir
19 should be developed on 320-acre spacing. These rules were
20 adopted on a temporary basis in October of 1973 and then the
21 case was reopened in October of 1974 to hear additional tes-
22 timony.

23 Q Mr. Lanning, as part of your study of the
24 engineering data in this area, have you reviewed the testi-
25 mony presented concerning this West Parkway Strawn Pool?

1 A Yes, I have. The Petroleum Corporation,
2 who is the operator of the only well in the pool, presented
3 the results of a fluid sample obtained from the West Parkway
4 Unit No. 1. This fluid sample was also analyzed by Core La-
5 boratories. the fluid was identified as a retrograde con-
6 densate gas, which supported their classification of the
7 West Parkway Strawn as a gas pool with 320-acre spacing.

8 These pool rules were made permanent in
9 November of 1974.

10 Q What conclusions, if any, do you draw
11 from your study of what you have submitted as Exhibit Number
12 Eleven?

13 A Well, I have presented fluid samples from
14 four different wells. Two of the wells are in the Benson
15 Strawn Pool and they are the only two wells that have ever
16 produced from the Benson Strawn Pool up to this time except
17 for initial testing on two other wells.

18 The other two samples are from Strawn
19 pools that are immediately adjacent to the Benson Strawn and
20 all of these samples agree that the reservoir fluid is a re-
21 trograde condensate gas.

22 Q Identify what we have submitted as Yates
23 Exhibit Number Twelve and tell us what that is.

24 A This is an exhibit to show another offset
25 pool, the Sand Tank Strawn, which is located about five

1 miles north of the Benson Strawn. This field was developed
2 beginning in 1983 and it contains three wells operated by
3 Southland Royalty, which I believe is now Meridian.

4 Page 2 is the field's production his-
5 tory. It shows the initial GOR started at 3900 and it has
6 gradually increased to about 7000.

7 This pool is also classified as a gas
8 pool and is developed on 320-acre spacing.

9 Q Okay. Turn now, Mr. Lanning, to Exhibit
10 Number Thirteen and tell us what is relevant on that log.

11 A Number Thirteen is the neutron density
12 log through a portion of the Strawn interval for the Benson
13 Deep Unit No. 4. The completed interval is shown from
14 10,829 to 839 and the Strawn pay in this interval is a very
15 clean limestone.

16 Because this log was recorded on a lime-
17 stone matrix the neutron and density curves should approxi-
18 mately overlay each other. It is a well known fact that a
19 zone containing gas, or very light hydrocarbons, will cause
20 the neutron log response to be suppressed.

21 In this well we are seeing an average
22 peak response of 7 porosity units for the density curve and
23 only one porosity unit for the neutron curve, or to put it
24 another way, the gas effect in this well is causing a neut-
25 ron curve to be suppressed six porosity units.

1 Q And what conclusion do you draw from your
2 examination of this log?

3 A Well, this log in conjunction with the
4 other evidence, I would conclude that the Strawn interval is
5 filled with gas and not oil.

6 Q Your final exhibit submitted, Mr. Lan-
7 ning, is Yates Exhibit Number Fourteen. Identify that and
8 tell us what you show by those calculations.

9 A This is a volumetric analysis of the Ben-
10 son Strawn reservoir in the area immediately surrounding the
11 Benson Deep Unit No. 4.

12 For this analysis I'm going to assume for
13 argument's sake that the reservoir is filled with oil. The
14 formula for original oil in place and barrels per acre is
15 given and I'm going to utilize parameters from the log ana-
16 lysis of the Benson Deep Unit No. 4. Insertion of those
17 parameters, 12 feet of net pay, 6 percent average porosity,
18 25 percent water saturation, and assuming a formation volume
19 factor of 2.03, which comes from the initial volatile oil
20 fluid sample, you get a resulting original oil in place of
21 2064 barrels per acre.

22 You then assume 160-acre spacing as re-
23 quired by the current pool rules, the original oil in place
24 would be 330,000 barrels of oil.

25 The Benson Deep Unit No. 4 has already

1 recovered 190,000 barrels of oil or 58 percent of the origi-
2 nal oil in place for 160 acres.

3 The Benson No. 4 is still producing ap-
4 proximately 200 barrels of condensate per day and if you'll
5 further assume with me that it will produce another 100,000
6 barrels of condensate, the resultant recovery would be 88
7 percent of the original oil in place for 160-acre spacing.

8 I don't know of any oil reservoir that
9 can boast of this kind of primary recovery efficiency;
10 therefore, the only explanations are that the well is drain-
11 ing a lot more than 160 acres, which would be unlikely for
12 an oil well. The well is actually a gas well draining
13 greater than 160 acres, or the log of the Benson No. 4 is
14 totally unrepresentative of the surrounding reservoir.

15 Q Mr. Lanning, do you have the results of
16 any pressure analysis that would indicate that the area
17 being -- what area is in fact being drained by wells in the
18 Benson Strawn?

19 A Yes, I do. Pressure build-up analysis of
20 the Benson Deep Unit No. 4 indicates some fracturing ten-
21 dency and also the initial pressure of the zone that the
22 Benson No. 4 and No. 5 are completed in was approximately
23 5200 pounds. These wells are a half mile apart. The Benson
24 5 has never been produced. The current pressure of the No.
25 5 Well is 4,360 pounds so it has been reduced by about 16

1 percent with no production from the well. That tells me
2 that the Benson No. 4 is actively draining an area a half
3 mile away.

4 Q How recently has your pressure data been
5 obtained?

6 A As late as yesterday afternoon.

7 Q Okay. Mr. Lanning, were Exhibits Six
8 through Fourteen either prepared by you or under your direc-
9 tion and supervision or compiled under your direction and
10 supervision?

11 A Yes, I prepared all of them.

12 MR. DICKERSON: Mr. Examiner,
13 at this time I would move admission of Yates Exhibits Six
14 through Fourteen.

15 Q Mr. Lanning, do you have in conclusion a
16 recommendation to the examiner as to what should be done in
17 this case and summarize again for the examiner what Yates is
18 seeking with this application in regard to the Benson Strawn
19 pool rules.

20 A I hope that it is obvious by now that
21 these pool rules for the Benson Strawn should have been
22 rescinded years ago. The reservoir is a gas reservoir and
23 not an oil reservoir as originally believed. This conclu-
24 sion is based on fluid analysis, analogy with surrounding
25 pools, and observed performance.

1 The field has been developed on 320 acres
2 up to this point in time. Future development should also be
3 done on 320-acre spacing. Correlative rights will be pro-
4 tected and wasteful drilling will be prevented.

5 If, however, a decision is made to dev-
6 elop on 160-acre spacing in accordance with the existing
7 rules, the allowable should be changed to the top depth
8 bracket allowable of 560 barrels of oil per day and a 3000-
9 tol GOR limitation.

10 We all realize that a 70-barrel a day al-
11 lowable is not practical for an 11,000 foot well, and that
12 the allowable was established on a temporary basis.

13 Also, we are asking that whatever deci-
14 sion is made, it should have an effective date of January
15 1st, 1985. This is the date of the first production for the
16 Benson Deep No. 4. The Benson Deep No. 4 is currently over-
17 produced because the pool rules were not revised at an ear-
18 lier time; however, Yates has been the only operator in the
19 field until this year and we have established that no harm
20 has been done to the Strawn reservoir or to any other opera-
21 tor.

22 If the Benson No. 4 is now required to be
23 shut in, actual drainage will take place from the Benson
24 Deep Unit to the offset Meridian well.

25 Q In your opinion will the development of

1 this Benson Strawn Pool on 60-acre spacing, Mr. Lanning,
2 result in the drilling of unnecessary and wasteful wells?

3 A Yes, I believe it would.

4 Q In your opinion will the development of
5 the Benson Strawn Pool on 320 acres prevent this waste and
6 adequately protect the corrlative rights of all parties
7 within the pool boundaries?

8 A Yes, I believe it will.

9 MR. DICKERSON: Mr. Examiner, I
10 have no further questions of this witness.

11 MR. CATANACH: Okay, let me --
12 Exhibits Six through Fourteen will be admitted into evi-
13 dence.

14 Mr. Kellahin, any questions?

15 MR. KELLAHIN: Yes, Mr. Exam-
16 iner. I wonder if we might take a short break so that I can
17 organize my questions for Mr. Lanning. I have received from
18 him for the first time a number of engineering analyses that
19 obviously I haven't had any time to look at. We might take
20 a short break and let me see if I can't organize my ques-
21 tions of Mr. Lanning in a way that moves this hearing along.

22 MR. CATANACH: Ten minutes be
23 enough for you?

24 MR. KELLAHIN: I think so.

25 MR. CATANACH: Okay. We'll

1 take a ten inute recess.

2

3 (Thereupon a recess was taken.)

4

5 MR. CATANACH: Okay, we'll
6 reconvene at this time.

7

Mr. Kellahin?

8

MR. KELLAHIN: Thank you, Mr.

9 Examiner.

10

11

CROSS EXAMINATION

12 BY MR. KELLAHIN:

13

Q Mr. Lanning, while I'm searching through
14 your exhibits here, sir, would you identify for me among
15 your exhibits with regards to the Benson Deep No. 4 Well
16 those documents that refer to anay fluid analysis or reser-
17 voir fluid study?

18

A On the Benson No. 4 the only exhibit was
19 Exhibit Number Eleven.

20

Q All right, sir, on the No. 4, then, we're
21 looking at the Core Laboratory's letter of September 19th,
22 1980.

23

A No, that's on the Benson No. 1.

24

Q Looking at Exhibit Eleven -- all right,

25

I'm getting there.

1 A Pages 4 and 5.

2 Q Yes, sir, pages 4 and 5, the Litton Core
3 Lab letter of March 13th, 1987, is the reservoir fluid study
4 summary for the No. 4 Well, is that correct?

5 A That's correct.

6 Q Do you have under your control, Mr. Lanning,
7 any other reservoir fluid studies other than this one
8 for this subject well?

9 A No, I do not.

10 Q Will you share with me, Mr. Lanning, the
11 underlying documents that support and go with the reservoir
12 fluid studies?

13 A Yes, I will.

14 Q Do you have a copy available today?

15 MR. KELLAHIN: Mr. Examiner,
16 what we propose to do is for clarity in the record, we will
17 mark this before the hearing is over as a supplemental exhibit.
18

19 We'll make additional copies so
20 that we may have them and so they will be in the record for
21 you that Mr. Lanning has given me a reservoir fluid study
22 booklet in an orange cover that he's testified goes -- is
23 the supporting documents that go with the reservoir fluid
24 study for the No. 4 Well, and I'll subsequently mark that.

25 Q Mr. Lanning, with regards to the No. 1

1
2 Deep Well in Section 33, Exhibit Number Eleven shows a Sep-
3 tember 19th, 1980 Core Lab summary letter. Do you also have
4 the supporting data that goes with that letter?

5 A Yes, I do.

6 MR. KELLAHIN: Mr. Examiner, I
7 propose to accomplish the same task with the supporting doc-
8 uments that go with that letter.

9 Q Other than the September 19th, 1980 fluid
10 study summary done for the No. 1 Deep Well, Mr. Lanning, and
11 with the exception of the fluid study that was presented to
12 the Commission in the hearing of the case 6609 back in 1980,
13 are you aware of any other reservoir fluid studies for that
14 well?

15 A No, there are not others.

16 Q With regards to the reservoir fluid
17 studies for the No. 1 and the No. 4, have you constructed
18 any type of phase envelope showing the composition of the
19 hydrocarbons, the liquids and the gas?

20 A Well, in those fluid studies you'll find
21 the retrograde fall-out curve, if that's what -- there's not
22 a phase, a pressure versus temperature. I have not created
23 a pressure versus temperature phase envelope.

24 Q The pressure versus temperature envelope
25 can be conducted based upon the information available in
these fluid studies or do you have to take outside informa-

1 tion?

2 A Well, I'm not -- I'm not sure exactly
3 what information you're wanting. What is in those documents
4 is all there is.

5 Q Have you plotted the production decline
6 for either one of those two wells?

7 A Yes, I have.

8 Q Do you have a production decline curve
9 for those wells?

10 A Yes, I do.

11 Q You've talked about pressure information
12 on the wells. What type of pressure study have you made of
13 the well?

14 A Well, throughout the life of the reser-
15 voir there's been -- I can't quote you every single pressure
16 study that has been done.

17 Yates Petroleum normally conducts an ini-
18 tial pressure nd then an initial pressure buildup on every
19 well. That will not be the case for every well but thqt's
20 the normal practice and there are some initial pressure
21 buildups which indicate initial pressure in these reser-
22 voirs.

23 Just recently we did a static bottom hole
24 pressure on the Benson Deep No. 5, the well that has never
25 produced, to see if there had been a decline in the pressure

1 in that zone.

2 Q And what did you find?

3 A Found that whatever the number was that I
4 testified to, there was a 15 percent decrease in the pres-
5 sure in that zone and there was a pressure buildup analysis
6 that I received at 5:00 o'clock yesterday afternoon on the
7 Benson Deep No. 4, which I analyzed far enough to realize
8 that it was involving a fractured reservoir and at that
9 point I did not do any further analysis on it.

10 Q Have you made an analysis of the gas/oil
11 ratios of either the No. 1 or the No. 4 Well?

12 A They are plotted on the production plots.
13 We don't have a -- I did not submit an exhibit of a produc-
14 tion plot.

15 Q Okay. Is the pressure information that
16 you have on -- on those two wells information that's repor-
17 ted to the Oil Conservation Division that could be utilized?

18 A No, it's not.

19 Q It's not? All right. What was the ori-
20 ginal reservoir pressure, then, for the Benson Deep No. 4
21 Well?

22 A Approximately 5200 pounds.

23 Q And that's the original bottom hole pres-
24 sure for that -- for that well?

25 A For the Benson No. 4, yes.

1 Q The gravity of the fluid that you see in
2 the Benson No. 4 Well as what?

3 A To the best of my recollection it's ap-
4 proximately 48 or 49 degrees.

5 Q You said you made an analysis or study
6 the prior documents and transcripts in the 1980 hearing be-
7 fore the Commission?

8 A Yes, I have.

9 Q And in that presentation there was a re-
10 servoir fluid study presented.

11 A Yes.

12 Q Was there not?

13 A Yes, there was.

14 Q Can you describe for us and summarize for
15 us, Mr. Lanning, what you saw in that study as compared to
16 the more recent reservoir studies on the No. 1 Well that
17 caused you to believe that the original studies were in er-
18 ror?

19 A I did not realize it until this whole
20 case came up and I started reviewing all of the records and
21 putting together the story of what's happened over the last
22 seven years.

23 When I realized that there was a second
24 fluid study done, the initial question in my mind was why
25 did they do a second fluid study when they had just done

1 one, because we were also thinking about doing one on the
2 Benson Unit No. 4. I called Tefteller, Incorporated, who's
3 the primary sampling contractor for nearly all amples taken
4 in this part of the country, they're in Midland, and I had a
5 conversation with Mr. Forrest Tefteller, who was a secondary
6 contractor on the taking of the sample that said it was a
7 volatile oil.

8 In his review he pulled out his old files
9 and his review of those files, he told me about this ques-
10 tion that had been brought up about the calibration of the
11 meter which they had been measuring the gas with.

12 Another service company had taken a pro-
13 duction separator out there and all Tefteller did was gather
14 the actual sample, and I don't know the details because Mr.
15 Tefteller was not -- I requested a letter explaining all the
16 facts but he requested that I not do that, to not make the
17 other service company look bad.

18 So he just summarized over the phone to
19 me that there was an obvious problem with the first sample.
20 Tefteller had complete control of the sampling procedure and
21 the free flow conditioning treatment of the well prior to
22 the taking of the second sample.

23 Q Did you examine that information from the
24 earlier transcript to determine whether or not you could
25 detect that type of error in the documents?

1 A Well this --

2 Q Is that something you could detect without
3 having actually conducted the study?

4 A Well, I think if you compare the two, you
5 will see obvious differences in the GOR's that they were re-
6 combined at, which indicates that no more difference in time
7 and production than there was between the two samples indi-
8 cates there was definitely something different between the
9 two samples.

10 Q With regards to the sampling and the
11 fluid study done on the No. 4 Well, --

12 A Yes.

13 Q -- the one done in 1987, are you aware of
14 any problems with the sample for that well?

15 A No, it's -- the ideal conditions for sam-
16 pling a reservoir are when a well is initially completed --
17 the first well in the reservoir.

18 If you do take a sample in a reservoir,
19 like we did in the Benson No. 4, after it's produced for a
20 significant period of time, the most important thing is that
21 the well is producing in a stabilized rate and has been pro-
22 ducing at a stabilized rate. The Benson No. 4 was a very
23 stable well and so rather than do any other conditioning,
24 which would take a long time which we did not have, we
25 determined that the best way to sample it was to sample it

1 at its existing rate.

2 That fluid sample was obtained and you
3 have the report and as the -- Doug Turner, who I visited
4 with frequently on the phone about it, notated it in the
5 letter, there were obvious very strong similarities between
6 the fluids in the No. 1 and No. 4.

7 The biggest contrast that you'll see in
8 the two reports is the dew point pressure and the dew point
9 pressure on the No. 4 Well, I can't remember the number, but
10 it is higher than the initial reservoir pressure.

11 Q I believe you've told us it was about
12 5300?

13 A The initial reservoir pressure was 5200
14 and I don't remember what the dew point pressure was for the
15 No. 4 sample; however, through my study of fluid sampling
16 that I've done in preparation for this hearing, that is a
17 common -- once the reservoir pressure has decreased below
18 the dew point pressure and you take a sample and you recom-
19 bine it, you will get a dew point pressure that is higher
20 than the actual dew point pressure and will often be higher
21 than the original reservoir pressure and I can provide you
22 with documentation for that.

23 Q I'd appreciate that. That would be of
24 assistance to us.

25 A I just happen to have it with me in case

1 I needed it on cross examination.

2 Q A bundle of information. You got any
3 more secret goodies in there?

4 A I also visited with Philip Moses, who is
5 the author of this particular paper.

6 Q All right, we will, if it's acceptable,
7 Mr. Examiner, we will do with -- with this report as we are
8 with the other two fluid studies.

9 MR. CATANACH: All right.

10 Q So I am clear in my own simple way, Mr.
11 Lanning, about the significance of the dew point pressure
12 insofar as characterizing this as a gas reservoir versus an
13 oil reservoir, describe for me what is the critical point in
14 your mind as an engineer as to the significance of that dew
15 point when it's above and below the reservoir pressure.

16 A Well, if you complete a well in a reser-
17 voir that is already below the dew point pressure, conden-
18 sate will already have fallen out of the gas. It's now a
19 two-phase reservoir rather than a single phase reservoir.

20 Q And if you complete it in a reservoir
21 that has a pressure above the dew point, then you will see
22 it as a single phase reservoir and you're producing gas.

23 A Your initial fluid in the wellbore should
24 still be in the single phase as long as you're not drawing
25 it down so far that the condensate will fall out.

1 Q All right.

2 A So normally in a newly discovered reser-
3 voir that is a retrograde condensate gas, it is in single
4 phase in the reservoir as a gas. Once the pressure had de-
5 creased below the dew point pressure it becomes a two-phase
6 reservoir and you produce both phases simultaneously.

7 Q In the Deep No. 4 Well we see what is
8 characterized as a two-phase reservoir. We see the gas and
9 the condensate, do we not?

10 A Yes, the Benson No. 4 is below the dew
11 point pressure.

12 Q Okay. Because we see that in the
13 operation of the well, how can we then know that that well
14 demonstrates that we are producing in a retrograde
15 condensate reservoir?

16 A Because the sampling technique, you have
17 a stable situation. That's the purpose of the conditioning
18 before the well. As long as you're producing at a stable
19 rate, and I'm again going by what has been told to me and
20 what I read in the literature, as long as you are producing
21 at a stable rate and the well is properly conditioned, you
22 will still get a proper analysis of the fluid as far as the
23 percentage of retrograde fallout, et cetera.

24 And I think that is obviously shown by
25 the comparison of those two samples.

1 Q When we talk about classifying a reser-
2 voir as either a gas reservoir or an oil reservoir there are
3 certain benchmarks that I hear engineers talk about.

4 One, they talk about the gas/oil ratio.
5 In this reservoir I think it's customary to see a very low
6 gas/oil ratio, is that not true?

7 A That's correct.

8 Q Okay, and what is the general range of
9 the gas/oil ratio?

10 A Well, in this -- in the Benson Strawn,
11 both the Benson No. 1 and the Benson No. 4 initial GOR's are
12 in the 2000 to 3000 range.

13 They produce, the Benson No. 1 produced
14 at essentially a constant GOR for two years and then it be-
15 gan a steady increase up to about 25,000 was the highest
16 that GOR ever went.

17 The Benson No. 4 has only produced two
18 years. We are still seeing it in that low GOR range. I
19 would expect the GOR's will increase as the liquid phase
20 falls out.

21 You have to remember that when you're
22 talking about a reservoir that was 100 percent gas to begin
23 with, normally recoveries of condensate in a retrograde
24 condensate reservoir are low because when this condensate
25 falls out, it's normally not at a high enough saturation to

1 be mobile and that is why pressure maintenance projects, gas
2 reinjection projects, et cetera, are initiated in these re-
3 servoirs, to try to maximize the pressure, keep everything
4 in the gas phase so we could get this liquid out of the re-
5 servoir.

6 These -- this particular reservoir is a
7 little bit unusual because it has such a high retrograde
8 condensate fall-out of over 40 percent. How much of that is
9 mobile, I don't know.

10 Q In a more typical retrograde reservoir
11 what would you see to be that ratio? What is that percent-
12 age of fall out?

13 A I don't really know. I just know that
14 one of my first questions to them was, you know, is this
15 very high, and Core Lab said, yes, it is very high. You very
16 seldom see a ratio this high. That is the reason for your
17 low initial GOR's.

18 Q Okay. Does the color of the condensate
19 that's produced give you any indication as an engineer of --
20 of whether you're dealing with a gas reservoir or an oil
21 reservoir?

22 A No, and that first document you have
23 there on the top, that is a rebuttal from Phil Moses, who is
24 the head of the Reservoir Fluid Analysis Section of Core
25 Labs, to another response. This -- both of these articles

1 appeared in JPT.

2 Another fellow said that you can always
3 tell the difference between a gas reservoir and an oil
4 reservoir because condensate reservoirs always have clear
5 condensate and oil reservoirs always have colored condensate
6 and Philip Moses was responding to that saying that that was
7 not true and that you could not use color of the liquids as
8 a determination of whether or not the reservoir was oil or
9 gas.

10 Q Which opinion do you share?

11 A I share Mr. Moses.

12 Q And what is the color of the condensate
13 that is produced from the No. 4 Well?

14 A What I have seen has a yellowish color.

15 Q One of the other benchmarks I've heard
16 engineers talk about in deciding what type of reservoir it
17 is, is the gravity of the fluid produced, what the API gra-
18 vity is. Does that give you a clue as an engineer of what
19 kind of reservoir you're dealing with?

20 A Gravity, of course, has a bearing on it,
21 but it in itself is not indicative. I mean you can have oil
22 reservoirs or condensate reservoirs in the 40+, high 40 API
23 limit and there is no clear cut break that you can say this
24 is oil or this is gas.

25 Q What is the gravity of the fluid produced

1 out of the No. 4 Well, do you remember?

2 A I believe it's approximately 49.

3 Q Is that shown in the studies?

4 A I'm sure it is.

5 Q Is it significant to you as a reservoir
6 engineer in deciding whether or not the reservoir is rate
7 sensitive, producing rate sensitive, to see that the -- to
8 see that the gas/oil ratios are not climbing abruptly?

9 A Yes, that is -- that is an indication
10 that an engineer should be looking for, to see if a reser-
11 voir is rate sensitive.

12 Q When we talk about this particular reser-
13 voir having a limit of 70 barrels of oil a day, we know that
14 the Deep 4 Well has produced in excess of that on a daily
15 basis.

16 A Yes.

17 Q Do you see any indications to you that
18 the reservoir is being ineffectively produced at a higher
19 rate than 70 barrels of oil a day?

20 A No, there has been no indication of any
21 problem due to the high producing rates of the Benson No. 4.

22 Q Are there any other factors that support
23 your opinion that if this remains classified as an oil
24 reservoir and we go to an oil rate of 560 barrels a day,
25 that that will diminish ultimate recovery or damage the re-

1 servoir in any way?

2 A Well, the Benson 4 did not produce at 560
3 barrels a day so I cannot base an opinion on what a 560-
4 barrel a day rate will do. I personally don't think that
5 Meridian's well will produce at 560 barrels a day for very
6 long, if it produces that high. I know that it potentialled
7 real well but wells have a tendency to potential better than
8 they end up producing.

9 Q What's the highest producing rate you had
10 on a daily basis, approximately, in the No. 4 Well?

11 A Offhand I would say we never were more
12 than probably 400 barrels a day.

13 Q Okay, and at that rate you've not seen
14 any damage to the reservoir?

15 A No.

16 Q Thank you, Mr. Lanning.

17

18 QUESTIONS BY MR. LEMAY:

19

20 Q Mr. Lanning, have you looked at the Lusk
21 Strawn Field and taken any fluid analysis in that field?

22 A The only familiarity I have with the Lusk
23 Strawn is through reading the testimony of the 1980 hearing.

24 Q Could we draw any conclusions or compari-
25 sons between that reservoir and the reservoir you have here

1 in this case?

2 A No, the only -- the only information I've
3 ever read about the Lusk Strawn was in that testimony and it
4 -- I don't believe that testimony referred to any fluid sam-
5 ples. There were some opinions expressed that it was pos-
6 sibly a volatile oil reservoir, but I don't know, I -- I as-
7 sume that if there were some fluid studies done they would
8 have been available but I'm not aware of them.

9 Q Does Yates have some production in the
10 Lusk Strawn Field?

11 A I think -- I don't really know; none that
12 I'm aware of. We may have an interest in some production in
13 the Lusk Strawn. I just don't know.

14

15 CROSS EXAMINATION

16 BY MR. CATANACH:

17 Q Mr. Lanning, how much was the No. 4 Well
18 currently overproduced? How much, do you know exactly how
19 much?

20 A Well, on the shut-in notice, that was as
21 of December and it was overproduced 74,179 MCF. That was
22 based on calculating overproduction from June of 1986 when
23 the -- when the State changed it from the gas pool to the
24 oil pool.

25 I might just say that if the allowable

1 was kept 70 barrels a day and we were required to shut that
2 well in to make up that overproduction, it would be on the
3 order, I think, of two years that well would be required to
4 be shutin, which I think is ridiculous.

5 Q What effect would it have if the Division
6 entered an order making the rules effective January 1st,
7 1985? That would cancel all your overproduction.

8 A That -- since the Benson No. 4 was com-
9 pleted in June of 1984 but it did not go on production until
10 January of 1985, so that would in effect cancel any overpro-
11 duction that might be attributed to that well.

12 Q Could that underproduction for that time
13 be made up? Or could the extra allowable that would be
14 given to you, would that be able to be made up?

15 A I don't understand, I don't know that I
16 really understand your question.

17 MR. DICKERSON: We have not re-
18 quested that and that is not our desire, Mr. Examiner, to
19 allow us to make up oil production based on an amendment or
20 rescission of the order.

21 A If the allowables are changed or if the
22 pool is reclassified, the well will not be able to produce
23 in excess of the depth bracket allowable that you would pro-
24 bably be willing to place on it. It is currently producing
25 at about its maximum rate, which is 200 barrels a day.

1 Q So the only affect that would have would
2 be to cancel the overproduction.

3 A Yes, that was the intent of making the
4 order effective January 1st, was solely to counteract any
5 overproduction which might be attributed to the well, and
6 that could be so specified in the order if you desired that.

7

8 CROSS EXAMINATION

9 BY MR. TAYLOR:

10 Q Mr. Lanning, would -- as I understad it,
11 you are proposing a retroactive affect of the pool rules, is
12 that what you're wanting?

13 A Well, we're asking that they be rescinded
14 and that replacement pool rules be put in their place dated
15 January 1st, 1985.

16 Q Would the replacement pool rules, dating
17 them back to '85, would that have any affect on either pre-
18 venting waste or protection correlative rights, or what?
19 What would the impact of those be?

20 A If it is not made retroactive and the
21 Benson No. 4 is required to be shut in to make up this over-
22 production, which exists due to a technicality, then the
23 Benson 4 will be shut in; the Meridian well will be pro-
24 duced; drainage will be taking place from the Benson Deep
25 Unit to the Meridian acreage, so correlative rights would

1 not be protected.

2 Q They would not be protected unless
3 there's a retroactive --

4 A Unless there is a restroactive order.

5 Q Okay, that's all. Thank you.

6

7

RECROSS EXAMINATION

8 BY MR. CATANACH:

9 Q Mr. Lanning, the gas/oil ratios on your
10 No. 1 and No. 4, have those -- those have remained fairly
11 constant over the producing life of the wells?

12 A The first two years they've remained rel-
13 atively constant and the -- because the Benson 4 has only
14 produced two years, it is still producing essentially con-
15 stant. It's at 2300 right now.

16 The Benson No. 1 started in the 2500
17 range, remained approximately constant for two years, and
18 then from the second year through the seventh year it was a
19 constant percentage incline up to a 25,000 GOR.

20 This just -- you could see a steadily in-
21 creasing GOR, which is what you would expect from this type
22 of reservoir; as the fluid phase is produced, no more of the
23 fluid phase is -- or the less amount of the fluid phase can
24 be produced, so you get more gas production. The gas phase
25 is more mobile.

1 And I might just remind you that this is
2 the same trend you see in the, for instance, the Sand Tank
3 Strawn, which was one of the other exhibits. Relatively
4 constant.

5 It was a relatively constant GOR for
6 about a year and then it has slowly increased up to about
7 7000.

8 Q Mr. Lanning, have you done any calcula-
9 tions as to the amount of acreage the No. 1 Well would
10 drain?

11 A No, I have not.

12 MR. CATANACH: I have no fur-
13 ther questions at this time.

14 MR. DICKERSON: Mr. Examiner, I
15 would just like to point out that until the completion of
16 the No. 4 Well and the Meridian well in the east half of
17 Section 3, none of the other wells produced or completed in
18 the Benson Strawn Pool or in this Benson Deep Unit Area,
19 were even capable of producing any amount up to the 70 a day
20 allowable established by the original pool rules.

21 MR. CATANACH: Mr. Lanning may
22 be excused.

23 MR. KELLAHIN: Mr. Examiner,
24 I'd like to call a geologic witness to simply authenticate a
25 cross section that has the Meridian log on it. We do not

1 yet have one in the record, and so with your permission at
2 this time I'd like to call Mr. Lee Catalano.

3

4 (Mr. Catalano sworn at this time.)

5

6 MR. KELLAHIN: Mr. Examiner,
7 I'll have to apologize. I have neglected to bring copies of
8 Mr. Catalano's cross section. With your permission after
9 the hearing I'll withdraw it, make additional copies, and
10 forward them to all the parties involved.

11 Because I only have one, I'd
12 like to take a moment and put it on the wall here so we can
13 look at what we do have.

14 MR. CATANACH: All right.

15

16 LEE CATALANO,
17 being called as a witness and being duly sworn upon his
18 oath, testified as follows, to-wit:

19

20 DIRECT EXAMINATION

21 BY MR. KELLAHIN:

22 Q Let's take a moment, Mr. Catalano, and
23 qualify you as a geologist.

24 For the record would you please state
25 your name and occupation?

1 A My name is Lee Catalano and I'm an ex-
2 ploration geologist with Meridian Oil Company.

3 Q And, Mr. Catalano, have you previously
4 testified as a geologist before the Division?

5 A No.

6 Q Would you tell the Examiner when and
7 where you obtained your degree in geology?

8 A I have a Bachelor's degree from Adrian
9 College in Michigan and a Master's degree from Oklahoma
10 State.

11 Q In what year, sir?

12 A 1978.

13 Q Subsequent to graduation would you sum-
14 marize your employment experience as a petroleum geologist?

15 A I worked for Sun Oil Company in Midland,
16 Texas for three years and then for the last five and a half
17 years for Southland Royalty/Meridian in Midland, Texas.

18 Q Pursuant to your employment as a geolo-
19 gist for Meridian, have you caused a cross section to be
20 constructed including certain wells in the Eenson Strawn
21 Pool in addition to the Meridian completion in Section 3?

22 A Yes, I have.

23 MR. KELLAHIN: We tender Mr.
24 Catalano as an expert petroleum geologist.

25 MR. CATANACH: He is so quali-

1 fied.

2 Q Mr. Catalano, let me have you go to the
3 wall where we have place Meridian Exhibit Number One, and
4 first of all have you simply identify for us that exhibit.

5 A This is it right here.

6 Q All right, sir, and what is it?

7 A This is a stratigraphic cross section.

8 Q If we look at the upper righthand corner
9 of the cross section, would you orient us as to what wells
10 are depicted on that cross section?

11 A Okay. The original Benson Deep Unit No.
12 1 will be the well on the left here and as you go across
13 following this line, on the righthand side is the ARCO State
14 2 No. 1 Well.

15 Q All right. When we look at the discovery
16 well, the Benson Deep No. 1 Well, which is the first log on
17 the far left, how have you identified the perforations of
18 the Strawn producing interval in that well?

19 A This -- I've colored them yellow, right
20 here in the depth column.

21 Q All right, sir. What is the significance
22 of the blue shaded area that passes through the center three
23 logs?

24 A The zone that I have colored blue in here
25 is the zone that I have correlated and believe is the produ-

1 cing interval in the Meridian Benson 3 No. 1, the Yates Ben-
2 son Deep Unit No. 4, and the Yates Benson Deep Unit No. 3
3 Wells.

4 Q And what is your geologic opinion about
5 the correlation of that interval which you've identified as
6 the Benson 4 Zone?

7 A Yes.

8 Q What is the correlation of that zone
9 among those three wells? Is it continuous between the
10 wells?

11 A Yes, the overall zone is continuous here.
12 It's a -- I've picked it by the clean gamma ray signature in
13 these three wells.

14 Q What is your geologic opinion with re-
15 gards to the continuity of that -- you called it an algal
16 mound facies?

17 A Algal mound facies, yes.

18 Q All right. Describe for us what your
19 geologic opinion is about that mound facies.

20 A I think what this cross section is show-
21 ing is that this facies is present in these middle three
22 wells. It's not present in the No. 1 Well nor in this ARCO
23 well to the east. So it's a -- it's within a limited area.

24 Q Do the perforations in each of those
25 three wells satisfy you as a geologist that they are perfor-

1 ated in that algal mound facies that you've identified?

2 A Yes.

3 Q Do you see any geologic reason that those
4 wells should not be in communication?

5 A No.

6 Q Anything else about the exhibit you'd
7 like to direct our attention to?

8 A The only thing would be that fault produ-
9 cing zones in the Strawn here are within this overall Strawn
10 interval.

11 Q And it looks like all three of those
12 wells are producing out of the same Strawn facies there.

13 A Yes, they are.

14 Q All right. Thank you, very much.

15 MR. KELLAHIN: That concludes
16 my examination of Mr. Catalano.

17 I'd move the introduction of
18 Exhibit Number Seven.

19 MR. CATANACH: Exhibit Number
20 Seven will be admitted into evidence.

21

22 CROSS EXAMINATION

23 BY MR. DICKERSON:

24 Q Mr. Catalano, isn't it correct that the
25 second well on your cross section, although it's labeled the

1 Benson Deep Unit No. 3 is in fact the Benson Deep Unit No. 5
2 Well in Section 4, of 19, 30?

3 A Yes, we -- that's a typo. Yes.

4 Q Okay. You heard Mr. Beck's testimony and
5 his review of the log on the Benson Deep Unit No. 4 Well,
6 did you not?

7 Did you agree with his testimony?

8 A Which parts --

9 Q Particularly when he directed your atten-
10 tion, or all of our attention to the gas effect that he
11 observed on that log?

12 A Uh-huh.

13 Q Did you observe a gas effect?

14 A There are other things that could possib-
15 ly cause that other than -- than gas.

16 Q But you observed the same effect --

17 A Yes, uh-huh.

18 Q -- whatever the cost.

19 A Right.

20 Q Do you see a similar effect in the log on
21 your Meridian well?

22 A Yeah, they look very similar.

23 Q Do you have -- did you conduct or obtain
24 bottom hole pressure information from your well?

25 A Yes.

1 Q Do you know what that information was?

2 A It's around 3400 pounds. Our engineer
3 will tell you more about it.

4 Q Okay.

5 MR. DICKERSON: I have no fur-
6 ther questions.

7 QUESTIONS BY MR. LEMAY:

8 Q Mr. Catalano, you referred to the algal
9 mound facies in the Strawn A Zone. Have you looked at any
10 of the samples or have you cored that well?

11 A Yes, we cored our well.

12 Q And did you examine the core yourself?

13 A Yes.

14 Q Are you familiar with the fossil ivanova?

15 A Yes.

16 Q Was that present in your core?

17 A Above the point, yes.

18 Q For the record, ivanova has had charac-
19 teristics of high permeability, is that true?

20 A Some of the literature that I've reviewed
21 since we drilled this well and got the core, that's right.
22 That's correct.

23 Q So you would expect to be in communica-
24 tion with wells surrounding you and you would expect it to
25 have -- be able to drain a substantial area, based on the

1 sample description only?

2 A If you're within the same reservoir, yes,
3 right.

4 Q That's all I have.

5 MR. CATANACH: Are there other
6 questions of the witness?

7

8 REDIRECT EXAMINATION

9 BY MR. KELLAHIN:

10 Q Let's see if I understand your response
11 to Mr. Dickerson.

12 Mr. Beck saw an indication in a log that
13 he attributed to a gas effect and you say you see a similar
14 indication in your well and you can see it in the Benson 4
15 Well, but you say that it may not necessarily be a gas ef-
16 fect.

17 A What I --

18 Q Describe for us what the choices are.

19 A One thing we noted in our core through
20 the pay interval in our well is some secondary chert re-
21 placement and silica can sometimes cause what's known as gas
22 effect on logs, too.

23

24

25

1 Q The gas effect on the log, comparing the
2 log to the core analysis that you had, you can attribute
3 that effect to something else.

4 A You could in part.

5 Q All right.

6 A Yes.

7 Q What are the other choices for accounting
8 for that, what Mr. Beck called gas effect?

9 A Gas -- generally that's the only two that
10 I -- actual presence of some gas within the reservoir or
11 chert.

12 Q Okay. What is chert?

13 A It's a silica mineral.

14 Q And you saw that in the core samples and
15 analysis?

16 A In the core, yes.

17 Q Okay. Thank you.

18

19 RE CROSS EXAMINATION

20 BY MR. DICKERSON:

21 Q Mr. Catalona, you stated Meridian cored
22 your well in the east half of Section 3?

23 A Yes, sir.

24 Q Did you observe in those core samples any
25 evidence of fracturing?

1 A No.

2 Q Was any stimulation -- was a fracture
3 stimulation program administered on that well?

4 A No, it treated this with acid. an acid
5 job.

6 MR. DICKERSON: No further
7 questions.

8 MR. CATANACH: Are there ques-
9 tions of this witness?

10 He may be excused.

11 MR. KELLAHIN: Mr. Examiner, I
12 note on the exhibits I've handed you that I have failed to
13 indicate that these were Meridian Exhibits. Subsequent to
14 the hearing I'll be happy to complete marking these and
15 provide additional copies if there aren't sufficient enough
16 copies.

17

18 BRETT HERRING,
19 being called as a witness and being duly sworn upon his
20 oath, testified as follows, to-wit:

21

22 DIRECT EXAMINATION

23 BY MR. KELLAHIN:

24 Q Mr. Herring, for the record would you
25 please state your name and whom you work for?

1 A My name is Brett Herring. I'm a petro-
2 leum engineer employed by Meridian Oil.

3 Q Mr. Herring, you're going to have to
4 speak up a little bit. It's getting late in the day and
5 we're all getting a little tired; let you shout at us.

6 Have you previously testified before the
7 Division, Mr. Herring?

8 A No, sir, I haven't.

9 Q Why don't you tell us when and where you
10 obtained your degree?

11 A I received my BS in petroleum engineering
12 in 1982 from Texas A&M University. Subsequently was em-
13 ployed by Superior Oil Company in Houston for a little over
14 two and a half years.

15 After the buy out went to work for Mobil
16 Oil in Midland, Texas. I worked for them for approximately
17 six months and subsequently left and joined Meridian and
18 have worked for them for approximately a year and a half.

19 Q Would you summarize for us what has been
20 your experience as an engineer with regards to oil and gas
21 production in Eddy County, New Mexico, and southeastern New
22 Mexico? Where have you been involved in doing your work?

23 A Mostly in Eddy County, New Mexico.

24 Q Pursuant to your employment have you made
25 a study of some of the engineering details around the Benson

1 Strawn Pool and Meridian's Benson No. 3 Federal 1 Well?

2 A Yes, sir.

3 MR. KELLAHIN We tender Mr.
4 Herring as an expert petroleum engineer.

5 MR. CATANACH: He is so quali-
6 fied.

7 Q Mr. Herring, we've been through some of
8 this information up to now and where we have already been
9 through that information I will attempt to bypass it and fo-
10 cus your attention on the subjects we've not yet discussed.

11 For purposes of beginning your testimony,
12 let me have you look at what we've marked as Exhibit Number
13 One and have you identify that for me.

14 A This is a map of the general area of the
15 Benson Strawn Field.

16 The yellow indicates the current Benson
17 Strawn outline. The shaded areas indicate our current
18 leasehold and the green area is also our current leasehold.

19 Q You've identified for us four wells on
20 the plat. Are these the wells we've been discussing that
21 have been subject to the Benson Strawn Pool Rules?

22 A Yes, sir.

23 Q The discovery well is in 33 outlined in
24 the yellow and is identified by the red dot and then the
25 (not understood)?

1 A Yes, sir.

2 Q And that's identified as the Deep 1 Well.

3 A Yes, sir.

4 Q Let's look for a moment at Section 3 and
5 the Meridian Benson No. 3 Federal No. 1 Well and have you
6 give us the information that you have available for that
7 well.

8 When was it completed?

9 A We spudded the Benson 3 Federal on Decem-
10 ber 14th, 1986. The completion date was 24 January -- I'm
11 sorry, that's 14 December 1985 -- I mean 6. The completion
12 date is 24 January 1987. Typo again.

13 The initial potential from the well was
14 612 barrels of oil per day and 1900 MCF; no water.

15 Current production is awaiting allowable
16 and also a pipeline hookup. Cumulative production, of
17 course, is not applicable.

18 Q All right. Let's add to the legend here
19 what the bottom hole pressure is that you believe applies to
20 that well.

21 A Yes, sir. Upon conducting a build-up we
22 -- it has indicated that it was 3400 pounds.

23 Q Where did you obtain the information that
24 you put on the exhibit with regards to the three Yates wells
25 that are shown?

1 A They were obtained through scout tickets
2 and also conservation's monthly production report.

3 Q Let me ask you to give us a short summary
4 of where you're going with your presentation, Mr. Herring,
5 and ask you whether or not you have formulated an opinion
6 based upon information available to you as to whether or not
7 you're dealing with a gas reservoir or an oil reservoir?

8 A Yes, sir. We had some expiring acreage
9 there in the northwest -- northeast quarter section of Sec-
10 tion 3 and subsequently took cursory view of the area and
11 identified the Benson 4 Well. It just demonstrated the GOR
12 of less than 2000-to-1; appeared to be oil; piqued our cur-
13 iosity and we went from there.

14 Q Okay, let me ask you this before we get
15 to the details of what you have used to support your opinion.

16 Do you have an opinion as to whether
17 you're dealing with an oil or a gas reservoir?

18 A Yes, sir, I believe it's oil.

19 Q With regards to the producing rate, the
20 Benson Strawn Pool rules sets a maximum of 70 barrels a day
21 allowable.

22 A Yes.

23 Q Have you formulated an opinion based upon
24 your study, Mr. Herring, as to whether or not we can elimi-
25 nate or increase that rate?

1 A I believe we can increase.

2 Q Do you have a recommendation to the Exa-
3 miner as to what rate ought to apply?

4 A Yes, sir. I believe we should increase
5 it to the current depth bracket allowable.

6 Q Which would be 560 barrels a day?

7 A Yes, sir.

8 Q And what would you do with the gas/oil
9 ratio?

10 A We would like it also increased to 3000-
11 to-1.

12 Q Let's go back now and have you give me
13 the perspective that Meridian had when they attempted to de-
14 velop their acreage in the northeast quarter of Section 3
15 back in the fall of 1986, I guess it is.

16 If you'll pick it up there and tell me
17 what you did to set up the drilling of that well.

18 A Yes, sir. As mentioned before, we had
19 some expiring acreage and it prompted a cursory look at the
20 area.

21 The Benson 4 Well was identified, produc-
22 tion was obtained, and it appeared to be an oil well.

23 The other wells in the area, the No. 1
24 and the No. 5 Wells were looked at based on production data
25 and also appeared to be oil wells.

1 The next step would be to find the near-
2 est field, which was the Benson Strawn Field.

3 Q And how did you satisfy yourself that the
4 nearest applicable rules were those of the Benson Strawn
5 Pool?

6 A Well, generally you look for anything
7 within a mile of your current location and the Benson Strawn
8 Pool was within a mile.

9 Q Did you file an application for a permit
10 to drill the Meridian well?

11 A Yes, sir.

12 Q And have you had conversations with the
13 Oil Conservation Division about that well permit?

14 A Yes, sir.

15 Q Did the District office require you to
16 drill that well pursuant to the Benson Strawn Pool Rules?

17 A Yes, sir.

18 Q And have you done so?

19 A Yes, sir.

20 Q All right, with the exception of the lo-
21 cation, now, we've got a location problem, do you not?

22 A Yes, sir.

23 Q You've applied for an unorthodox location
24 that comes up to a subsequent hearing on the Examiner doc-
25 ket?

1 A Yes, sir.

2 Q Just for clarity now, what is the problem
3 with the location?

4 A We're approximately 100 foot too close to
5 the quarter section line.

6 Q All right, you should be 660 out of the
7 northeast -- out of the northwest corner of that 160-acre
8 tract.

9 A Yes, sir.

10 Q You should be 660 and you're 560 from the
11 west line?

12 A Yes.

13 Q And 660 from the north?

14 A Yes, sir.

15 Q All right. You said awhile ago that your
16 preliminary examination of the other wells in the area
17 caused you to conclude that they were oil wells.

18 A Yes, sir.

19 Q What caused you to reach that conclusion?

20 A The first one that struck my attention
21 was the GOR. It was below 2000-to-1 in the Benson 4 Well
22 currently.

23 Q Did you examine the gas/oil ratios in the
24 other wells?

25 A Yes, sir.

1 Q And what conclusion did you reach?

2 A The Benson 5 Well was essentially a dry
3 hole. I pushed it off to the side and went on to the No. 1
4 Well.

5 Q Okay, and what did you do when you exa-
6 mined the gas/oil ratio for that well?

7 A The gas/oil ratio was in the range of
8 4900-to-1 and it still led me to believe it was still oil.

9 Q As an engineer, did you make any further
10 examination of any other factors to cause you to conclude
11 that the Meridian well was likely to be an oil well?

12 A I'm sorry, I don't --

13 Q All right, we're talking about setting up
14 the well to drill it.

15 A Uh-huh.

16 Q First thing you looked at were the gas-
17 oil ratios and you contacted the District office and you
18 were led to believe you were drilling an oil well in the
19 Strawn.

20 A Uh-huh.

21 Q All right. You drilled and completed the
22 well.

23 A Yes, sir.

24 Q Okay? What does your well tell you that
25 causes you to conclude that you have an oil well?

1 A We had experienced a low GOR, also. Our
2 GOR came in at just a hair over 3100, 3140, to be exact.

3 API gravity of the crude was 48.7. The
4 color of the crude was brown. This still led us to believe
5 we had an oil well.

6 Q Subsequently, have you made further in-
7 vestigation of information available to you on the Benson
8 Strawn Pool and its wells?

9 A Yes, sir.

10 Q Let me direct your attention to Meridian
11 Exhibit Number Two, Mr. Herring, and have you identify that
12 exhibit for me.

13 A Yes, sir. This is the production,
14 monthly production curve from the Benson Strawn No. 1. It
15 shows, the dark line at the top shows gas production. The
16 thinner line below it shows oil production and the line on
17 the bottom is of course water.

18 Q All right. To what purpose have you ap-
19 plied or utilized this information in discussing or thinking
20 about the Benson Strawn Pool?

21 A Just basically, oil production has de-
22 creased and gas production has increased. The over -- cumu-
23 lative GOR is roughly 4900-to-1. To me that curve would
24 suggest a solution gas drive (not understood).

25 Q Does the change in the gas/oil ratio for

1 the No. 1 Well that's depicted on this exhibit cause you to
2 be concerned about the producing rate that was utilized for
3 this well?

4 A No, sir.

5 Q You don't see anything unusual about the
6 producing rate in this well?

7 You've characterized this one as poten-
8 tially a solution gas drive reservoir. What causes you to
9 say that?

10 A Well, usually in a solution gas drive re-
11 servoir your oil production, of course, decreases, and your
12 gas will start out at roughly flat, maybe decreasing
13 slightly, and then increase substantially.

14 Q About this period of time did you examine
15 a transcript and the exhibits in the Commission case held in
16 April, 1980, in Case 6609?

17 A Yes, sir, I did.

18 Q And you further reviewed the history then
19 set forth in that case with regards to the Benson Deep No. 1
20 well?

21 A Yes, sir.

22 Q And what was your impression or conclu-
23 sions about reviewing that additional information?

24 A It still confirmed that it was an oil
25 well to me.

1 Q They had available in that transcript
2 fluid reservoir studies, a PVT analysis and whatnot?

3 A Yes, sir.

4 Q And you read that information?

5 A Yes, sir.

6 Q All right. Let's turn now to the No. 4
7 Well and look at Exhibit Number Three now, Mr. Herring.

8 So that we understand what this exhibit
9 is, will you take a moment and identify it?

10 A Yes, sir. Basically you've just got pro-
11 duction versus time, daily production versus time for the
12 Benson 4 Well. It just plots daily oil production or aver-
13 age monthly -- I'm sorry, excuse me, average daily oil pro-
14 duction for that month would be a better way to clarify it.

15 Q Can you tell as an engineer whether or
16 not the Benson Deep 4 Well is representing characteristics,
17 producing characteristics, that would cause you to identify
18 this either as an oil or a gas well?

19 A I would lean more towards an oil well.

20 Q Does the decline, the way it's plotted
21 here on Exhibit Number Three, cause you to reach any conclu-
22 sion with regards to the ability of this reservoir to with-
23 stand producing rates in excess of 70 barrels a day?

24 A Yes, sir. Two years of production, the
25 decline has not significantly deviated either way. I don't

1 see damage.

2 Q If the reservoir was rate sensitive as
3 was potentially suspected in the 1980 hearing, there was
4 some concern about the effective producing rate, if the
5 reservoir in fact was truly rate sensitive, what would
6 happen to the producing characteristics as plotted on the
7 exhibit?

8 A They would more than likely decrease
9 substantially. We would go into a bubble point, reach a
10 bubble point, and we'd produce a lot more gas.

11 Q So you and Mr. Lanning are in agreement
12 about the fact that this is not a rate sensitive reservoir.

13 A Yes.

14 Q Do you see -- double negative, I think.
15 You son't see any reason, then, that would require you to
16 urge the Commission to maintain the 70-barrel a day.

17 A No, sir, I don't.

18 Q All right, let's go to Exhibit Number
19 Four, now, Mr. Herring, and have you identify that exhibit
20 for us.

21 A Yes, sir, this is a GOR curve plotted on
22 the Benson Deep No. 4. Again it is also the monthly average
23 GOR. It has a cumulative GOR on the well of 1975. Of
24 course it's only complete as of November, when the last
25 Commission report came out, production report.

1 Q If this was a reservoir, an oil reser-
2 voir, that was sensitive to producing rates, would you see
3 the gas/oil ratio climb in a more dramatic way than has been
4 depicted with the actual production on this exhibit?

5 A Yes, sir.

6 Q From the lack of that dramatic increase
7 in gas/oil ratio can you further conclude then the reservoir
8 is not rate sensitive?

9 A Yes, sir.

10 Q Does this exhibit or information tell you
11 anything with regards to whether or not the reservoir should
12 be classified as an oil or a gas reservoir?

13 A It would still lead me to believe it's an
14 oil reservoir.

15 Q And why?

16 A The log GOR. It's got a cum GOR of less
17 than 2000-to-1.

18 Q Let's turn to Exhibit Number Five, Mr.
19 Herring, and have you identify that exhibit for us.

20 A Yes, sir, these are the reservoir fluid
21 parameters that we have experienced or obtained on our well
22 through coring or build-up analysis. We've got oil gravi-
23 ties, 48.7; reservoir temperature, 154 degrees; our average
24 reservoir pressure was 3400 pounds; our observed gas/oil ra-
25 tio, as mentioned before, 3104; and formation volume factor

1 was 1.6 -- 36; our porosity was 8 percent; permeability,
2 taken from build-up data was 28.4 millidarcies; and based
3 upon the DST conducted on the Benson 4 Well we had estimated
4 original reservoir pressure of 5200 pounds, which was
5 subsequently (inaudible).

6 Q The difference in reservoir pressures,
7 you have encountered a reservoir pressure that's some 1800
8 pounds less than the original reservoir pressure?

9 A Yes, sir.

10 Q What significance does that have for you
11 as an engineer?

12 A It would suggest that we have been
13 drained or are being drained.

14 Q All right. To what wells would you
15 attribute the drainage of the reservoir?

16 A The Benson 4 Well.

17 Q You believe then that they are completed
18 and communicating in the same reservoir?

19 A Yes, sir.

20 Q Any other information about the reservoir
21 and fluid parameters you've identified for your well that
22 you want to draw our attention to?

23 A No, sir.

24 Q Okay. Have you had an opportunity yet,
25 Mr. Herring, to have a reservoir fluid study conducted on

1 your well?

2 A No, sir, we haven't.

3 Q Let's turn to Exhibit Number Six. Could
4 you identify for us Exhibit Number Six?

5 A Yes, sir. This is just a straight volu-
6 metric calculation that was used for economic purposes in
7 drilling our wells. All it does is give us the amount of
8 recoverable oil we feel is in place underneath a 160-acre
9 proration unit.

10 Q What conclusion do you reach from using
11 the volumetric calculation with regards to this well?

12 A Based on volumetric calculations we can
13 economically drill on 160-acre proration units.

14 Q So if the Commission leaves the pool on
15 160-acre spacing, then at least for this well you're satis-
16 fied that there is sufficient recoverable reserves to make
17 the well economic?

18 A Yes, sir.

19 Q You've indicated on the first exhibit
20 that Meridian has available to it an additional 160 acres
21 for which I guess it could potentially dedicate 320 if they
22 had to.

23 A Yes, sir.

24 Q All right. The decision, then, about how
25 to operate the -- this reservoir is not affected by Meri-

1 dian's land position.

2 A No, sir.

3 Q In your opinion, based upon what you know
4 now, would you recommend that the Examiner continue the Ben-
5 son Strawn Oil Pool Rules subject to a change in the allow-
6 able?

7 A Yes, sir.

8 Q Have you had an opportunity to study Mr.
9 Lanning's documents as he's presented today on the reservoir
10 fluid studies?

11 A Just briefly.

12 Q You haven't had a chance to study that
13 information?

14 A Huh-uh.

15 Q Were Exhibits One through Six prepared by
16 you or compiled under your direction and supervision?

17 A Yes, sir, they were.

18 Q Mr. Lemay asked a question awhile ago
19 with regards to the Lusk Strawn Pool.

20 A Yes, sir.

21 Q Have you had an opportunity to study any
22 of the information about the Lusk Strawn Pool?

23 A Yes, sir, I obtained a deposition from
24 the initial set-up of the field and reviewed it.

25 Q You talking about the transcript for the

1 hearing that shows the testimony --

2 A Yes.

3 Q -- of how it was set up?

4 A Yes, that's right.

5 Q What type of reservoir did the Commission
6 set up for that pool?

7 A It was set up on 160-acre proration
8 units.

9 Q Was it set up as a gas pool or an oil
10 pool?

11 A Set up as an oil pool.

12 Q Can you -- can you share with us any of
13 the information that you have derived from the study of the
14 Lusk Strawn and how it might apply to the Benson Strawn
15 Pool?

16 A Just basically looking at the production
17 curves obtained from the Lusk Strawn, there appears to be no
18 reservoir damage to the production rates. I believe the
19 daily allowables are 605 barrels a day and a 4000-to-1 GOR.
20 There appears to be no damage based on the production his-
21 tory.

22 Q How long have -- how long has the Lusk
23 Strawn Pool been a producing pool, do you recall?

24 A The pool was originally set up, I be-
25 lieve, in 1961/62 and --

1 Q We've been producing at those kind of
2 rates for that period of time?

3 A 25 years.

4 Q And you plotted the pool gas/oil ratios
5 and production rates?

6 A Yes, sir.

7 Q Do you see any significant changes in the
8 gas/oil ratio to cause you to believe that that pool is
9 being improperly produced?

10 A No, sir, I don't.

11 Q In what way does that pool compare to the
12 Benson Strawn Pool?

13 A It has the same API gravities right
14 around in the 46/47 degree range.

15 The permeabilities and porosities, I
16 believe they had permeabilities around 17.3 millidarcies,
17 porosities were 7 or 8 percent. I don't know the color of
18 the crude. Gas/oil ratio cumulative right now was 4200,
19 roughly.

20 MR. KELLAHIN: That concludes
21 my examination of Mr. Herring.

22 We would move the introduction
23 of Meridian Exhibits One through Six. I think we've already
24 introduced Seven, have we not?

25 Please add Number Seven.

1 MR. CATANACH: Exhibits One
2 through Seven will be admitted into evidence.

3

4 CROSS EXAMINATION

5 BY MR. DICKERSON:

6 Q Mr. Herring, I believe you stated that
7 when you were assigned to review the general area of the
8 Meridien 3-1 well it was based on an expiring lease problem?

9 A Yes sir.

10 Q When was it, can you tell us, that you
11 began that review process approximately?

12 A Approximately in October.

13 Q And what information did you consult as
14 far as reviewing the production in the surrounding area?

15 A Obtained the production curves from the
16 Benson 4 Well, the Benson 1, and also the Benson 5 Well.

17 Q Specifically, you obtained that from
18 public records, the OCD published reports?

19 A Dwight's, Dwight's Production Data, OCD
20 data, yes, sir.

21 Q Okay, how far back, if you recall, did
22 you review the OCD production data? Did you simply look at
23 the latest and take the cumulative productions off that?

24 A I believe at that time the OCD was out
25 until August, July or August, and that was the most up to

1 date information I had at that time.

2 Q Did you note in your review the data
3 published by the Oil Conservation Division that the Benson
4 Deep Unit No. 4 Well operated by Yates was carried on those
5 records and shown to be a gas well?

6 A Yes, sir.

7 Q Did you attach any significance to that?

8 A No, sir.

9 Q Did you, what did you think when you saw
10 that?

11 A I still looked at the GOR and it showed
12 that it was an oil well, just because it was in the
13 conservations books as a gas well (not understood.)

14 Q At that time were you familiar with the
15 Benson Strawn pool rules?

16 A Yes, sir, I was.

17 Q And how did you become familiar with
18 those?

19 A Read the rules themselves. We have a
20 copy of --

21 Q Approximately when would it have been
22 that you first found that your proposed location, or the
23 acreage in which you were interested was arguably subject to
24 the Benson Strawn pool rules?

25 A In October.

1 Q And so as early as October Meridian was
2 aware that the Benson Strawn pool rules, assuming it was
3 still oil, provided for 160-acre spacing and well location
4 requirements within that 160-acres.

5 A Yes, sir.

6 Q Did the location subsequently drilled by
7 Meridian comply with those pool rules?

8 A Yes, sir.

9 Q As to spacing, as well?

10 A Yes, sir.

11 Q In the spacing required by the Benson pool
12 rules?

13 A Yes, sir, 160 acres.

14 Q No, but I mean the well location require-
15 ments.

16 A Well location requirements, we had to
17 move 100 foot closer to the quarter section line, into ELM
18 requirements.

19 Q Topographical problems?

20 A Burnt rocks.

21 Q Indian problems.

22 A And we also had a pipeline restriction to
23 the north.

24 Q Okay. During the time that you were re-
25 viewing the production from the Yates Benson Unit Wells, you

1 also reviewed in addition to the No. 4 Well the No. 5 and
2 the No. 1 Well?

3 A Yes, sir.

4 Q You heard Mr. Lanning's testimony
5 earlier, did you not?

6 A Yes, sir.

7 Q Did you hear this testimony that the
8 gas/oil ratio over a period of time in the Benson Deep Unit
9 No. 1 Well has climbed to in excess of 25,000 GOR?

10 A Yes, sir.

11 Q Did you note that in your study of the --

12 A I believe --

13 Q -- production in the area?

14 A -- it wasn't that high based on the con-
15 servation reports.

16 Q So you, whatever data you looked at re-
17 flects what, that Mr. Lanning was incorrect in saying that
18 the GOR was either in excess of 25,000 GOR --

19 A Yes, sir.

20 Q -- during the later production stages of
21 the No. 1 Well?

22 A Yes, sir, on the initial examination in
23 October.

24 Q Let's look at your Exhibit Number Two, I
25 think it is. This is your -- is this the -- this shows the

1 gas production, the oil production, and the water production--

2

3 A Yes, sir.

4 Q -- and what, again from what sources was
5 this exhibit prepared?

6 A Dwights's Production Data.

7 Q Well, what wells were included in it?

8 A This is the Benson No. 1.

9 Q Only the Benson No. 1 Well?

10 A Yes, sir.

11 Q So the gas production in your upper line,
12 as I understand the exhibit has remained relatively constant
13 with some upward increase?

14 A Yes, sir.

15 Q The oil production, your middle line, has
16 -- had declined, whether we call it oil or gas or conden-
17 sate, the liquid production has declined at a relatively
18 stable rate. Would that be a fair --

19 A Yes, sir.

20 Q -- statement? Doesn't that show that the
21 relative ratio or the relative productivity of these two
22 substances, the liquids and the gas, has -- has substantial-
23 ly increased over the period of production that that No. 1
24 Well?

25 A Yes, sir, but not to 25,000-to-1.

1 Q Well, if we showed you data that the
2 gas/oil ratio was in fact 25,000-to-1, would that change
3 your --

4 A Yes, sir.

5 Q -- opinion toward any of this? Would it
6 throw any question in your mind as to the safety of your as-
7 sumption that the production from the Benson No. 4 Unit Well
8 that it has shown in the approximately two years it's been
9 on line, could be safely assumed to continue at that rate
10 given the history of the No. 1 Well?

11 A Yes, sir.

12 Q Did you make any determination yourself,
13 or I believe you testified that -- no, it was your geolo-
14 gist. Have you made any determination yourself as to
15 whether or not the Benson No. 1 Well is in anyway connected
16 to the reservoir of the other three wells?

17 A Geologically, talking to the geologist,
18 no, sir.

19 Q Okay. At the time you were making your
20 initial study of the area for Meridian, you knew, did you
21 not of the period of time during which the Yates Benson No.
22 4 Well had actually been produced.

23 A Yes, sir.

24 Q So given the proximity of the Meridian 3
25 No. 1 Well to the Benson No. 4 Well, it's not surprising

1 that your reservoir characteristics now reflect some drain-
2 age has occurred, but at the same time Meridian, during all
3 the previous -- times previous to the completion of the No.1
4 Well had the right to drill and could have protected itself
5 from that drainage.

6 A Well, we weren't privy to information
7 from the No. 4 Well as far as reservoir characteristics.
8 That would certainly go into your calculations and not --

9 Q Right, but all I'm saying is Meridian --
10 it was not anything that Yates did to unfairly take advan-
11 tage of Meridian draining their acreage; Meridian had the
12 right -- could have drilled a well prior to the expiration
13 of the lease. It simply didn't get anyone's attention till
14 the lease expired.

15 A Exactly, yes, sir.

16 Q Okay. Let me hand you a copy of the ap-
17 plication for a permit to drill, deepen, or plug back filed
18 with the BLM. Have you seen this instrument before?

19 A Yes, sir.

20 Q This is Meridian's APD filed with the BLM
21 for your 3 No. 1 Well?

22 A Uh-huh, yes, sir.

23 Q And this is dated November 17th, 1986?

24 A Yes, sir.

25 Q Directing your attention to the field and

1
2 pool designated on this APD, what does this document re-
3 flect?

4 A Undesignated Eddy Strawn and it is cros-
5 sed out and reflects Benson Strawn.

6 Q Do you know at what point that was cros-
7 sed out?

8 A No, sir, I don't.

9 Q I mean would that have been about the
10 time that you discovered that it was subject to the Benson
11 Strawn pool rules?

12 A No, sir, I don't. I didn't -- I didn't
13 cross it out so I don't know approximately when it was cros-
14 sed out.

15 Q In your review of the production data and
16 in your process of deciding for yourself whether in your own
17 opinion the Benson reservoir is in fact a gas reservoir or
18 an oil reservoir, did you make a study of any of the other
19 Strawn pools in the area with the exception of the Lusk
20 Strawn Pool, which you testified to?

21 A No, sir, I didn't.

22 Q Were you aware of the other Strawn pools
23 in the area that Mr. Lanning described in his examination?

24 A Yes, sir.

25 Q Was -- do you have any information that
the -- that the information that he described relating to

1 those other Strawn pools, including the Sand Tank Unit op-
2 erated by Meridian, which are all developed on 320-acre spa-
3 cing, are in any material respects different from the Benson
4 Strawn Pool?

5 A GOR's are slightly higher. API gravities
6 are slightly higher. That's about it.

7 Q What about the -- the actual reservoir
8 rock itself?

9 A No, sir, I haven't done any study on it.

10 Q You simply didn't look at that informa-
11 tion?

12 A No, sir.

13 Q So you really did not agree or disagree
14 with Mr. Lanning's --

15 A No.

16 Q -- opinion on those?

17 A No, sir.

18 Q Directing your attention to your Exhibit
19 Number Six, Mr. Herring, you calculated what you believe to
20 be the recoverable oil in place in the Meridian 3-1 Well.

21 A Yes, sir.

22 Q And you have calculated that to be
23 184,235 barrels of oil?

24 A Yes, sir.

25 Q You also, on one of your exhibits, did
you not, calculate the total oil in place or recoverable oil

1 on the Benson Deep Unit No. 1 Well -- or No. 4 Well?

2 A No, sir, I didn't.

3 Q Your Exhibit Number Three -- oh, I'm
4 sorry.

5 A Yes, the -- as far as the -- I thought
6 you were referring to the actual calculations.

7 Q Right.

8 A No, they're not on there, but yes, I did
9 --

10 Q This was -- excuse me.

11 A -- and that's just based on exponential
12 decline projection.

13 Q And based on that decline, you would ex-
14 pect an ultimate recovery of 332,000 barrels of oil.

15 A Yes, sir, and the well currently trends
16 to produce it at the --

17 Q Now you've heard Mr. Lanning's testimony,
18 in his calculations of the total oil in place he came up
19 with I think it was 330,000 barrels of oil for the Benson
20 No. 4, so that's remarkably close to the projection you get
21 on your decline curve, isn't it?

22 A Yes, sir.

23 Q Did you -- or what did you think of his
24 volumetric calculation on Yates Exhibit Number Fourteen,
25 which showed, assuming and using the same, virtually the

1 same, 330,000-barrel recovery in the No. 4 Well and projec-
2 ting that on both 160 and 320-acre spacing, that he came up
3 with on 160-acre spacing an ultimate recovery of -- on 300
4 -- on 160-acre spacing of 88 percent of the original oil in
5 place?

6 A Yes, sir.

7 Q What, based on your Exhibit Number Six,
8 assumption have you made for your calculation there as to
9 the total volume of original oil in place?

10 A I would say that you are going to drain
11 more than 160 acres but less than 320 acres, thus creating
12 waste.

13 Q But you notice from the comparison of the
14 two exhibits that -- that Yates has already produced from
15 the Benson No. 4 Well 190,000 barrels of oil.

16 A Yes, sir.

17 Q And you're projecting a total recovery
18 from your well of 194,000 barrels of oil.

19 A Yes, sir.

20 Q The question I was trying to get was what
21 percentage of total oil in place, assuming that you recover
22 194,235 barrels of oil from your well, --

23 A Yes, sir.

24 Q -- how much oil was actually in place?

25 A I haven't done that calculation on our

1 wells

2 Q What is the .4 in your formula?

3 A That's the recovery factor.

4 Q So you have assumed forty percent recovery factor?

6 A Yes, sir, an assumption.

7 Q Which would be fairly-- it would be good, but it would be--

9 A It would be mid-range, looking at 80% for a gas well, 20% for a crude oil well, and 40% (not understood)

12 Q It would be too strong to say that a 40% recovery factor on primary production is good?

14 A It would be pushing it.

15 Q Well how do you compare that to Mr. Lanning's calculation that for 160 acre spacing, given the production history of the Benson Deep Unit No. 1 Well, Yates is going to -- assuming it is an oil and not a gas reservoir-- ultimately produce 88 % of the oil in place in that reservoir?

21 A I don't. Based on his calculations, that's correct-- 88%.

23 Q Is that possible?

24

25

A I don't know.

Q Have you ever heard of an oil reservoir that produced 88% of the original oil in place through primary production?

A No, sir, I haven't.

Q I think you heard Mr. Lanning testify that based on that, he drew one of three conclusions. Number one, it would be possible that the log of the Benson Deep Unit No. 4 Well is totally unrepresentative of the reservoir. None of us believe that based on your own cross section and your own examination of the area; we all think they are in the same reservoir, correct-- so that's not one of the alternatives.

The other possibility that he stated was that it was a gas well, and was in fact draining far in excess of 160 acres.

A Yes, sir.

Q So, do I understand your disagreement to be with the fact-- you agree that it's draining more than 160 acres?

A Yes, sir.

Q But you simply disagree that it's draining 320 acres?

A Yes, sir.

Q Did you notice on Mr. Lanning's calcula-

1 tion again with regard to his Exhibit No. 14, he made the
2 same calculation but assumed a 320-acre spacing unit, and he
3 comes up with original or a percentage of total recovery to
4 original oil in place of 44%?

5 A Yes, sir.

6 Q Now that would be much more in line with
7 your 40% recovery factor that you assumed for the purpose of
8 your calculations.

9 A Yes, sir, based on his reservoir parame-
10 ters.

11 Q Well, did you have any quarrel with any
12 of the parameters that he used in his calculations?

13 A Well, his porosity is 6% while ours is in
14 the 8% range.

15 Q And --

16 A His formation volume factor is higher,
17 and ours is lower.

18 Q You're saying that the data from your
19 well is lower or different in your well, but not that the
20 data that he used is erroneous to his calculations?

21 A No.

22 Q Okay. The permeability that you have
23 calculated for the reservoir in the Meridian well is also
24 much higher than that shown in any of the other wells in
25 the Benson Strawn pool that you examined, was it not?

1 A The only information I have privy to is
2 our well. You know, from build-up data and core analysis
3 we've got roughly 28 millidarcies.

4 Q Did you-- you reviewed the testimony in
5 the original hearing in Case 6069 in 1980?

6 A Yes, sir.

7 Q Did you recall the permeability that was
8 testified to in the Benson No. 1 Well?

9 A I believe they couldn't decide on a per-
10 meability. It went anywhere from .46 to .3 something, if
11 I'm not mistaken.

12 Q At any rate, it was far below the perme-
13 ability encountered in the Meridian well?

14 A As far as build-up data on any of the
15 wells to do my own analysis, I wasn't privy to that informa-
16 tion. That was in the testimony, and it was conflicting
17 testimony.

18 Q In your study of this data, Mr. Herring,
19 did you -- or in your examination of the results from the
20 Meridian well, have you observed any evidence of fracture --
21 or production from a fracture system of some nature?

22 A No, sir, I haven't.

23 Q If Mr. Lanning testified that in his
24 opinion there was a fracture system in place underlying the
25 zone, would you agree or disagree with that?

1 A I would have a tendency to believe the
2 core that we recovered, analyzing the core.

3 He is dealing with information from
4 build-up data. We have actually got the rock and according
5 to our geologist it shows no fracture.

6 Q You made reference to the Lusk Strawn
7 Pool. Do you have any knowledge as to whether or not there
8 is any gas free injection system being undertaken in that
9 pool?

10 A No, sir, I don't.

11 Q You don't know that there is or you don't
12 know if it's not, either.

13 A I don't know that there is.

14 Q You just don't know. Have you in your
15 experience as a reservoir engineer or in preparation for
16 your testimony here today or your examination of this Benson
17 Strawn area, have you studied any reservoirs that Core Lab
18 or other parties have testified or have established to be
19 retrograde condensate reservoirs?

20 A No, sir, I haven't.

21 Q Are you familiar with reservoirs which
22 have been classified by that name as opposed to an oil pool
23 or a gas pool?

24 A I know from textbook how they are
25 supposed to respond but as far as physical data, no, I

1 haven't.

2 Q On cross examination by Mr. Kellahin, Mr.
3 Herring, Mr. Kellahin requested and Mr. Lanning furnished
4 certain requested fluid analyses which had been obtained by
5 Yates and which Meridian desired to see for itself.

6 In the event that following this hearing
7 it's going to be held open for a month for notice purposes,
8 in the event that Yates during that period of a month feels
9 that it would be worthwhile for it to obtain information
10 from Meridian on the same basis, informally presented so
11 that the parties can review and discuss each other's infor-
12 mation, would Meridian be willing to furnish such informa-
13 tion?

14 A Yes, sir. Yes, sir.

15 Q Do you know whether or not Meridian has
16 any fluid analysis from the Sand Tank Unit?

17 A Not to my knowledge.

18 Q Do you know --

19 A It may be in the well files but I haven't
20 seen it.

21 Q Do you know whether or not Meridian has
22 any analyses from the Lusk Strawn Pool?

23 A No, sir, not to my knowledge.

24 Q If such analyses are present, no problem
25 with furnishing those to Yates?

1 A No. No, sir.

2 MR. DICKERSON: I have no fur-
3 ther questions, Mr. Examiner.

4 MR. CATANACH: Mr. Kellahin?

5 MR. KELLAHIN: Very briefly,
6 Mr. Examiner.

7
8 REDIRECT EXAMINATION

9 BY MR. KELLAHIN:

10 Q Let me show you Yates' Exhibit Fourteen,
11 Mr. Herring. Mr. Dickerson was asking you about Mr. Lan-
12 ning's volumetric calculation. If we take Mr. Lanning's
13 calculation and substitute in it your -- your reservoir
14 parameters, you have used for porosity 8 percent, Mr. Lan-
15 ning used 6. I think your water saturation was 20 percent
16 and his was 25. There may have been some other changes.

17 In substituting in your parameters in
18 that calculation have you calculated the drainage affected
19 acreage that would be influenced by the Yates Benson No. 4
20 Well?

21 A Yes, sir. It would be approximately 240,
22 245 acres, in that range.

23 Q Thank you. I have nothing further.
24
25

1 RECROSS EXAMINATION

2 BY MR. DICKERSON:

3 Q Are you saying that that area would be
4 influenced from the period that that No. 4 Well went on pro-
5 duction to a current date?

6 A Yes, sir. That would be the area that
7 had been drained.

8 Q To date?

9 A No, sir, ultimate.

10 Q Ultimate.

11 A Yes, sir.

12 MR. DICKERSON: No further ques-
13 tions.

14 MR. CATANACH: I don't have any
15 questions of the witness. Is there anything else?

16 MR. KELLAHIN: No, sir.

17 MR. CATANACH: Then he may be
18 excused.

19 MR. KELLAHIN: Mr. Examiner, I
20 have nothing further with regards to presentation of testi-
21 mony.

22 We're prepared to have this
23 case continued to the -- to the next examiner hearing that
24 you have selected for completion of the case.

25 MR. DICKERSON: Mr. Examiner,

1 because of the notice problem that I've described at the be-
2 ginning, I understand that my request was to the effect that
3 it be held open until I think you stated the April 22nd
4 hearing for the purpose of other parties objecting.

5 We did not at that point, and
6 I don't think Mr. Kellahin and I thought in the nature of a
7 continuance that we're expected at this point to reappear,
8 these same two parties, and rehash or re-argue based on
9 hindsight or new calculations what we've already testified
10 here today.

11 Is there any misunderstanding
12 about that?

13 MR. KELLAHIN: No, there's not.

14 MR. TAYLOR: Why don't you pro-
15 vide in your notice twenty days to object so that we will
16 know if you need to come back and perhaps put on --

17 MR. DICKERSON: Okay.

18 MR. TAYLOR: -- or let those
19 other parties put on witnesses.

20 MR. CATANACH: Do counsel want
21 to make any closing statements at this time?

22 MR. KELLAHIN: Let me suggest
23 to you, Mr. Examiner, that we have some additional informa-
24 tion that Yates has shared with us with regards to the re-
25 servoir fluid studies, the underlying information that sup-

1 ports some of their studies.

2 I would suggest in terms of
3 wrapping this up that you grant us an opportunity to provide
4 you simply written comments by way of argument of counsel as
5 to -- to any observations we might make about some of those
6 studies, so that we don't have to come back when this case
7 is docketed again in April to present further testimony.

8 I think the evidence that is
9 available is before you. The opportunity for the parties to
10 respond on the technical data, I think can be easily accom-
11 plished if you would give us a time period to make an ini-
12 tial response and perhaps grant to Mr. Dickerson a comment
13 period after this, after the time that we've supplied you
14 with our impressions of some of the studies that we haven't
15 had available until today.

16 What was the -- what's the
17 hearing date for --

18 MR. CATANACH: The 22nd of
19 April.

20 MR. KELLAHIN: Perhaps we could
21 split the time between now and then between Mr. Dickerson
22 and myself. If he's agreeable I will take the first half
23 and within that period of time I'll provide written comments
24 to the Examiner, share them with Mr. Dickerson, and that
25 would give him the balance of the time, then to rebut any

1 comments I may have had, and that will allow him to share
2 with his technical people the comments that we might have on
3 this.

4 MR. CATANACH: Is that agree-
5 able to you, Mr. Dickerson?

6 MR. DICKERSON: Yes, it cer-
7 tainly is.

8 MR. CATANACH: Okay.

9 MR. DICKERSON: Mr. Examiner,
10 we'd simply also point out that the testimony was that Meri-
11 dian's well is currently shut in waiting a pipeline connec-
12 tion.

13 Yates' well, the No. 4 Well, is
14 under the provisions of the shut-in order, order to be shut
15 in that has been waived by the local office for a period
16 ending today.

17 We intend to request the local
18 office for an additional extension of time. It's our posi-
19 tion that the status quo between these parties can only be,
20 as far as we know, Meridian is able in the very near future
21 to hook up its well and they certainly have the right to do
22 so and should be allowed to do so, and we have no objection
23 to them doing so. We simply want to make it clear that we
24 are requesting, and will request the local office, a further
25 extension so that the shut-in order pending a resolution of

1 the spacing question, the reservoir question, by the Divi-
2 sion will not come into effect so that -- to cause the shut-
3 in of the No. 4 Well.

4 MR. KELLAHIN: I would join
5 with Mr. Dickerson and perhaps request that the Examiner
6 either through the Director or to the District, would
7 authorize the District to allow both the Meridian well and
8 the Yates well to continue to produce from now until we have
9 an ultimate decision, using the same maximum rate, I be-
10 lieve, of 150 barrels a day.

11 That does in fact preserve the
12 status quo. It doesn't preclude you then from going back
13 and requiring either party to balance with the pool, wipe
14 out the overproduction, or do whatever you decide is in the
15 best interests of the reservoir, but so that we maintain an
16 equal competitive arrangement in the pool. Being the only
17 two producers, we'd request that we both be given the same
18 opportunity to produce now until there's an ultimate deci-
19 sion.

20 MR. LEMAY: Mr. Examiner, I
21 have a point of clarification.

22 I think, as I understand it,
23 that Yates requested from our Artesia office a period of
24 time in which to test that well because you did plan on com-
25 ing to hearing, and therefore we did suspend allowable re-

1 quirements for that period of time that it took you to test
2 the well and get all the information you needed.

3 I don't think -- it was my un-
4 derstanding that we have not issued an order to produce it
5 at any --

6 MR. DICKERSON: That's correct.

7 MR. LEMAY: -- that were
8 authorized beyond the pool rates.

9 We can take under considera-
10 tion, Mr. Kellahin's request that we preserve the status quo
11 in the pool and issue a temporary allowable so to speak, so
12 that no one will gain a competitite advantage.

13 MR. KELLAHIN: Rather than hav-
14 ing us both have a testing allowable, if you will, I think
15 it's cleaner if you would simply issue us a temporary provi-
16 sion allowing us to produce at that rate and maintain the
17 status quo.

18 MR. DICKERSON: That rate is
19 the current deliverability of the Yates No. 4 Well?

20 MR. KELLAHIN: I believe that's
21 how it was established.

22 MR. DICKERSON: That's fine
23 with us, Mr. Examiner.

24 MR. LEMAY: Mr. Dickerson, I'm
25 sorry, Mr. Kellahin, do you -- do you know if -- if Meridian

1 has a market and will be hooking up their well in the near
2 future?

3 MR. KELLAHIN: I understand that
4 hookup is to be accomplished by Monday, front end of the
5 week?

6 MR. HERRING: It should be.

7 MR. LEMAY: A week?

8 MR. KELLAHIN: We've almost got
9 that done.

10 MR. CATANACH: Anything else
11 from either counsel?

12 All right, the record will be
13 left open until the April 22nd docket, hearing examiner doc-
14 ket.

15

16 (Hearing concluded.)

17

18

19

20

21

22

23

24

25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO
HEREBY CERTIFY the foregoing Transcript of Hearing before
the Oil Conservation Division (Commission) was reported by
me; that the said transcript is a full, true, and correct
record of the hearing, prepared by me to the best of my
ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 9109 9110
heard by me on March 18 1987.

David L. Catonah, Examiner
Oil Conservation Division

STATE OF NEW MEXICO
ENERGY AND MINERALS DEPARTMENT
OIL CONSERVATION DIVISION
STATE LAND OFFICE BLDG.
Santa Fe, New Mexico

22 April, 1987

EXAMINER HEARING

IN THE MATTER OF:

Application of Yates Petroleum Corpor- CASE
ation for pool reclassification or, in 9109
the alternative, the amendment of Div-
ision Order No. R-6129-A, Eddy County,
New Mexico.

BEFORE: Michael E. Stogner, Alternate Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Division: Jeff Taylor
Legal Counsel to the Division
Oil Conservation Division
State Land Office Bldg.
Santa Fe, New Mexico

For the Applicant:

1
2 MR. STOGNER: Call next Case
3 Number 9109.

4 MR. TAYLOR: The application of
5 Yates Petroleum Corporation for pool reclassification or, in
6 the alternative, the amendment of Division Order No. R-6129-
7 A, Eddy County, New Mexico.

8 MR. STOGNER: This case was
9 heard at the Examiner Hearing March 18th of 1986. It was
10 continued for notification purposes until today.

11 We'll call for any additional
12 appearances or testimony.

13 There appear there being none
14 Case Number 9109 will be taken under advisement.

15
16 (Hearing concluded.)
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO
HEREBY CERTIFY the foregoing Transcript of Hearing before
the Oil Conservation Division (Commission) was reported by
me; that the said transcript is a full, true, and correct
record of the hearing, prepared by me to the best of my
ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is
a correct record of the proceedings in
the Oil Conservation hearing of Case No. 9109,
heard by me on 22 April 1987.

Mark E. Stager, Examiner
Oil Conservation Division

STATE OF NEW MEXICO
ENERGY AND MINERALS DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING
CALLED BY THE OIL CONSERVATION
DIVISION FOR THE PURPOSE OF
CONSIDERING:

CASE NO. 9109 and
CASE NO. 9110
Order No. R-8446

APPLICATION OF YATES PETROLEUM
CORPORATION FOR POOL RECLASSIFICATION
OR, IN THE ALTERNATIVE, THE AMENDMENT
OF DIVISION ORDER NO. R-6129-A, EDDY
COUNTY, NEW MEXICO.

APPLICATION OF MERIDIAN OIL INC.
TO AMEND DIVISION ORDER NO. R-6129-A,
EDDY COUNTY, NEW MEXICO.

ORDER OF THE DIVISION

BY THE DIVISION:

This cause came on for hearing at 8:15 a.m. on March 18 and April 22, 1987, at Santa Fe, New Mexico, before Examiner David R. Catanach.

NOW, on this 29th day of May, 1987, the Division Director, having considered the testimony, the record, and the recommendations of the Examiner, and being fully advised in the premises,

FINDS THAT:

(1) Due public notice having been given as required by law, the Division has jurisdiction of this cause and the subject matter thereof.

(2) Yates Petroleum Corporation ("Yates"), the applicant in Case No. 9109, seeks the reclassification of the Benson-Strawn Oil Pool to a gas pool, with a provision for 320-acre spacing and proration units or, in the alternative, to amend the Special Rules and Regulations for said pool, as promulgated by Division Order No. R-6129-A, to increase the allowable for said pool from the current 70 barrels of oil per day to the statewide depth bracket allowable of 560 barrels of oil per day, and to increase the current gas-oil ratio limitation from 2000 to 3000 cu.ft./barrel, both changes to be made effective January 1, 1985.

(3) Meridian Oil Inc. ("Meridian"), the applicant in Case No. 9110, seeks to retain the oil pool classification of the Benson-Strawn Pool and to amend the Special Rules and Regulations for said pool to also change the current allowable for said pool to the statewide depth bracket allowable of 560 barrels of oil per day and to further increase the current gas-oil ratio limitation from 2000 to 3000 cu.ft./barrel.

(4) At the time of the hearing Division Case Nos. 9109 and 9110 were consolidated for the purpose of testimony.

(5) Inasmuch as the applications in both Case Nos. 9109 and 9110 concern the classification and amendment of the Special Rules and Regulations for the Benson-Strawn Pool, one order should be entered for these cases.

(6) By Order No. R-6129-A, issued in Case No. 6609 on May 14, 1980, the Division created and defined the Benson-Strawn Pool as a volatile oil pool based upon PVT analysis of a fluid sample obtained from the only producing well in the pool at that time, the Benson Deep Unit Well No. 1, as described below in Finding Paragraph No. (9), and further promulgated Special Rules and Regulations for said pool, including a provision for 160-acre spacing and proration units.

(7) At the time of the original hearing for Case No. 6609, insufficient reservoir information and production data existed to allow the Division to establish a permanent oil allowable and gas-oil ratio limitation for said pool and, as a result, a temporary oil allowable of 70 barrels a day and a gas-oil ratio limitation of 2000 cu.ft./barrel was established by the Division for a temporary period pending the gathering and submittal of production data from the pool by Napeco Inc., the applicant in said Case No. 6609.

(8) The record in said Case No. 6609 indicates that subsequent production data from the Benson-Strawn Pool was submitted to the Division on October 8, 1980, by Yates Petroleum Corporation, the successor operator to Napeco Inc., but that the Division failed to make appropriate changes in the oil allowable and gas-oil ratio limitations at that time.

(9) Yates Petroleum Corporation is the owner and operator of the Benson Deep Unit Well Nos. 1, 4, and 5, located respectively in Section 33, Township 18 South, Range 30 East, and Sections 3 and 4, Township 19 South,

Range 30 East, NMPM, Eddy County, New Mexico, and all currently completed in the Benson-Strawn Pool.

(10) Meridian Oil Inc. is the owner and operator of the Benson "3" Federal Well No. 1 located in Section 3, Township 19 South, Range 30 East, NMPM, Eddy County, New Mexico, which was drilled and completed in the Benson-Strawn Pool in January, 1987.

(11) Yates testified that subsequent to the issuance of Division Order No. R-6129-A and upon further investigation by Yates, it was determined that the PVT analysis obtained from the Benson Deep Unit Well No. 1, which was used as evidence in Case 6609 and which indicated the Benson-Strawn Pool to be a volatile oil reservoir, was inaccurate due to improper fluid sampling procedures.

(12) Yates presented at the hearing new PVT data based upon fluid samples obtained from the Benson Deep Unit Well No. 1 during June, 1980, and from the Benson Deep Unit Well No. 4 obtained during February, 1987, which indicate that the reservoir demonstrates characteristics of a retrograde condensate gas reservoir.

(13) Meridian contends that the temperature at which said fluid samples were analyzed in the laboratory were higher than the actual reservoir temperature as determined from well logs in this area and, as a result, the data obtained from the tests are inaccurate.

(14) Evidence presented by Yates indicates that the temperatures used for fluid analysis were determined from pressure buildup tests conducted on the wells which are more accurate than temperatures obtained from well logs.

(15) The PVT data presented by Yates represent the best and most current reservoir fluid analysis available at the present time with which to make a determination regarding the classification of the Benson-Strawn Pool.

(16) Production data for the Benson Deep Unit Well No. 4 which, as a result of a clerical error, was not placed in the Benson-Strawn Pool until June, 1986, and which for a period of two years subsequent to that time produced as a gas well, indicate that the reservoir is not rate-sensitive and that waste should not occur by increasing the allowable in said pool.

(17) Meridian also testified that the reservoir was not rate-sensitive and that waste should not occur by increasing the allowable in said pool.

(18) Yates further presented evidence that shows that two other Strawn pools in the area, the East Burton Flat-Strawn Gas Pool and the West Parkway-Strawn Gas Pool, both exhibit similar retrograde condensate gas reservoir characteristics as determined by PVT data and are both currently classified by the Division as gas pools developed on 320-acre well spacing and proration units.

(19) Sufficient evidence exists at the present time to justify the reclassification of the Benson-Strawn Pool to a gas pool.

(20) Testimony by Yates indicates that the retroactive reclassification of the Benson-Strawn Pool to January 1, 1985, will not cause waste and will protect the correlative rights of all parties.

(21) The request by Yates for retroactive reclassification of the Benson-Strawn Pool should be approved.

(22) Yates testified that the Benson Deep Unit Well No. 5, which had not been produced at the time of the hearing, has experienced since its completion a 16 per cent decrease in bottomhole pressure attributable to the drainage taking place by the Benson Deep Unit Well No. 4 which is located approximately one-half mile away.

(23) This evidence would indicate that the Benson Deep Unit Well No. 4 is currently capable of draining 320 acres.

(24) The application of Yates in Case No. 9109 for reclassification of the Benson-Strawn Pool to a gas pool to be developed on 320-acre spacing and proration units should be approved.

(25) The application of Meridian Oil Inc. in Case No. 9110 to retain the current oil pool classification of the Benson-Strawn Pool and for the promulgation of special pool rules for said pool should be denied.

(26) In order to prevent the economic loss caused by the drilling of unnecessary wells, to avoid the augmentation of risk arising from the drilling of an excessive number of wells, to prevent reduced recovery which might result from the drilling of too few wells, and to otherwise prevent waste and protect correlative rights, the Benson-Strawn Pool should be reclassified as a gas pool effective January 1, 1985, and the Special Rules and Regulations for said pool as promulgated by Division Order No. R-6129-A should be rescinded.

(27) The Benson-Strawn Gas Pool should be governed by General Statewide 320-acre Gas Rules and Regulations, as contained in Rule 104 C (II) of the Division Rules and Regulations, for a temporary period of two years.

(28) Case No. 9109 should be reopened at an examiner hearing in May, 1989, at which time the operators in the subject pool should be prepared to appear and show cause why the Benson-Strawn Gas Pool should not be redesignated as an oil pool and the Special Rules and Regulations reinstituted.

IT IS THEREFORE ORDERED THAT:

(1) The application of Yates Petroleum Corporation in Case No. 9109 for the reclassification of the Benson-Strawn Pool to a gas pool effective January 1, 1985, is hereby approved.

(2) The application of Meridian Oil Inc. to retain the current oil pool classification and the amendment of the Special Rules and Regulations for said pool is hereby denied.

(3) The Special Rules and Regulations for the Benson-Strawn Pool as promulgated by Division Order No. R-6129-A are hereby rescinded.

(4) The Benson-Strawn Gas Pool shall be developed and operated in accordance with General Statewide 320-acre Gas Spacing Rule 104 C (II) of the Division's Rules and Regulations until further order of the Division.

(5) The locations of all wells presently drilling to or completed in the Benson-Strawn Gas Pool or in the Strawn formation within one mile thereof are hereby approved; the operator of any well having an unorthodox location shall notify the Artesia district office of the Division in writing of the name and location of the well on or before July 1, 1987.

(6) Pursuant to Paragraph A of Section 70-2-18, NMSA 1978, contained in Chapter 271, Laws of 1969, existing wells in the Benson-Strawn Gas Pool shall have dedicated thereto 320 acres in accordance with the foregoing pool rules; or, pursuant to Paragraph C of said Section 70-2-18, existing wells may have non-standard spacing or proration units established by the Division and dedicated thereto.


Case Nos. 9109 and 9110
Order No. R-8446

(7) Failure to file new Forms C-102 with the Division dedicating 320 acres to a well or to obtain a non-standard unit approved by the Division within 60 days from the date of this order shall subject the well to cancellation of allowable.

(8) Case No. 9109 shall be reopened at an examiner hearing in May, 1989, at which time the operators in the subject pool may appear and show cause why the Benson-Strawn Gas Pool should not be redesignated as an oil pool and the Special Rules and Regulations reinstituted.

(9) Jurisdiction of this cause is retained for the entry of such further orders as the Division may deem necessary.

DONE at Santa Fe, New Mexico, on the day and year hereinabove designated.



S E A L

STATE OF NEW MEXICO
OIL CONSERVATION DIVISION

A handwritten signature in cursive script, appearing to read "William J. Lemay", written over the typed name and title.

WILLIAM J. LEMAY
Director

fd/