

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION
STATE LAND OFFICE BUILDING
SANTA FE, NEW MEXICO

24 May 1989

EXAMINER HEARING

IN THE MATTER OF:

In the matter of cases called on this
date and continued or dismissed with-
out testimony presented.

CASES
9675
9109
9572
9573
9682
9683

BEFORE: David R. Catanach, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Division:

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION
STATE LAND OFFICE BUILDING
SANTA FE, NEW MEXICO

21 June 1989

EXAMINER HEARING

IN THE MATTER OF:

In the matter of Case 9109 being re- CASE
opened pursuant to the provisions of 9109
Division Orders Nos. R-6129-A and
R-8446, whereby the Benson-Strawn Pool
was redesignated as a gas pool and de-
veloped on statewide 320-acre gas
spacing units, Eddy County, New Mexico.

BEFORE: David R. Catanach, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Division: Robert G. Stovall
Attorney at Law
Legal Counsel to the Division
State Land Office Building
Santa Fe, New Mexico

For Yates Petroleum David R. Vandiver
Corporation: Attorney at Law
FISK, VANDIVER & CATRON
Seventh & Mahone/Suite E
Artesia, New Mexico 88210

For Meridian Oil, Inc. W. Thomas Kellahin
Attorney at Law
KELLAHIN, KELLAHIN & AUBREY
P. O. Box 2265
Santa Fe, New Mexico 87504

I N D E X

DAVID F. BONEAU

Direct Examination by Mr. Vandiver 3

Cross Examination by Mr. Kellahin 15

E X H I B I T S

Yates Petroleum Exhibit One, Map 5

Yates Petroleum Exhibit Two, Production History 8

Yates Petroleum Exhibit Three, Production History 9

Yates Petroleum Exhibit Four, Production History 9

Yates Petroleum Exhibit Five, Production History 9

Yates Petroleum Exhibit Six, Production History 9

Yates Petroleum Exhibit Seven, Tabulation 10

Yates Petroleum Exhibit Eight, Tabulation 12

Yates Petroleum Exhibit Nine, Formula 13

1 MR. CATANACH: We'll call now
2 Case 9109.

3 MR. STOVALL: In the matter of
4 Case 9109 being reopened pursuant to the provisions of
5 Division Orders Nos. R-6129-A and R-8466, whereby the
6 Benson Strawn Pool was redesignated as a gas pool and de-
7 veloped by statewide 320-acre gas spacing units, Eddy
8 County, New Mexico.

9 MR. CATANACH: Are there ap-
10 pearances in this case?

11 MR. VANDIVER: Mr. Examiner,
12 I'm David Vandiver of Artesia, appearing on behalf of Yates
13 Petroleum Corporation and I have one witness to be sworn.

14 MR. CATANACH: Any other ap-
15 pearances?

16 MR. KELLAHIN: Mr. Examiner,
17 I'm Tom Kellahin of the Santa Fe law firm of Kellahin,
18 Kellahin & Aubrey, appearing on behalf of Meridian Oil,
19 Inc.

20 I have no witnesses.

21 MR. CATANACH; Will the wit-
22 ness please stand and be sworn in at this time?

23

24 (Witness sworn.)

25

1 DAVID F. BONEAU,
2 being called as a witness and being duly sworn upon his
3 oath, testified as follows, to-wit:

4
5 DIRECT EXAMINATION

6 BY MR. VANDIVER:

7 Q Please state your name, your occupation
8 and by whom you're employed.

9 A My name is David Francis Boneau. I work
10 as Engineering Manager for Yates Petroleum Corporation in
11 Artesia, New Mexico.

12 Q You have previously testified, have you
13 not, before the New Mexico Oil Conservation Division and
14 had your qualifications accepted and made a matter of
15 record?

16 A Yes, sir,

17 Q Have you made an engineering study of
18 the Benson Strawn Gas Pool in response to the Division's
19 Order R-6129-A?

20 A Yes, sir.

21 MR. VANDIVER: Mr. Examiner,
22 are the witness' qualifications acceptable?

23 MR. CATANACH: They are.

24 Q Mr. Boneau, what does Yates Petroleum
25 Corporation seek to show in this reopened case today?

1 A Yates seeks to show that the Benson
2 Strawn Pool should remain a gas pool with 320-acre spacing.
3 The majority of the evidence at the original hearing on
4 this case in March of 1987 showed that the reservoir fluid
5 is a retrograde condensate gas and the wells can drain 320
6 acres.

7 At that time the Commission ruled that
8 the Benson Strawn is a gas pool on statewide 320-acre
9 spacing and today, two years later the evidence is stronger
10 than it was at that time that the Commission was right and
11 that 320-acre spacing should be retained.

12 Yates will present evidence on two main
13 points. First, the gas production rate has held relatively
14 constant while the oil production rate has declined. This
15 is behavior typical of a gas well.

16 And second, Yates will show that the
17 drainage areas of the main wells in the field are consis-
18 tent with 320-acre spacing.

19 Q All right, sir, now if I could refer you
20 to Yates' Exhibit Number One and ask you to identify it and
21 tell the Examiner what that exhibit shows.

22 A Exhibit One is a map showing the five
23 producing wells in the Benson Strawn Gas Pool. The area on
24 the map includes four sections in Townships 18 South, 19
25 South, Range 30 East of Eddy County, New Mexico.

1 The wells are indicated by the red dots
2 on the map.

3 Three of the wells, Benson Deep Unit No.
4 1 on the map is called BDU No. 1.

5 Benson Deep Unit No. 4 and Benson Deep
6 FS No. 1 are operated by Yates Petroleum. The other two
7 wells are operated by Meridian Oil, Incorporated, and those
8 two wells are the Benson No. 3 Federal and the Benson 34
9 Federal No. 1 in the east half of Section 34.

10 The exhibit also lists the completion
11 date for each of the wells. It's called the start date on
12 the map.

13 There is information on the cumulative
14 production of each well and recent producing rates at each
15 well.

16 The Strawn formation in these wells lies
17 at about 10,800 feet. You can see from the production
18 values that three of the wells are excellent wells and two
19 are not so great.

20 The excellent wells are the Yates Benson
21 Deep No. 4 in the west half of Section 3; the Meridian 3
22 No. 1 in the east half of Section 3; and the Meridian Fed-
23 eral 34 No. 1 in the east half of Section 34.

24 The Benson Deep Unit No. 4 has produced
25 690-million cubic feet of gas and 203,000 barrels of con-

1 densate. The current production of that well is 302 MCF
2 per day and 12 barrels of condensate per day.

3 The Benson 3 No. 1 has produced a cumu-
4 lative of 653-million cubic feet of gas and 82,000 barrels
5 of condensate. It's current producing rate is 842 MCF per
6 day and 8 barrels of condensate per day.

7 The newest well is the Meridian Benson
8 34 No. 1. It was drilled after the hearing in 1987. It's
9 cumulative production is 352-million cubic feet and 70,000
10 barrels of condensate.

11 Currently, which is in April of 1989,
12 it's producing 474 MCF per day and 43 barrels of condensate
13 per day.

14 Those are the three excellent wells.

15 The Benson Deep Unit No. 1 in the south
16 half of 33 was the discovery well. It's been a steady
17 producer at relatively low volumes.

18 And the Yates Benson FS No. 1 in the
19 east half of Section 4 has always been a very poor well.

20 The current production at the Benson
21 Deep Unit No. 1 is 94 MCF per day and 5 barrels of conden-
22 sate per day and the FS No. 1 in April produced 3 MCF per
23 day and no condensate.

24 (Not clearly understood) the three
25 excellent on the east side of the map.

1 Q Now, Mr. Boneau, if I could refer you to
2 what's been marked as Applicant's Exhibit Number Two
3 through Exhibit Number Five and explain what these show.

4 A Exhibit Number Two shows the production
5 history of the good Yates well, the Benson Deep Unit No. 4.
6 Gas production is shown in red and the oil production is
7 shown in green. I believe the rate at the time of the
8 hearing in 1987 for the well was about 500 MCF a day and
9 200 barrels of condensate per day.

10 In late 1986 the well was shut in for
11 overproduction which was resolved at that hearing (not
12 clearly understood) December of 1987.

13 The story I want to tell you is simply
14 that the original production from the well back in 1985 was
15 about 600 MCF a day and 300 barrels of condensate per day.
16 At the time of the hearing it was 500 MCF a day and 200
17 barrels of condensate. It now is about 300 MCF a day and
18 12 barrels of condensate, so the gas has held relatively
19 constant at 600, 500, 300, while the condensate has de-
20 creased from 300 to 200 and has dropped sharply, you can
21 see on the green line, to 12 barrels of condensate per day.

22 The oil is going away while the gas rate
23 is being maintained. It looks like a gas well now, where-
24 as in 1987 it looked debatable as to what it was.

25 Q Now if I could refer you to (not clearly

1 understood.)

2 A Exhibit Three is the production history
3 for the newer Meridian well, Benson 34 Federal No. 1.
4 Again the gas is in red, the oil is in green, and I don't
5 think it's necessary to go through all the numbers but the
6 green oil line is declining while the gas rate has held
7 quite constant. It's looking more and more like a gas
8 well, also.

9 And the other exhibits, I guess the
10 lawyer will call, but the point of the other -- next three
11 exhibits is to show a similar kind of thing on the others.

12 Q Will you go on to Exhibit Four?

13 A Exhibit Four is a production history for
14 the older of the two Meridian wells, the Benson 3 No. 1,
15 and again the point is that the gas production in red has
16 held relatively stable at near 1000 MCF a day, a million a
17 day, while the oil has dropped from more than 300 barrels a
18 day down to 12 barrels a day.

19 So the story on the three remaining
20 wells is that the gas rate is holding up and the oil rate
21 is declining (not clearly understood.)

Exhibits Five and Six are the production histories of the poorer wells and they're consistent with what we're saying only they're not as relevant.

25 Exhibit Five is a production history of

1 the Benson Deep Unit No. 1. You can see that the oil rate
2 has declined while the gas rate has stayed up pretty much.

3 I guess I should say that all of these
4 curves have a forecast out to the right, which we'll refer
5 to later.

6 The story on Exhibit Five is that the
7 oil rate has declined and the gas rate has stayed up and
8 that well's looking to be consistent with being a gas well.

9 And Exhibit Six is the production
10 history of the almost dry hole, the Benson Deep Federal FS
11 No. 1. It doesn't produce hardly anything but it produces
12 gas, a little gas and hardly any condensate.

13 So the production history of the five
14 wells is all consistent, producing gas wells and very small
15 oil production any more and still considerable gas
16 production.

17 Q I'll call your attention to Exhibit
18 Number Seven and ask you to identify that and describe what
19 is shown.

20 A Exhibit Seven tries to summarize the
21 production history from Exhibits Three through Six and it
22 does it in the terms of gas/oil ratio. It's simply a
23 comparison of gas/oil ratios in the 1987 at the time of the
24 previous hearing with the current gas/oil ratios.

25 The gas rate has held relatively con-

1 stand while the oil rate has declined and the gas rate has
2 (unclear).

3 So again, the main attention needs to be
4 drawn to the good wells, which are the Benson Deep 34 --
5 the Benson Deep Unit No. 1 and the Benson 34 Federal No. 1,
6 the GOR's for those wells which in 1987, as seen in column
7 4, were about 3-or-4000 at the time of the hearing. It's
8 debatable whether they were oil or gas wells.

9 The GORs of those wells now are a low of
10 11,000 for the newest Meridian well, 26,000 for the Yates
11 Deep Unit 4 and about 100,000 for the Benson Deep Federal
12 No. 1.

13 The GORs now look like the wells are
14 (unclear).

15 Q Mr. Boneau, column four, which is April,
16 1989, that reflects production only for that month and not
17 the month of May is that correct?

18 A Yeah, columns five, six and seven are --
19 column five is the gas production in April; column six is
20 the condensate production in April; and column seven is the
21 ratio of those two strictly for the month of April and it's
22 representative of this area.

23 Q Now if I could refer you to what's been
24 marked as Yates Exhibit Number Eight and ask you to
25 identify that and explain what that shows.

1 A Okay. My second argument is that the
2 actual drainage area of the wells in the Benson Strawn Pool
3 are consistent with 320 acre spacing.

4 Exhibit Eight shows the results of a
5 calculation. my calculation of the drainage areas for the
6 five wells in the pool.

7 The results are the drainage areas which
8 are shown in the righthand column of Exhibit Eight, column
9 seven of Exhibit Eight.

10 The Benson Deep Unit No. 4 has a drain-
11 age area of 334 acres.

12 The Benson 34 No. 1 has a drainage area
13 of 267 acres.

14 The Benson 3 No. 1 is draining 427
15 acres.

16 The two poorer wells are draining
17 smaller areas, 49 and 5 acres.

18 The three wells, the top three wells in
19 Exhibit Eight produce 95 percent of the oil and gas and
20 they have drainage acres between 257 and 427 acres. The
21 average is 340 acres.

22 The drainage areas are consistent with
23 the present 320-acre spacing. That statement has been
24 proved and I think I should make a statement about the
25 calculations that resulted from that information.

1 Columns two, three and four of Exhibit
2 Eight are reserves for the five wells.

3 Column two is the reserves in million
4 cubic feet of gas.

5 Column three is the reserves in
6 thousands of barrels of condensate, and these are what I
7 call ultimate reserves, current production plus future,
8 ultimate production.

9 Column four is the oil converted to gas
10 and so you get one reserve number in terms of the total MCF
11 of gas.

12 These reserve numbers were taken from
13 the decline curves, the forecast in Exhibits Two, Three,
14 Four, Five and Six, is where these numbers come from.

15 Column five of Exhibit Eight is the feet
16 of pay from the logs of these wells.

17 Column six of Exhibit Eight is porosity
18 from the electric log of each well.

19 Exhibit Nine shows the details of the
20 formula that was used to calculate the drainage area. The
21 bottom line on Exhibit Nine states that the drainage area
22 in acres is found by multiplying 0.118 times the reserves
23 in millions of cubic feet and dividing by the feet of pay
24 and the porosity.

25 And the body of Exhibit Nine goes

1 through that volumetric formula.

2 I used the formula in Exhibit Nine, plus
3 the date in column four, five and six of Exhibit Eight, to
4 obtain the drainage areas in Column Seven in Exhibit Eight.
5 That's briefly where those numbers came from.

6 That really concludes my testimony and I
7 come to two conclusions.

8 First, that the productive acreage (not
9 clearly heard).

10 Second, the main wells in the field are
11 draining about 320 acres each, and I think those two argu-
12 ments show that it should remain a gas pool with statewide
13 320-acre spacing.

14 Q Mr. Boneau, were Yates Exhibits One
15 through Nine prepared by you or under your direction and
16 supervision?

17 A Yes, they were.

18 MR. VANDIVER: Mr. Examiner, I
19 would offer Exhibits One through Nine into evidence and I
20 have no further questions for this witness.

21 MR. CATANACH: Exhibits One
22 through Nine will be admitted into evidence.

23

24

25

CROSS EXAMINATION

BY MR. CATANACH:

Q Mr. Boneau, how -- how would you explain the initial high oil production rate?

A I think that the rates are consistent with the reservoir being a retrograde condensate gas reservoir. That means it's -- it's a gas in an oil form but lots of liquids condense out of the gas as the pressure falls so that the fluid flows into the reservoir when the reservoir is new and carries all that liquid with it. That liquid falls out at the bottom of the well and flows to the surface and you've got gas with a high oil to gas ratio or low GOR.

As the pressure falls in the reservoir, that liquid falls out in the reservoir instead of in the wellbore and does not move to the wellbore so more and more of it gets trapped in the reservoir and the original gas holds this much liquid but as time goes on not as big a fraction of the liquid goes to the wellbore and so what you see at the wellbore at the surface is the declining oil rate. While the gas continues to decline the well remains relatively steady or declines at a smaller, slower, more normal fashion.

Q Okay. Is there a fairly simple explanation why these poorer wells in the field aren't draining as

1 big an area?

2 A Well, the near dry hole doesn't have
3 hardly any reservoir there and, you know, it's -- what
4 reservoir there is real tight and you're just not going to
5 get the gas to flow that way. It's going to flow prefer-
6 entially towards the other wells, so that my feeling is
7 that gas that's five acres away from the FS has a better
8 chance to flow over to one of the better wells than it is
9 to flow to the very tight limestone that exists in that
10 well. Okay? Anyway, that's my answer to that question.

11 The FS No. 1, it was discussed in con-
12 siderable detail at the original hearing, that was actually
13 completed in the upper part of the Strawn interval, which
14 all -- middle Strawn interval. It's not really connected
15 and we're not going to worry about that, I hope, but it
16 really is not connected to the reservoir that produces in
17 the other five wells.

18 So it's a little bit different beast and
19 it's not draining that big an area, and if you look at the
20 decline curve, I've put a decline on (unclear) that really
21 was pretty flat, to get -- when the gas production was
22 really pretty flat, I put a pretty steep decline on it. I
23 could have jacked that up some so as to make the drainage
24 area bigger and, you know, I really don't know if it will
25 drain 50 or 150 or 200 acres, but it's a slow, steady pro-

1 ducer and it may actually drain a larger area over a long
2 period of time.

3 But my main answer is that it's not in
4 the reservoir that we're talking about so I don't consider
5 that a really bad problem.

6 Q I see. Is that middle sand present in
7 that wellbore?

8 A No, it is not.

9 MR. CATANACH; Okay. I be-
10 lieve that's all I have.

11 Any other questions of this
12 witness?

13 If not, he may be excused.

14 Is there anything further in
15 this case?

16 MR. VANDIVER: Nothing fur-
17 ther.

18 MR. CATANACH: If there is
19 nothing further, this case will be taken under advisement
20 and the hearing is adjourned.

21

22 (Hearing concluded.)

23

24

25

C E R T I F I C A T E

I, SALLY W. BOYD, C. S. R. DO HEREBY
CERTIFY that the foregoing Transcript of Hearing before the
Oil Conservation Division (Commission) was reported by me;
that the said transcript is a full, true and correct record
of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 9108,
heard by me on June 21 1989.
David R. Catamb, Examiner
Oil Conservation Division