

STATE OF NEW MEXICO
ENERGY AND MINERALS DEPARTMENT
OIL CONSERVATION DIVISION
STATE LAND OFFICE BLDG.
SANTA FE, NEW MEXICO

2 April 1987

COMMISSION HEARING

VOLUME 4 of 5 VOLUMES

IN THE MATTER OF:

Case 7980 being reopened pursuant to the provisions of Commission Order No. R-7407. . . Rio Arriba County.

CASE
7980

and

Case 8946 being reopened pursuant to the provisions of Commission Order No. R-7407-D. . . Rio Arriba County.

CASE
8946

and

Case 8950 being reopened pursuant to the provisions of Commission Order No. R-2565-E (R-6469-C) and No. R-3401-A. . . Rio Arriba County.

CASE
8950

and

Case 9113, application of Benson-Montin-Greer Drilling Corporation, Jerome P. McHugh & Associates, and Sun Exploration and Production Company to abolish the Gavilan-Mancos Oil Pool, to extend the West Puerto Chiquito -Mancos Oil Pool, and to amend the special rules and regulations for the West Puerto Chiquito-Mancos Oil Pool, Rio Arriba County, New Mexico.

CASE
9113

and

Application of Mesa Grande Resources, Inc. for the extension of the Gavilan-Mancos Oil Pool and the contraction of the West Puerto Chiquito-Mancos Oil Pool, Rio Arriba County, New Mexico.

CASE
9114

BEFORE: William J. LeMay, Chairman
Erling A. Brostuen, Commissioner
William R. Humphries, Commissioner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Commission: Jeff Taylor
Legal Counsel for the Division
Oil Conservation Division
State Land Office Bldg.
Santa Fe, New Mexico 87501

For Benson-Montin-Greer: William F. Carr
Attorney at Law
CAMPBELL & BLACK P.A.
P. O. Box 2208
Santa Fe, New Mexico 87501

For Sun Exploration,
Dugan Production, &
Jerome P. McHugh: W. Thomas Kellahin
Attorney at Law
KELLAHIN, KELLAHIN & AUBREY
P. O. Box 2265
Santa Fe, New Mexico 87501
and Mr. Robert Stovall
and Mr. Alan R. Tubb

For Mesa Grande Resources,
Hooper, Kimball & Williams,
and Reading & Bates: Owen M. Lopez
Paul Kelly
Attorneys at Law
HINKLE LAW FIRM
P. O. Box 2068
Santa Fe, New Mexico 87501

For Mallon Oil Co. &
Mobil Producing Texas
& New Mexico: W. Perry Pearce
Attorney at Law
MONTGOMERY & ANDREWS P.A.
P. O. Box 2307
Santa Fe, New Mexico 87504

For Amoco: Kent J. Lund
Attorney at Law
Amoco Production Company
P. O. Box 800
Denver, Colorado 80201

A P P E A R A N C E S CONT'D

1
2 For Floyd and Emma Ernest L. Padilla
Edwards: Attorney at Law
3 PADILLA & SNYDER
P. O. Box 2523
4 Santa Fe, New Mexico
and
5 Nicholas R. Gentry
Attorney at Law
6 OMAN, GENTRY & YNTEMA
P. O. Box 1748
7 Albuquerque, New Mexico 87102
8 For Meridian Oil Co.: Paul A. Cooter
Attorney at Law
9 RODEY LAW FIRM
P. O. Box 1357
10 Santa Fe, New Mexico 87504
11 For Don Howard: William O. Jordan
Attorney at Law
12 Santa Fe, New Mexico 87501
13 For Koch Ex. Co.: Robert D. Buettner
Attorney at Law
14 Koch Exploration Co.
P. O. Box 2256
15 Wichita, Kansas 67201
16 For Phelps Dodge Corp.: Mark K. Adams
Attorney at Law
17 RODEY LAW FIRM
P. O. Box 1888
18 Albuquerque, New Mexico 87103
19
20
21
22
23
24
25

I N D E X

GREGORY B. HUENI CONT'D

Direct Examination by Mr. Lopez	6
Cross Examination by Mr. Kellahin	66
Questions by Mr. Chavez	98
Questions by Mr. Stockton	104
Questions by Mr. Lyon	112
Questions by Mr. Humphries	122
Questions by Mr. Brostuen	134
Questions by Mr. Lemay	139
Questions by Mr. Humphries	155
Questions by Mr. Brostuen	158
Questions by Mr. Lemay	160
Questions by Mr. Lyon	161
Redirect Examination by Mr. Lopez	162

RICHARD ELLIS RECALLED

Questions by Mr. Humphries	168
Questions by Mr. Lemay	173

ALAN P. EMMENDORFER RECALLED

Questions by Mr. Lemay	178
------------------------	-----

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X COMT'D

JOHN ROE RECALLED

Questions by Mr. Lyon 182

Questions by Mr. Chavez 187

ALBERT R. GREER RECALLED

Questions by Mr. Brostuen 188

Questions by Mr. Lemay 190

GREGORY D. HUENI RECALLED

Questions by Mr. Lemay 195

E X H I B I T S

MMM Exhibit Ten, Report 66

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MR. LEMAY: The meeting will now come to order. We shall resume where we left off with the direct testimony of Mr. Hueni by Lopez.

MR. LOPEZ: Thank you, Mr. Chairman.

GREGORY D. HUENI,
resuming the witness stand and remaining under oath, testified as follows, to-wit:

DIRECT EXAMINATION CONT'D

BY MR. LOPEZ:

Q Mr. Hueni, I think it would be helpful if you would summarize your testimony yesterday and in that connection ~~relate~~ to the summary and recommendations that were distributed at the conclusion of yesterday's hearing.

A Okay. Yesterday we discussed the first phases of our engineering study, which were the description of reservoir performance based on the observed performance data that we had in the field and then we also described the reservoir characteristics that we believe are the characteristics of Gavilan Mancos Pool.

With respect to the discussion yesterday, one of our principal conclusions was that the Gavilan Mancos

1
2 Pool produces primarily from the Niobrara A and B intervals
3 as opposed to the C interval, and that was based on the pro-
4 duction log surveys as well as the individual tests that
5 were run in the C Zone as well as -- and also in conjunction
6 with the televiewer type information.

7 One of the other things that we mentioned
8 and we will prove today, is that this production from the
9 Niobrara AB in the Gavilan Mancos Pool is only very weakly
10 connected to the West Puerto Chiquito gas injection area,
11 which we believe produces primarily from the Niobrara C.

12 We also discussed that the western tier
13 of sections in the West Puerto Chiquito Pool are in pressure
14 communication with the Gavilan Mancos Pool. We reviewed the
15 pressure time and the pressure production characteristics
16 and we noted that wells tended to have similar pressure pro-
17 ducing characteristics, and this is one of the reasons we
18 believe that the Gavilan Mancos Pool boundaries in the AB
19 interval should be expanded to include these sections.

20 We noted that -- that what we believe is
21 occurring in the Gavilan Mancos Pool is a dual porosity sys-
22 tem; that we have a high capacity fracture system and we be-
23 lieve that this contains approximately 10 percent of the
24 original oil in place in the pool.

25 In addition, we have a secondary porosity

1 system, or a matrix porosity system, which really encompasses
2 all the low flow capacity rock, be it the traditional
3 matrix rock, microfractures, or just simply low permeability
4 fractures, and we believe that this poorer quality rock contains
5 approximately 90 percent of the oil in place.

6 We said that in order to properly understand reservoir performance we have to have a proper interpretation of reservoir characteristics, including fluid properties and with respect to that we said the bubble point
7 pressure was different than what the fluid property test
8 would suggest. We said it was a value of 1660. We said the
9 laboratory test on rock compressibility indicated much
10 higher rock compressibilities than had been traditionally
11 used in the field, and we also said that -- that the transmissibility or permeability thickness product was considerably less than the 10 Darcy feet that has been quoted previously. We believe that for the majority of the field area
12 the average transmissibility is probably less than 400 millidarcy feet.

13 One of the things that we've noticed, we
14 have the high capacity fracture system, which allows for
15 vertical segregation of gas and oil. On the other hand, the
16 matrix is very low permeability and it is going to produce
17 more by a solution gas drive process.

18 Finally, at the end of the day, we came

1 to the conclusion that the original oil in place, based on
2 material balance calculations for the Gavilan Mancos Pool
3 was on the order of 55-million stock tank barrels.

4 Q Would you now briefly summarize what you
5 are going to be discussing today, and in this connection re-
6 late to the rest of the summary?

7 A Okay. We intend to show that in our
8 reservoir analysis, or that our reservoir analysis indicates
9 that there is a -- there is a weak connection between the
10 Gavilan Mancos Pool and the West Puerto Chiquito gas injec-
11 tion area.

12 We intend to show that the depletion of
13 the Gavilan Mancos Pool will not have a significant impact
14 on the West Puerto Chiquito gas injection area.

15 We know the current primary depletion is
16 approximately 6 percent of the oil in place. We believe
17 that ultimate primary depletion will amount to 17 percent of
18 the oil in place and we intend to show why we believe that
19 to be the case.

20 We have run several sensitivity cases to
21 see if this recovery is rate sensitive and we've found that
22 it's not rate sensitive and we intend to show why that par-
23 ticular phenomenon is true.

24 We have also run cases investigating the
25 possibility of injection into the Gavilan Mancos Pool.

1 We've tried two cases, a case where we would inject basical-
2 ly at current reservoir pressures and maintain -- maintain
3 the pressure in the reservoir and we have determined for
4 that case that we would actually instead of improving recov-
5 ery, we would actually adversely affect current recovery.

6 We have run a second case where we
7 actually deplete the reservoir to a very low pressure and
8 then we initiate a gas injection program and we find that we
9 do receive some additional improved recovery from -- from
10 that type of operation. In that particular case we
11 increased recovery from about 17 percent to about 20 percent
12 of the oil in place.

13 We intend to present the economics that
14 are associated with each of those cases.

15 We have also investigated the concept of
16 correlative rights based on the density of future wells. If
17 we could be assured that we would drill wells of top
18 allowable quality, then we would see that it would be
19 reasonable to drill one well per 640 rather than two wells
20 per 320.

21 On the other hand, if we end up with
22 limited capacity wells, we will see that two limited
23 capacity wells, each drilled on 320 will significantly out
24 perform or -- or -- well, they'll significantly out perform
25 one well on 640.

1 Q All right. We're now going to refer to
2 Section 4 in Exhibit Ten, which is entitled Reservoir Analy-
3 sis.

4 Yesterday you discussed the reservoir
5 performance, as you just stated, and a description of the
6 reservoir, as well. Could you tell us how that information
7 was used to complete the reservoir analysis that we're going
8 to discuss?

9 A Okay. The, as you mentioned, Section 4,
10 it does contain the reservoir analysis that we performed.
11 What we have attempted to do is to basically integrate the
12 reservoir characteristics that we previously described and
13 using those characteristics with some modifications actually
14 duplicate the performance that we observed to date in the
15 Gavilan Mancos Pool.

16 The reservoir analysis that we have done
17 has been done based on a computer simulation model. It's a
18 similar type computer simulation model to the BIP model that
19 was described by Sun. The model that we have used is one
20 that Sun referred to. It is a model from a company called
21 Exploration Consultants, Limited. It's a company in London.
22 The model name is the Eclipse Model. It is a model that we
23 have used extensively in our work in the North Sea. We have
24 used it on dual porosity fields in the North Sea, including
25 the Buchan Field.

1 Once again, it is, we believe, an appro-
2 priate model to use. It provides the reservoir definition
3 that we believe is appropriate to describe the Gavilan Man-
4 cos Pool.

5 Q You indicated that you're attempting ot
6 describe reservoir performance with your reservoir analysis.
7 How did you describe actual field performance, and in this
8 connection would you refer to Figures 52 and 53 under Sec-
9 tion 4?

10 A When we do a modeling study or simulation
11 study, what we are required to do is to put in characteris-
12 tics for the field or a portion of the field that we're
13 studying, characteristics such as the fluid properties and
14 the permeability, transmissibility, and then what we do is
15 we run the model and we receive output from the model and we
16 then want to compare that output to what we've actually ob-
17 served in the field. Now if we cannot duplicate what's ac-
18 tually occurred in the field, then we don't have a correct
19 description of the field and we need to modify our under-
20 standing.

21 So what we have presented in Figures 52
22 and 53 are what we would like to consider as being the aver-
23 age field performance curves. This is actual data. This is
24 data measured in the field.

25 We plotted it up. Normally we are used to

1 looking at plots, I think, of a producing rate versus time
2 or pressure history versus time, but we realize in the Gavi-
3 lan Mancos Pool that over a period of time the field has
4 been developed so if we're going to study the field, perhaps
5 a better way of looking at it that removes to some extent
6 the time influence, is to take at particular points in time
7 the measured pressure for the field and the measured GOR for
8 the field, both of which we've actually presented. We've
9 presented a pressure history versus time and we've presented
10 the gas/oil ratio history versus time, and then plot gas/oil
11 ratio versus pressure.

12 And the curve that we look at in Figure
13 52 is simply performance of the Gavilan Mancos Pool. We had
14 a period of pressure decline from initial pressures in the
15 vicinity of 1800 psi down to average pressures in the
16 vicinity of 1600 psi when the gas/oil ratio amounted to
17 approximately 1000 standard cubic feet per stock tank barrel,
18 and, incidentally, that draws my attention, the scale on the
19 lefthand side indicates MCF per stock tank barrel. That
20 should be standard cubic feet per stock tank barrel, and if
21 I forget to update this, I would say that there are going to
22 be several plots that will have that same discrepancy. They
23 should record instead of thousands of cubic feet per stock
24 tank barrel, they record just standard cubic feet per stock
25 tank barrel.

1 When the reservoir pressure dropped to
2 about 1600 psi, we saw an increase in the gas/oil ratio.
3 That increase is as we have shown on this particular -- on
4 this particular plot. This is factual data. This was what
5 we see for the field.

6 The only -- the only thing that we might
7 note is that we believe that the pressure, the last two
8 pressure points that are down or that have pressures less
9 than 1400 psi, may not be representative of true average
10 pressure, just based on a calculation of oil in place that
11 we saw, a declining oil in place for those last two pressure
12 points, and once again we just don't believe that we're ob-
13 taining from our pressure tests pressures that are repre-
14 sentative of true volumetrically average pressure for the
15 reservoir.

16 Now, Figure 52 is a plot of gas/oil ratio
17 versus pressure.

18 Figure 53 has on the Y axis both pressure
19 expressed in psi, and gas/oil ratio, and once again it
20 should be expressed in terms of standard cubic feet per
21 stock tank barrel, and those two quantities are plotted ver-
22 sus what we might call fraction of oil in place produced,
23 and to get fraction of oil in place produced we've taken the
24 cumulative oil production, recorded from the production his-
25 tories at any point, and we've divided by our estimated oil

1 in place value of 55-million barrels, and so what we see from
2 the end points of our curves, we are now at a stage of dep-
3 letion of recovering about 5.7 percent of the oil in place.

4 Now both Figures 52 and 53 are plots that
5 we would like to believe represent average field conditions.
6 They are based on measured field data. They're presented a
7 little bit differently than we're sometimes used to saying,
8 but they are -- they are what we call actual (not clearly
9 understood.)

10 MR. LOPEZ: Mr. Chairman, Mem-
11 bers of the Commission, I would encourage you, we're getting
12 into some high tech stuff, I can for sure tell you that, and
13 if you want to interrupt the witness to make sure you're
14 staying with him, feel free, and I encourage you to do so.

15 Q Does the field average trend in GOR ver-
16 sus pressure match individual well trends, and in this con-
17 nection I would refer you to Figures 54 through 67?

18 A The answer is that the field average
19 trend represents a composite trend for all the wells, and
20 some wells perform a bit differently; some wells perform
21 more or less in the same manner that the field as a whole is
22 performing. I think from our standpoint we believe that in-
23 dividual wells perform a bit differently because there is
24 variability in the reservoir parameters as suggested by the
25 second derivative map of Mr. Emmendorfer and as suggested by

1 the actual production performance as we've alluded to in
2 terms of variations in producing characteristics.

3 So what we have done to illustrate this
4 is to take the plot that we constructed for the field aver-
5 age gas/oil ratio versus pressure, and we have then plotted
6 individual plots where we've included on the individual
7 plots individual well performance so that you can obtain a
8 feel for how representative, perhaps, the average field is
9 compared to the individual wells.

10 We feel that we are going to describe the
11 model that matches average field performance. We believe
12 the model is capable of describing each individual well if
13 we had sufficient time and resources to describe each well,
14 but it needs to pointed out that certain wells perform dif-
15 ferently than field average, and that is a reflection once
16 again of different contributions of these dual porosity
17 characteristics.

18 In Figure 54, I don't intend to look at
19 all of these but for example, 54 is the ET No. 1. The field
20 actual curve is a value shown by the circles. The perfor-
21 mance of the ET No. 1 is shown by the squares.

22 Initially we had gas/oil ratios less than
23 the field average. Then we had an abrupt and sudden in-
24 crease in gas/oil ratio and pressure of around 1600, and it
25 has actually gone to a value over the value plotted on this

1 scale as indicated by the arrow to the top of the page.

2 If we turn then to Figure 55, we have a
3 case where -- which is the Fisher No. 2-1 Well, which has
4 performed rather than coming to GOR's in excess of the field
5 average, it's actually stayed at GOR levels under the field
6 average, but in a way you can see that it does parallel the
7 same type of trend in terms of its gas/oil ratio versus
8 pressure performance.

9 If we turn to Figure 56, we would see
10 then the plot of actual field performance and the plot of
11 the performance for the McHugh Full Sail No. 1 Well, and we
12 would see that in this particular case over a large portion
13 of the GOR pressure history the two wells compare very fav-
14 orably. So this represents more or less the average that we
15 see in the field.

16 I don't believe that we necessarily need
17 to look at the other figures. I think it would show once
18 again that in many cases we have similar trends to the field
19 average performance but they tend to be displaced a bit from
20 the actual field average. Some wells deviate from the
21 trend; some, the trends are steeper; some the trends are
22 less steep than the field performance. Once again it indi-
23 cates the variability of the reservoir that we are not
24 dealing with just a simple, homogeneous type system.

25 Q Have you included under Appendix A the

1 production performance of each and every well in the field?

2 A Yes, we have. The information that we
3 have included in Appendix A is very similar to the informa-
4 tion that Mr. Roe included in his exhibits, which had a de-
5 tailed production history plot and tabulation for each of
6 the wells in the field.

7 Q Okay, so in these previous figures that
8 you've just discussed you indicated the GOR versus pressure
9 trends for the field as a whole and for individual wells.
10 Before we turn to the analysis of how the Gavilan Mancos
11 Pool performs, is it necessary to determine its relationship
12 to the historical West Puerto Chiquito Mancos gas injection
13 project, and with respect to that I would ask you to discuss
14 information reflected on Figures 68 through 71.

15 A Yes, it is. We believe that it is neces-
16 sary that rather than simply construct a simulation model
17 of the Gavilan Mancos Pool, we have to be sure that whatever
18 happens in the Gavilan Mancos Pool doesn't necessarily have
19 some close relationship to what's occurring in the West Puer-
20 to Chiquito gas injection area.

21 I think it's certainly not the intention
22 of -- well, we just want to insure that we don't have an ad-
23 verse -- we don't create an adverse effect on the West Puer-
24 to Chiquito Pool.

25 So what we -- we did before we concluded

1 with our analysis of the Gavilan Mancos Pool itself, we
2 turned our attention to the relationship of Gavilan Mancos
3 Pool to the West Puerto Chiquito Pool.

4 Figure 68 in our report is the figure
5 that is very similar to one presented by Mr. Greer. It is
6 the initial pressures recorded for various pools along the
7 east side of the San Juan Basin.

8 On the lefthand scale it records the
9 datum of the pressure measurement, measured feet above sea
10 level, and then along the X axis we have the reported pres-
11 sure measured in psi, and we have several fields specified
12 on this exhibit. We have the Puerto Chiquito Mancos East.
13 We have the Boulder Pool. We have the Puerto Chiquito Man-
14 cos West Pool. We have the Well Canada Ojitos E No. 10. We
15 go now from the top left to the bottom right. We also have
16 the Wild Horse Gallup Pool.

17 There were some early pressures taken in
18 various wells in the Gavilan Pool. We show them as the Gav-
19 ilan No. 1, the Rucker Lake No. 2, the Gavilan No. 1-E pres-
20 sures.

21 For various reasons we would not neces-
22 sarily expect an individual pressure survey to be represen-
23 tative of the pool average, so what we have done is we have
24 taken the pressure versus cumulative production history that
25 we looked at yesterday and we basically set an upper bound

1 and a lower bound on that history for the point in time when
2 Gavilan was first discovered, and if you would recall, we
3 said the initial pressure in Gavilan was about 1800 psi, and
4 that is represented by where we say "Gavilan initial pres-
5 sure", where we show the circle. That is an 1800 psi value.

6 And then the upper and lower bounds are
7 represented by the bar that goes across the -- across the
8 page.

9 And what this particular graph shows is
10 that indeed the Gavilan initial pressure is a bit lower than
11 we would have expected it to be were the reservoir not in
12 some sort of pressure communication with -- with other pro-
13 duction in the area, and I think the logical place to assume
14 that we would be likely to have pressure communication or
15 possible pressure communication, would be the West Puerto
16 Chiquito gas injection project area.

17 So having established the fact that the
18 pressure communication may exist, the question then becomes
19 how significant is that communication and what does it mean
20 relative to the depletion of the two pools. And what I'd
21 like to do, then, is to turn next to Figure 69.

22 Figure 69 is a plot which was presented
23 previously by Mr. Greer in his testimony. This particular
24 plot is the only data that we, unfortunately, have on the
25 pressure history of the Canada Ojitos Unit pressure mainten-

1 ance area, and what this pressure history is, along the
2 lefthand scale we have the pressures measured at a datum el-
3 evation of -90 -- of 1195 feet relative to sea level, and
4 then we have these pressures plotted versus cumulative oil
5 production ranging from zero out to 3-million barrels on the
6 far righthand side of the X axis.

7 Along this graph Mr. Greer has plotted
8 several individual well pressures and noted the dates on
9 which those well pressures were taken, and he records then
10 the pressure decline initially in the Canada Ojitos Unit
11 area.

12 And in I believe 1968, injection was com-
13 menced in the reservoir, then causing a leveling of pressure
14 within the reservoir. Although the pressure has remained
15 relatively level, I think we see at the -- on the righthand
16 half of the graph the pressure is declining with time and we
17 have assumed, consistent with what Mr. Roe testified, the
18 pressure has declined has declined at a rate of about 10 psi
19 in this pressure maintenance area in the period of time from
20 1970 where the graph ends until 1982, when the Canada Ojitos
21 Unit -- or when Gavilan Mancos Pool was first discovered and
22 tested in terms of what its pressure was.

23 And if you recall, that pressure indi-
24 cated to be about 1800 pounds.

25 Now from this pressure plot we would note

1 that the initial pressure in Canada Ojitos was about 1625.
2 By 1970 the pressure had dropped down to what appears to be
3 1280 psi. This represents a pressure decline of about 340
4 psi that we have observed within the Canada Ojitos Unit in
5 this -- in this time frame.

6 We add on approximately another 110 psi
7 that may have occurred after 1970 prior to discovery of the
8 Gavilan Mancos area bringing us to a decline in pressure in
9 the Canada Ojitos Unit gas injection area of 450 psi at the
10 time the Gavilan Mancos Pool is discovered.

11 We noted that the Gavilan Mancos Pool
12 pressure, on the other hand, was drawn down by approximately
13 80 psi. If we had extremely high transmissibiity between
14 the two, the Gavilan Mancos Pool pressure would have been
15 drawn down similar to the pressure drawdown that's been ex-
16 perienceed in the gas injection area.

17 Now, what that indicates to us is that
18 there is some type of flow restriction between the west
19 Puerto Chiquito gas injection area and the Gavilan Mancos
20 Pool, which produces primarily from the A and B Zones.

21 To study how severe a flow restriction we
22 would have to put in the area between these two pools, we
23 constructed a simulation model, as we've shown in Figure 70.
24 Figure 70 is the simulation model that we constructed that
25 consisted of five cells. Now when you set out a simulation

1 model, you set out individual cells that represent areas of
2 the field and so we have five cells and Cells 1 and 2 are
3 intended to depict the Gavilan area, including, perhaps, the
4 west tier of sections in the West Puerto Chiquito Field.

5 Reflecting back to the fact that the pro-
6 duction in the syncline area, many of those wells tend to
7 appear to be lower transmissibility and a barrier present to
8 some extent between -- in the syncline area, we have repre-
9 sented the syncline area by Cell No. 3, and then as we move
10 further to the east we have Cells 4 and 5, representing the
11 West Puerto Chiquito Mancos Pool.

12 The reason the cells are stacked at dif-
13 ferent heights, or different elevations, is simply that
14 there is some structural relief between the Gavilan Nose
15 area going down into the syncline and then coming back into
16 the West Puerto Chiquito, the east area of West Puerto Chi-
17 quito.

18 Now, what the idea is in the simulation
19 model, is to impose on Cells 4 and 5 over a period of time
20 representing the time period from 1962 through 1982, a pres-
21 sure drop of approximately 450 psi, based on the preceding
22 observed pressure drop that we looked at in the -- in Figure
23 69, and then what we want to do is we want to use the trans-
24 missibility that we've assigned to the syncline area, we
25 want to vary that until we determine a transmissibility

1 that results in the observed pressure drawdown in the Gavi-
2 lan Mancos Pool, when it was drilled in 1982, and we said
3 that that pressure drop was about 70 psi.

4 We made several simulation runs attempt-
5 ing to define what the transmissibility would be in this
6 restricted area, whether it is a syncline area or whether it
7 is some -- some other area. We've used a syncline because
8 that seems reasonable to us, but -- but basically the fact
9 is that we see a restriction somewhere between West Puerto
10 Chiquito gas injection area and Gavilan Mancos Pool.

11 And when we varied the transmissibility
12 in Cell No. 3, we ended up reducing the transmissibility to
13 a value of about 15 millidarcy feet in that region, and when
14 we reduced that transmissibility in that region, we would
15 see then a 450-pound pressure drop on the righthand side of
16 that cell, and we would see a 70 psi pressure drop on the
17 lefthand side.

18 So what we're saying is that the restric-
19 tion has to be on the order of about 15 millidarcy feet in
20 through -- in between the two pools.

21 Q So does that mean that we put 15 for that
22 "kh =" in Cell 3?

23 A Where it says "kh = variable", the final
24 result that we came to was a value of about 15, and I think
25 you can see that by comparison the values that we were using

1 for both West Puerto Chiquito area and the Gavilan area were
2 values considerably higher, higher than that number, and in
3 fact the values within Cells, well, 4 and 5 could be still
4 higher than the 400 and 1000 transmissibility values that
5 we've shown here.

6 It simply says that there has to be some
7 type of restriction in between the two cells and the value
8 that we believe is reasonable to duplicate the performances
9 on the order of 15. We know it's considerably tighter than
10 what's on either side of it.

11 Q Okay, I'd like you to refer to Figure 71
12 and explain what this shows.

13 A Okay. Figure 71 is in part this match
14 that we achieved when we had 15 millidarcy feet in the syn-
15 cline and then it also reflects how we expect then the be-
16 havior to perform in the future in terms of if we deplete
17 the Gavilan Mancos Pool what affect that might have on the
18 east area of West Puerto Chiquito or at least the gas injec-
19 tion area.

20 Once again we have what appear as four
21 vertical lines on this particular graph, separating the
22 graph up into five different areas.

23 The westernmost area represents Cells 1
24 and 2 that we've looked at before and they are intended to
25 represent Gavilan and perhaps the western tier of sections

1 in the West Puerto Chiquito area.

2 The syncline area is shown and then the
3 next two areas to the right represent the east area of West
4 Puerto Chiquito.

5 The Y axis is actually oil potential but
6 basically we can consider that to be equivalent to a pres-
7 sure measured at all points in the system at a common eleva-
8 tion which we've chosen as +900 feet, and at that particular
9 elevation we start off with a pressure in 1962 in each one
10 of the cells that is a pressure of about 1700 psi.

11 At that point in time the east area of
12 West Puerto Chiquito is place on production and the pressure
13 begins to decline and we show those pressure declines dated
14 September, '62, April of '64, July of '65, and eventually we
15 end up out at January of 1980, and we note, then, that the
16 difference between the pressure in September of '62 and the
17 January of '80 is approximately 450 psi.

18 And the individual lines that run more or
19 less horizontally across the page represent the pressure in
20 each of the individual cells for each of the individual
21 areas in the field.

22 And what we see, if we took the January,
23 1980 pressure and we started following it across, we would
24 see that the pressure would not increase significantly as we
25 go across the east area of West Puerto Chiquito. It would

1 increase quite significantly in the troubh area, or the syn-
2 cline area, and then it would level off into the Gavilan
3 Mancos Pool, resulting in approximately a 70 psi drawdown in
4 that area.

5 So this is the basis on which we say
6 we've duplicated performance. We've matched the 450 pound
7 pressure drawdown in the east area of West Puerto Chiquito
8 and we've matched the 70 pound pressure drawdown observed at
9 the time Gavilan was discovered.

10 Now what we have done in order to study
11 the influence that the Gavilan Mancos Pool will have on the
12 depletion of the gas injection program in West Puerto Chi-
13 quito is basically to assume that no pressure drop would oc-
14 cur in the West Puerto Chiquito area. In other words, we
15 have fixed the pressure on the righthand side. No, I
16 don't want to say that.

17 We have -- we have shut it in the west --
18 West Puerto Chiquito area, and we have shut in that produc-
19 tion so that it basically is not taking any fluid out, and
20 then we continue to produce Gavilan and we see, then, what
21 the withdrawals in Gavilan, what effect that would have on
22 the West Puerto Chiquito pressure history, and I think then
23 you see a whole series of pressure profiles that decline
24 down to a very low pressure in the Gavilan area. In fact it
25 gets down to under 100 psi, and then you see the pressure

1 gradient back through the system, back through the syncline,
2 and into the east -- into the east area of West Puerto Chi-
3 quito and you see basically minimal pressure effect on the
4 gas injectin program as a result of drawing the west area of
5 the Gavilan pressure down to a very low value.

6 And from this we have concluded that the
7 operation of the Gavilan Mancos Pool will not have a signi-
8 ficant impact on the West Puerto Chiquito gas injection
9 area.

10 Q If that's the case, then, what's the best
11 way to deplete the Gavilan Mancos Pool?

12 A In -- in our study, first we studied to
13 see if there was a relationship between the Gavilan Mancos
14 Pool and the gas injection area of West Puerto Chiquito and
15 we determined that there -- that those two pools can operate
16 separately of each other within the -- within this depletion
17 history that we've studied.

18 So we then studied the behavior of the
19 Gavilan Mancos Pool and what we are going to see is that af-
20 ter we duplicated Gavilan Mancos Field performance on the
21 average, we studied the various methods of depletion of the
22 pool and we determined that the optimum course of operation
23 and particularly in an economic sense is to simply deplete
24 the field with perhaps at a later point in time some low
25 pressure gas injection.

1 Q And when you say deplete the field, does
2 that mean under applicable statewide rules?

3 A Yes, that is correct. We see that --
4 what we'll be seeing here in a few minutes is that the re-
5 covery from this pool is not rate sensitive within the range
6 of rates at which the pool -- the pool is capable of being
7 produced, and therefore we see no reason to have a restric-
8 ted allowable situation in this pool.

9 Q And how did you reach this conclusion?

10 A We reached this conclusion by doing a
11 simulation model study of the Gavilan Mancos Pool.

12 Q And now, of course, I'd like you to ex-
13 plain that and in that connection would you refer to Figures
14 72 through 80?

15 A Okay. We've looked at one simulation
16 model that we constructed relating the Gavilan area to the
17 West Puerto Chiquito area. Now we're looking at a second
18 simulation model that we constructed that was constructed to
19 attempt to explain the performance in the Gavilan Mancos
20 Pool, and similar to the type of model that Sun described,
21 we are analyzing a portion of the reservoir and attempting
22 to duplicate the average field performance characteristics.

23 Now, the portion of the reservoir that we
24 are studying is basically a 640-acre section of the reser-
25 voir and we did not use just a simply square mile represen-

1 tation of the reservoir because we wanted to include wells
2 on 320-acre spacing and so what we did is we took a picture
3 of the reservoir that was a bit elongated and then had a --
4 well, had a length of about 7500 feet as shown in Figure 72,
5 and a width of approximately 3700 feet, and this would
6 basically model a 640-acre area developed on 320-acre
7 spacing with wells located in northwest and southeast
8 diagonal locations.

9 This is the planer view looking at the
10 model that we set up. Now what we ran was a cross sectional
11 model and the cross sectional model is represented by the
12 schematic shown in Figure 73.

13 The cross sectional model consisted of
14 five individual layers describing possible flow out of the
15 Niobrara A, B, and C intervals, as we've shown on the
16 lefthand side of the model.

17 We used two layers to represent the
18 Niobrara A section. We used two layers to represent the
19 Niobrara B section. We allowed those layers to communicate
20 vertically based on what we saw in the televiewer logs.

21 We also included a third layer to
22 represent the Niobrara C, which we believe is minimally
23 productive in the Gavilan Mancos area, and as you'll note by
24 the space between the layers, that is shown to indicate that
25 we did not allow communication between the C interval and

1 and the upper A/B intervals.

2 The cross sectional model, simulation
3 model, consists of 37 cells in the horizontal dimension and
4 that's what we show by -- as we go across, as we have them
5 numbered and each cell has dimension of about 202 feet.

6 We have included in the thickness of the
7 model the -- more or less the gross thickness that we might
8 see in the A and B zones as well as in the C zone or some-
9 thing that we would consider representative. It's possible
10 that -- that there is less thickness in each individual zone
11 than what we've shown. The result of that would be simply
12 that rather than having a thick zone with a low porosity, we
13 would have a thinner zone with a higher porosity.

14 The accuracy of the model is not particu-
15 lar dependent on so much obtaining the right thickness as it
16 is obtaining the right transmissibility, Kh product, and the
17 right phi H, porosity thickness values, so at any rate, this
18 is the model that we set up and what we do with the model,
19 then, is we produce wells at particular rates that we be-
20 lieve are representative of field rates, and we then attempt
21 to match the observed performance that we looked at back in
22 Figures 52 and 53 for the field average, and if we get a
23 good description of the properties, such as the transmis-
24 sibility, the fluid properties, the rock compressibility,
25 the relative permeability characteristics, then we will be

1 able to duplicate more or less what actually has occurred in
2 the field, and this is a standard by which a model is
3 measured. It's easy to take parameters and stick them into
4 a model and to run the model.

5 It's very hard to get a model adjusted so
6 that it actually fits actual field performance.

7 In performing our study we ran somewhere
8 between 80 and 100 different runs using a model similar to
9 this to study the performance of the field. We adjusted
10 several of the parameters in attempting to duplicate field
11 performance. It is not an easy process to actually dupli-
12 cate the performance and it is only through that process
13 that we feel comfortable with the reservoir properties.

14 Now what I'd like to show you is the ef-
15 fect of a couple different -- what you do is you assume the
16 make-up of the model. You assume what the reservoir looks
17 like and then you test to see if that make-up conforms to
18 what you actually observed.

19 And what I'd like to show you is a couple
20 different graphs that show how different types of systems
21 behave, and the first one I'd like to show you is Figure 74.

22 Once again we are describing the behavior
23 of these systems in terms of how we expect the gas/oil ratio
24 to behave as pressure declines in the reservoir and what
25 we've shown here are three separate model runs. None of

1 these represent what we believe the actual field looks like
2 at this point, but they are -- they are very comparable runs
3 in all of their other parameters, and what I'd like to show
4 you is that this gas/oil ratio trend that we observe versus
5 pressure depends first on the type of porosity we have out
6 in the area, as well as the ability of the gas to segregate
7 within the system, segregate vertically within the system.

8 So what we have on the far lefthand side
9 is the system -- one of the illustrations that we showed
10 earlier was a fracture system with solution gas drive. We
11 have little bubbles going along with the oil. And that type
12 of system is shown on the far lefthand side. We see a very
13 rapid gas/oil ratio increase with decline in pressure, and
14 in this case the gas is not segregating vertically and this
15 is how we would expect performance to look.

16 If we have a single porosity system, a
17 fracture system, which has high capacity fractures and the
18 gas segregates to the top of the model, then the gas/oil
19 ratio pressure performance is as shown -- as what we show in
20 the bottom righthand picture.

21 Now the dual porosity system is a mix of
22 solution gas drive performance from the matrix and a gas se-
23 gregation drive in the high capacity fracture system, and
24 inasmuch as that's true, we would expect a dual porosity
25 system to basically represent the area more or less in be-

1 tween these two individual systems. And what we've shown,
2 then, are the results obtained using a dual porosity des-
3 cription of the reservoir where we've set the fracture vol-
4 ume equal to the matrix volume. In other words, we have an
5 equal volume of oil in the fractures; we have an equal vol-
6 ume of oil in the matrix.

7 Once again the reason that we're showing
8 you this is that we have to look at in terms of actually has
9 occurred in the field is the gas/oil ratio trends and the
10 pressure performance, and these are the pieces of informa-
11 tion that people have claimed constitute an emergency situa-
12 tion, so we are trying now to describe the reservoir such
13 that we can match these trends.

14 So Figure 74 gives us some perspective of
15 how different types of description of the reservoir affects
16 these trends.

17 Now I'd like to show you one more picture
18 that is intended just to, hopefully, give you a feeling for
19 how these trends are influenced by another parameter and
20 that parameter is the volume of oil that's contained in the
21 fracture versus the volume of oil that's contained in the
22 matrix. And what we've done is set that out as a fraction
23 that we've designated as F . That represents the fracture
24 oil volume compared to the total oil volume, and all of
25 these runs are based on a dual porosity system where we have

1 both types of porosity present.

2 And what we conclude from this is that
3 the less oil that we contain in the fractures, the steeper
4 is the gas/oil ratio versus pressure performance.

5 Q You're referring to Figure 75 now?

6 A Yes, I am. I'm sorry. I am referring to
7 Figure 75.

8 Q And that fracture, $F=0.1$ is one-tenth?

9 A Right. When it's 0.1, that represents a
10 system that has 10 percent of the oil in the fractures and
11 90 percent of the oil in the matrix.

12 Now what we're trying to do is more or
13 less generate curves similar to these that we've looked at
14 that we've computed from the model and have them look the
15 same as what we saw in the field, and as I said before, we
16 have made many runs and tried many different combinations,
17 both single porosity systems as well as dual porosity sys-
18 tems, and what we come up with for our best match expressed
19 in terms of the gas/oil ratio versus pressure behavior, is
20 what we show in Figure 76.

21 In this case we have the actual histori-
22 cal information shown by the squares. We have the informa-
23 tion derived from our final history match run shown the
24 triangles.

25 In general we match up quite well with

1 the pressure, gas/oil ratio behavior actually observed. We
2 note once again that we believe that the latest pressures
3 are not necessarily representative of average pressure.

4 Unfortunately, if we have a model with a
5 constant volume of oil in place, there is no way that we
6 could actually match that -- that pressure behavior that ac-
7 tually occurred. It either -- it has to be a dual porosity
8 system or there has to be another explanation for those last
9 two points.

10 But with the exception of those two
11 points we have a very good match on pressure GOR behavior.

12 If we turn Figure 77, which is obviously
13 misspelled, instead of Figure it's "FUGRUE", we have the
14 match expressed in terms of the observed pressure decline
15 and the gas/oil ratio trends calculated versus fraction of
16 oil in place produced, and once again we have more or less
17 duplicated the pressure decline in the reservoir and we've
18 duplicated the gas/oil ratio trends in the reservoir with
19 our computed answer based on what we have in the simulation
20 model.

21 Once again, there is no way -- well,
22 there is no way that we can -- well, we've more or less mat-
23 ched those trends.

24 Now, what I'd like to do next is to show
25 you what the reservoir would look like in terms of the gas

1 content of the individual cells that we just looked at at
2 different points in time, and this is shown on Figure 78.
3 Keep in mind that what we have -- what we're describing is a
4 high capacity fracture system surrounding a low capacity ma-
5 trix system or tight fracture block system.

6 What we have here are three different
7 points in time at which we output our computed results.
8 Those times were a time of 180 days; a time of 360 days; and
9 a time of 540 days, and what we have shown then is in the
10 matrix system, if we focus on the very last one, which rep-
11 resents basically the state of depletion that we think we
12 are close to at this point in time, we show the matrix as
13 having approximately 4 percent gas saturation and that is
14 uniform throughout. Each of the matrix blocks has approxi-
15 mately 4 percent gas saturation.

16 And then as we look down to the fracture
17 blocks, the -- we see then the various layers, the A, B, and
18 C layers on the far lefthand side, and we see the 37 cells
19 across the top of the page. We see that the gas saturation,
20 this is expressed in percentage, is approximately 55 to 60
21 percent along the top layer of the reservoir, and then the
22 gas saturation goes down to a very low level at the -- at
23 the base of the reservoir, and what this is indicating is
24 that gas is segregating vertically in the fracture system
25 and this is totally consistent with what we have observed in

1 the field through the production control surveys.

2 Q Would it be helpful to refer back to Fig-
3 ure 28 under Tab 3?

4 A I think it probably would be. Figure 28
5 on Tab 3, which was one of the figures that we didn't --
6 didn't label, it was a schematic of the dual porosity system
7 and it had both red and green coloration to it. What we're
8 looking at here is the exact same type of system that we
9 have now model results computed for.

10 The various layers, in this case we show,
11 I guess there are six cells, or six matrix blocks in a ver-
12 tical direction, well, in our model we only have --

13 Q Greg, I'm not sure everybody is with you
14 yet.

15 A Sorry. In this schematic we show six
16 sets of matrix blocks in the vertical direction, vertical
17 dimension. In a way, although this is a simplification, we
18 have -- we have five layers and I don't mean to imply that
19 the matrix blocks are of equal dimension necessarily to the
20 layers themselves. The matrix blocks are actually much,
21 much smaller than the individual layers. But what we are
22 picturing if we viewed each of these -- each of these blocks
23 essentially as a layer, we would see that the gas saturation
24 in each of matrix blocks at that point in time that we
25 looked at on the computer output was about 4 percent, so we

1 would have the presence of both the gas, the red dots and
2 the green dots, simultaneously in each of those matrix
3 blocks and that refers to both phases being present.

4 Then within the high capacity fracture
5 system we would have seen the gas segregate up to the very
6 upper reaches of the reservoir such that we had the gas,
7 high gas saturation at the upper reaches of the reservoir
8 and the low gas saturation at the base of the reservoir.

9 So the simulation output is basically
10 just a restatement of what we've drawn here conceptually.

11 Q Okay. Now do you want to continue with
12 Figure 79?

13 A Well, Figure 79 is the same type of
14 information except instead of showing the gas saturation in
15 the system at different points in time, we've now shown the
16 pressure in the system at different points in time, and if
17 we focus once again on the time period 540 days, we note the
18 average reservoir pressure right to the right of that is
19 stated to be 1,284 psi. If we look at each individual cell
20 in the model, though, and we look at the pressures in those
21 cells, we will see the cells that represent the low capacity
22 matrix are much higher pressure, approximately 13 to 1400
23 psi than are the cells that represent the fracture system,
24 which are down at 700 to 800 psi.

25 In other words, to have flow occur from

1 the matrix into the fracture system, you have to have a
2 pressure difference driving that flow and that pressure dif-
3 ference is what we see on this -- on this particular figure.

4 Now the final figure that I would like to
5 show with respect to the history map, we've looked at pres-
6 sure versus gas/oil ratio plots. We've looked at pressure
7 versus fractional oil in place plots, and that, perhaps,
8 doesn't give you as much of a feel for how good the quality
9 of history match is as if we convert this back to a time
10 basis and in Figure 80 we have done this. And what we have
11 done is we have put into the model what is the equivalent of
12 the oil production schedule that you see along the top of
13 the page. In other words, we've input basically into the
14 model the actual historical oil production and what we are
15 computing is the gas oil ratio that we would expect to come
16 from the field.

17 So if we have the correct description of
18 the field, then we'd get a duplication of gas/oil ratio per-
19 formance. The actual performance values for gas/oil ratio
20 are shown by the X's that are connected. Our computer
21 values are the values that are shown by the -- by the dots.

22 This is -- in my experience in simula-
23 tion, this is an extremely close match to actual observed
24 behavior.

25 Q Okay. I guess you testified that you

1 think you got an excellent match.

2 Now that you have a match, what does this
3 (not clearly understood) do?

4 A Well, that's right. We, once again, we
5 do believe that we have an excellent match. We believe that
6 we have a description of the reservoir that is indeed valid.
7 It basically describes the reservoir performance. So we
8 feel that is that is the case then we can study how the --
9 what the appropriate method of depletion of the reservoir is
10 considering different alternative depletion schemes, such as
11 just primary production for gas injection or primary
12 production at various rates.

13 Q Have you studied the studied the sensiti-
14 vity of recoveries and producing rates, and in that connec-
15 tion would you explain that with respect to Figure 81?

16 A Yes, I would. We've taken this model now
17 that represents a 640-acre area, and that 640-acre area con-
18 tains a volume of approximately 1.5-million barrels.

19 Now what we've done is we have run the
20 model at flow rates coming from that -- that amount of oil
21 in place that when scaled up to our 55-million barrel oil in
22 place number will result in flow rates that are achievable
23 in the field.

24 For example, we have -- we estimate
25 there's 55-million barrels of oil in place. We have 1.5-

1 million barrels in the model and that tells us that we have
2 about 1/36th of the total reservoir volume in the model. So
3 now if we want to run -- if we want to study field depletion
4 at a rate of 3600 barrels a day, then what we take out of
5 our model is a rate of 100 barrels per day.

6 I think we need to be -- we need to be
7 clear on that, that there is a scaling mechanism that needs
8 to be honored in doing -- in doing this kind of analysis.
9 If instead of taking out of the model 100 barrels a day we
10 take out a rate of let's say 1000 barrels a day out of the
11 model, then that would be the equivalent of withdrawing
12 fluid from the entire reservoir at 36 times that 1000 bar-
13 rels a day or at a rate of 36,000 barrels.

14 Now we are going to have some consider-
15 able differences with the Sun testimony in terms of the
16 scaling factor that should be applied in studying rate sen-
17 sitivity.

18 We have run our model at what we would
19 consider rates that duplicate field performance rates of
20 3600 barrels a day, which is our current field rate. We
21 have run a case at the equivalent of 7,200 barrels a day,
22 which we believe is approximately the rate that could be
23 achieved if the allowable restrictions were removed, could
24 be achieved for a short period of time in the existing
25 wells, and we've also run our model at twice that rate at an

1 output from the field of 14,400 barrels a day with no gas
2 restrictions whatsoever to determine if within that range of
3 possible producing rates for the field, if there will be
4 any sensitivity of recovery to those kinds of producing
5 rates.

6 Our three cases which, I guess, really
7 should be labeled on this, on this run, or our three runs,
8 are shown on Figure 81 in terms of pressure versus gas/oil
9 ratio production. Unfortunately we haven't labeled them as
10 -- as nicely as we would like.

11 The run that is the squares represents
12 7200 barrels a day.

13 The runs that -- the run that is the cir-
14 cle is, I believe, 3600 barrels a day.

15 And the run that is the diamond or the
16 triangle, I'm sorry, represents 14,400 barrels a day.

17 And what we see on Figure 81 is that we
18 do have some variation in gas/oil ratio versus pressure per-
19 formance for each of the individual cases. We will see a
20 bit different production characteristics for each of those
21 cases.

22 But as we turn to Figure 82, which plots
23 pressure as well as gas/oil ratio versus our fractional oil
24 recovery, we see that while we have variations in gas/oil
25 ratio performance, that in terms of the pressure match to

1 fractional oil recovery we end up with basically the same
2 pressure at the same point in recovery for all three cases,
3 indicating that there is no ultimate difference in recovery
4 as a result of producing at these rates.

5 And in all cases where we terminated the
6 computer run which was at a fairly low pressure of about 250
7 pounds, we were arriving at that point in the depletion --
8 depleting life of the reservoir at about 16+ percent recovery.
9 We will have a little additional recovery beyond that
10 point which we didn't include in our computer model, which
11 we estimate might be another one percent.

12 Now, once again, we've looked at these
13 things in terms of the pressure of the gas/oil ratio plotted
14 versus fraction of oil in place.

15 What I'd like to do now is look at each
16 individual case plotted on a time basis so you can see what
17 type of flow profile we would expect from the reservoir, and
18 Figure 83 is our first case. It reflects -- Figure 83 we
19 show the oil production history and then we show as a dashed
20 line expected future oil production using our model.

21 And what we have done in this case is re-
22 move the allowable restriction, allow the field to produce
23 at a rate of 7,200 barrels a day, and we see the kind of
24 performance that we have depicted on this -- on this plot.

25 Now, according to our estimate at this

1 point in time, based on our economics, the actual rate at
2 which the oil production from a total of 55 wells would
3 become uneconomic would be somewhere in the neighborhood of
4 250 barrels a day, or the equivalent of about 5 barrels of
5 oil per day per well.

6 So the line is drawn down, the dashed
7 line is drawn down to a value on the rates scale of 10 to
8 the 2nd, as shown on the lefthand side of the Y axis but
9 really that's a little bit, that's further out in time than
10 we'll be able to produce based on the economics of the situ-
11 ation and it really needs to be terminated a little bit
12 higher at a 250-barrel a day rate, which really eliminates
13 production in about 1996, somewhere in that timeframe.

14 So what we see is under this case about a
15 10-year remaining life for the -- for the field as a whole.

16 Now, if we turn beyond that page we would
17 like to show you what the gas saturation profile looks like
18 at various points in time in the future.

19 The -- we have once again gas saturation
20 in percentage on this plot shown at various times in the
21 future, representing values for the individual cells that
22 we've evaluated, the matrix, as well as fractures, and what
23 we show, then, if we focus on the bottom portion of the
24 graph, 2,160 days, we see that the matrix, the gas satura-
25 tion in the matrix has reached a value of approximately 12

1 percent gas saturation that is uniformly distributed in each
2 of the matrix blocks.

3 And in the fractures we see that gas seg-
4 regation has occurred, allowing gas to go to extremely high
5 saturations at the top of the reservoir and once again at
6 the very base of the reservoir in the B zone we have very
7 minimal gas saturations.

8 So we have had gas segregation occur in
9 the -- in the fracture system, whereas we've had the solu-
10 tion gas drive in the matrix system.

11 And we do have oil, then, at the base of
12 the reservoir in the lower portion of the fracture system.
13 It's unfortunately a very small volume because we only have
14 10 percent of our volume to begin with in the fractures, and
15 second, it's also very difficult to get out because of the
16 high gas saturation that's above it. It's very difficult to
17 push that oil out.

18 We have, then, also shown on Figure 85
19 the pressure values consistent with that -- that particular
20 valuation that we looked at, the 7200 barrels a day at dif-
21 ferent points in time. That is just simply presented for
22 documentation sake.

23 Figure 86 is the performance projection
24 that we have calculated based on a field depletion rate of
25 3,600 barrels of oil per day, rate versus time. In other

1 words, this is more or less our representation of the con-
2 tinuation of the field as it is today, no additional wells
3 and the allowable restriction is continued. We see that we
4 will be able to maintain on the average that productive rate
5 for another year or two and then once again because of loss
6 of pressure we will suffer a decline in production during
7 that period of time, and then we will go to a production de-
8 cline and we would reach the 250-barrel a day economic limit
9 for the field somewhere around the end of 1996.

10 So we might end up prolonging the life of
11 the field by another year by restricting the rate by that --
12 by the restricted allowable.

13 The gas saturation and the pressure
14 values at various points in time for that case are presented
15 to complete the documentation in Figures 87 and 88.

16 And then finally, in Figure 89, we have
17 our final case, which is a case assuming that we allow the
18 field to produce at a rate that really is in excess of the
19 capacity of the field to produce. It's a rate of 14,300
20 barrels of oil per day. We basically would have to have
21 more transmissibility out in the field than what we've got
22 in the model if that -- if that field is actually going to
23 make 14,300 barrels a day, at least assuming the imposition
24 of a 702-barrel a day top allowable on individual wells.

25 The production decline that we see, it

1 starts with a higher rate and declines off more rapidly, and
2 we would reach, then, the 250-barrel a day economic limit
3 sometime at the start of 1995.

4 Once again the recovery under all three
5 of these curves is essentially identical.

6 And then once again we completed the doc-
7 umentation for that case with the gas saturation and pres-
8 sure, pressure tables shown in Figures 90 and 91.

9 Q So what is your conclusion with respect
10 to the rate sensitivity of the Gavilan Mancos Pool?

11 A In our opinion there is no rate sensitiv-
12 ity of the Gavilan Mancos Pool within the range of rates
13 that we can reasonably expect from -- from the field as it
14 actually is capable of producing. The main reason from a
15 physical standpoint that this is true is that we are dealing
16 with most of the oil contained in the matrix and the matrix
17 is producing by a solution gas drive and it requires a high
18 pressure differential in order to get that flow out of the
19 matrix and into the fracture system, and so we just don't --
20 we just don't have the situation where rate sensitivity
21 would be an appropriate -- appropriate concept that we would
22 have to worry about.

23 Q This opinion of yours differs signifi-
24 cantly from that of Sun and therefore would you explain why,
25 and I'd like you to refer back to their Exhibit Eight.

1 A Yes, I will. Yes, our opinion is differ-
2 ent than Sun's opinion and there are really several reasons
3 for this, one of which is the fact that they are using a
4 single porosity model to describe the reservoir.

5 The second reason is that they are using
6 considerably different reservoir characteristics to describe
7 the reservoir.

8 We are using a dual porosity system,
9 which we have then taken reservoir characteristics and
10 matched performance with. So we would expect differences
11 for those reasons but one of the other major reasons that we
12 differ in their opinion is that we would not agree with the
13 rate at which they -- with the manner in which they have in-
14 dicated their rate sensitivity, and focusing specifically on
15 Figure 8, on the line that is right below the X axis, we see
16 that their base case rate at 600-to-1 represents withdrawals
17 from the field in the range of 4,680 barrels a day, and what
18 they have, is they have a model representing 640 acres with
19 3000 barrels per acre in their model. So they have about
20 1.9-million barrels of the total field oil production.

21 So now if we scale that up with 55-mil-
22 lion barrels of oil in the reservoir, we would say that the
23 rate at which they are representing when they plot on their
24 -- their graph a value of 4,680, what that corresponds to in
25 terms of the true field withdrawal rate proportional to the

1 oil in place is 25 times that value of 4000 barrels a day
2 for a value in excess of 100,000 barrels a day of withdraw-
3 als from the Gavilan Mancos Pool, which is certainly way be-
4 yond the ability of the reservoir to produce.

5 We have studied, we have looked at sever-
6 al single porosity systems before arriving at our dual poro-
7 sity system. We see the same behavior if you go to extreme-
8 ly high flow rates and even though you have a very high cap-
9 acity fracture system, if you go to extremely high flow
10 rates, you can cause rate sensitivity, but the kinds of flow
11 rates you have to go to are the equivalent of 100,000 bar-
12 rels per day out of the field.

13 The range of rates that we believe when
14 scaled up to actual field performance that are truly
15 representative of the field, really fall to the left of
16 what's shown on their graph.

17 Q I think you testified earlier that you
18 think at least at the present without removing the allowable
19 restrictions that the field could be capable of producing
20 7200 barrels of oil per day.

21 A That is our opinion. I would have to say
22 the information is a bit sketchy on which we base that
23 opinion because it's difficult to fully ascertain the true
24 productive capacities of some of the wells.

25 We've assumed that perhaps there would be

1 wells that would be capable of giving us more production
2 than that, but we would say that if the 702 allowable is
3 maintained, statewide allowable, then 7200 would be a
4 reasonable estimate.

5 I believe Mr. Roe indicated that the
6 voidage that could be taken from this reservoir actually
7 could be twice the voidage that it's currently taking and I
8 would offer that as perhaps a similar type opinion.

9 Q Okay. Mr. Hueni, have you studied the
10 benefits of utilizing a gas injection program with respect
11 to the Gavilan Mancos Pool, and in this connection I'd ask
12 you to refer to Exhibits or Figures 92 ad 93?

13 A Yes, we have. We have taken the model
14 that we used to match observed performance and then we have
15 assumed that the -- that one of the alternative methods of
16 depleting the reservoir would be to inject gas into the re-
17 servoir and in our first case, which we describe as a high
18 pressure gas injection case, we assume that injection begins
19 almost immediately and it maintains a pressure in the order
20 of 1250 psi.

21 The effect of the gas injection is bas-
22 ically that gas will move through the high capacity fracture
23 system and because we are maintaining the pressure the mat-
24 rix will basically no longer flow into the high capacity
25 fracture system because there will no longer be a gradient

1 between the -- between the matrix and the fracture system.

2 The result of this is that the gas will
3 flow very rapidly down the high capacity fracture system to
4 the offsetting wells. We will have early gas breakthrough,
5 and because we'll have to install some fixed amount of in-
6 jection capacity out there, as we get high gas breakthroughs
7 we either have to shut in wells or cut those wells back, and
8 as a result of that we will -- we will have to restrict oil
9 production, and that's what we show in the years 1988 and
10 '89, is severe restrictions in oil production because of
11 early gas breakthrough.

12 By the end of 1989 we've reached a pro-
13 ducing gas/oil ratio in the neighborhood of 16,000 standard
14 cubic feet per stock tank barrel and at that point in time
15 we elected to terminate the injection project and began
16 blowdown, so we were then able to open the wells up more or
17 less at capacity without any type of gas restriction and so
18 we then had, well, a jump in oil production followed by a
19 blowdown phase of production.

20 That was our high pressure gas injection
21 case. Once again we have the dashed line extending out to
22 100 barrels a day. It would actually be terminated some-
23 where in the vicinity of 250 barrels a day.

24 The next case is what we call a low pres-
25 sure gas injection case. What we attempt to do first is get

1 maximum contribution from the tight matrix or tight fracture
2 blocks and to do that we go ahead, return the field to its
3 statewide allowable spacing. We recognize that we are going
4 to have a rapid decline in pressure. We are going to have
5 some increase in GOR in individual wells and certainly field
6 GOR is going to go up a bit, and as a consequence the oil
7 production will then decline off in primary sense, out
8 through 1991, at which point in time we begin injection at a
9 very low reservoir pressure and what we try to do is push
10 out some of that oil that's remaining in the lower part of
11 the fracture system at that point and we do get a little bit
12 of additional recovery in that fashion.

13 Q Have you prepared an economic evaluation
14 of the various options with relation to the Gavilan Mancos
15 Pool?

16 A Yes, I have. Before I turn to that I
17 would like to turn to the final page of Section 4, which is
18 Page 4.9. It immediately precedes the blue -- the blue tab.

19 Q Okay.

20 A What we have summarized on Page 4.9 are
21 the ultimate recoveries derived from each of the four --
22 well, from three -- or from four of the five cases that
23 we've just looked at; the ultimate recoveries derived from
24 the 3600 barrel primary depletion case, which is 9.4-million
25 barrels, or 17 percent of the oil in place; the 7200 barrel

1 a day depletion case without -- primary depletion case,
2 which is almost identical, once again 17 percent of
3 the oil in place.

4 The 3600 barrel oil per day case where we
5 implemented high pressure injection, we suffered a loss in
6 productive capacity but eventually we got back and recovered
7 about 9.6-million barrels of the oil in place, which repre-
8 sents 17.4 percent.

9 And then the 7200 barrel a day depletion
10 case down to a low pressure followed by low pressure injec-
11 tion, where we recovered an oil in place of 11.1-million
12 barrels, representing 20 percent of the oil in place in the
13 Gavilan Mancos Pool.

14 That would conclude my comments as to the
15 recoveries.

16 Q Okay.

17 MR. LEMAY: Is this a good time
18 to break, Mr. Lopez? Are you through with these exhibits?

19 MR. LOPEZ: This is a fine time
20 to break.

21 MR. LEMAY: The commissioner
22 has a meeting, and we'd like to have him present and we'd
23 like to have him present when we go on to the next set of
24 exhibits.

25 So we'll break for -- let's

1 take a 20 minute break and be back at five minutes after
2 ten.

3

4 (Thereupon a 20 minute recess was taken.)

5

6 MR. LEMAY: Mr. Lopez?

7 MR. LOPEZ: Thank you, Mr.
8 Chairman.

9 Q Mr. Hueni, have you prepared an economic
10 evaluation of the various options for depletion of the Gavi-
11 lan Mancos Pool, and if so, would you explain what you did
12 and what conclusions you reached?

13 A Yes. We have prepared an economic evalu-
14 ation for the -- for four different depletion cases for the
15 Gavilan Mancos Pool. These are described in Section 5, tit-
16 led Economics.

17 As we, well, the input to each of these
18 cases we might review as indicated in the text. On page one
19 we considered four alternative cases. They're labeled 3600
20 barrel a day field rate, 7200 barrel a day field rate. Both
21 of these are primary depletion.

22 We evaluated high pressure gas injection
23 economics and low pressure gas injection economics.

24 In order to get the production flow
25 streams we took the output from our simulation models and we

1 scaled those up to total field scale and we then allowed the
2 flow, the oil flow streams to be terminated at the economic
3 limit of production from the field.

4 We used in our economic evaluation a
5 cost, some cost numbers and prices that were furnished to us
6 by Mallon indicating a well operating cost of approximately
7 \$2500 per well per month.

8 We used a total of 55 producing field
9 wells. Injection wells, when we had those cases, had a
10 slightly lower operating cost of \$1500 per well month.

11 State revenue was evaluated -- well,
12 state revenue included 4.6 percent ad valorem tax, a sever-
13 ance tax of 3.75 percent of oil sales, and 16 cents per MCF
14 of gas sales, and we included the school and conservation
15 taxes in the ad valorem tax calculation.

16 Oil prices we evaluated based on \$16.00
17 per barrel. We used a constant price scenario because I
18 think like everybody else, we really don't know what's going
19 to happen to prices.

20 This -- we also used a price of \$1.65 per
21 MCF.

22 In terms of the interest evaluated, we
23 evaluated 100 percent of the field interest assuming a net
24 revenue interest of 82.5 percent.

25 Investment requirements for the high

1 pressure gas injection were about \$3.2-million; for the low
2 pressure cased, about \$2.1-million.

3 We have the individual computer runs
4 which were analyzed using a publicly available economics
5 program. It's called the Garrett program, Garrett Grade II
6 program. Those individual economic evaluations are included
7 in Figures 94, 95, 96, and 97 for the four cases. Those in-
8 dividual evaluations show producing rate, both oil and gas.
9 They show the interest factors evaluated, the prices, the
10 revenue streams, the expense streams, the state -- well, the
11 severance tax and ad valorem flow streams, resulting then
12 finally in a net cash flow for each individual case.

13 Rather than looking at each of the indi-
14 vidual figures, if we would refer to 5.3, Page 5.3 of the
15 text, we would see then in summary form the results of our
16 analysis.

17 We have the remaining oil production for
18 the three cases and the remaining gas production, resulting
19 in an oil -- when added to what we estimate the cumulative
20 recovery to be as of about July 1st, yields the ultimate re-
21 coveries we show under each individual case.

22 We have then the severance tax and the ad
23 valorem tax resulting from each -- each evaluation.

24 We show the operating cost and the re-
25 quired investment resulting in the bottom of that table in

1 the cumulative cash flow and then reflecting the fact that
2 money has time value, a discounted cash flow value dis-
3 counted at 10 percent.

4 Reviewing that final number we note that
5 at current field rates we expect to derive about \$60.5-mil-
6 lion in net present value from the field. If we return to
7 the statewide field allowable, which is our recommendation,
8 that that increases a bit to \$64-million. If we unitize and
9 inject in a high pressure gas situation, we will end up di-
10 minishing our cash flow down to about \$49-million.

11 And finally, going to the low pressure
12 case, low pressure injection case, we arrive at a \$68.2-mil-
13 lion discounted cash flow value.

14 Q Have you studied the proposal that future
15 development should be based on 640-acre spacing rather than
16 320-acre spacing?

17 A Yes, we have studied that proposal.

18 Q Would you please comment, and in that
19 connection I'd ask you to refer to Figures 98 through 100?

20 A In order to determine how the proposal
21 relating to future development on 640 acres compared to 320
22 acres affects correlative rights, we used our computer
23 model. We set it up such that we had two adjoining sec-
24 tions, each of which comprise 640 acres, each of which are
25 given the exact same properties, are given the same oil in

1 place, are given the same transmissibility.

2 On one 640 acres we drilled two wells
3 spaced on 320's.

4 On the second 640-acre tract we drill a
5 single well.

6 That Figure 98 is a schematic of the sit-
7 uation that we're modeling.

8 We've evaluated two cases. In the first
9 case we have assumed that we drill wells that are -- have
10 high transmissibility. They have high productivity and as a
11 consequence, they will be subject to either the statewide
12 allowable or whatever allowable is imposed on the field pro-
13 duction.

14 We show in Figure 99 for this first case
15 average oil flow rate versus time in days. We have two
16 lines on this. One of -- the line that's defined by the
17 square blocks represents the two wells, each of which were
18 drilled on 320 acres and the third line represents a single
19 well drilled on 640's and that's represented by the tri-
20 angles.

21 And we see that basically the two lines
22 are essentially identical through a good portion of the
23 rate/time curve and they finally separate just a little bit
24 after about 2,300 days.

25 We show in the tabulation on that graph

1 as a function of time the recovery from two wells versus the
2 recovery from one well and the cumulative oil recovery ex-
3 pressed in thousands of barrels is designated by N_p , the N_p
4 column, and so we have two columns that are designated in
5 this fashion.

6 So after 10.5 years if we are able to
7 drill wells that are affected by the top allowable, then we
8 will recover 630,000 barrels compared to 611,000 barrels
9 from the single well. So in this case where we have high
10 capacity, top allowable type wells, we don't see a signifi-
11 cant violation of correlative rights between those two
12 wells.

13 On the other hand, if we structure a
14 case, and there are certainly many different cases that we
15 could envision, but in this particular case what we did is
16 we reduced the oil in place in the given area and we reduced
17 its transmissibility, and we ran the model again such that
18 both wells, that the wells -- that all three wells in the
19 model are limited capacity wells, then what we found was
20 that after 10.5 years for the two wells that were -- that
21 were drilled on the -- each on -- well, that were drilled on
22 the 640-acre section, basically, with 320-acre spacing, we
23 found, and this is shown on Figure 100, if I didn't say that
24 before, we found under the oil production column that those
25 two wells had recovered 248,000 barrels and one well, the

1 one well, the single well on 640 acres, had recovered
2 186,000 barrels, and I think what this exhibit is trying to
3 illustrate is that when we have capacity type wells it is
4 certainly advantageous to an operator to have more wells on
5 a given 640 in a competitive sense than it is -- than it is
6 to have the neighboring section developed on 640 -- on one
7 well per 640.

8 So from this we would conclude that to
9 some extent correlative rights will be violated if one well
10 -- if a single well is drilled on 640's versus development
11 on 320-acre spacing.

12 MR. LYON: Mr. Hueni, where is
13 time zero on these two --

14 A Time zero, we started our model run from,
15 I believe, the initial conditions, just the initial condi-
16 tions in the reservoir.

17 MR. LYON: Thank you.

18 A One of the reasons we did that is that
19 there, well, there are many -- we just aren't so sure how
20 many top allowable wells we would be able to drill out in
21 that field at this point in time.

22 Q And referring to your report, Exhibit
23 Ten, did you provide summaries with the back-up figures un-
24 der each tab and -- and also attach certain appendices
25 thereto, and if so would you explain what's contained in

1 these?

2
3 A To document our report we have attempted
4 to explain verbally the work that we've completed in our en-
5 gineering study. We've attempted to include as many exhi-
6 bits as possible to explain the conclusions we've arrived at
7 included in -- we've attached in our various appendices.

8 Appendix A includes the tabulation of
9 production information that we used in reviewing field per-
10 formance.

11 Appendix B consists of the Terra Tek
12 Laboratory investigations that we discussed yesterday.

13 Appendix C presents the fluid property
14 information obtained from the Loddy No. 1 Well, which we
15 subsequently adjusted in doing our engineering study.

16 And finally, Appendix D contains the data
17 input that we used in our simulation model and the output
18 from our final history match run where we feel that we dup-
19 licated actual field performance.

20 Q Would you now summarize your testimony
21 and provide us with your recommendations?

22 A Okay. If I could ask you to turn to the
23 summary and recommendations.

24 We have summarized in writing our -- the
25 summary conclusions that we reached and the recommendations
that result from those conclusions.

1 We've already discussed that we believe
2 that the Gavilan Mancos Pool is primarily an A and B inter-
3 val producing pool. We believe that it is only weakly con-
4 nected to the east area of the West Puerto Chiquito gas in-
5 jection area and we believe that that is produced primarily
6 from the Niobrara C.

7 We have shown to our satisfaction the
8 primary depletion of the Gavilan Mancos Pool, that it's not
9 going to affect the gas injection operations in the West
10 Puerto Chiquito Pool.

11 We believe that the western tier of sec-
12 tions in the West Puerto Chiquito Pool appear to be in good
13 pressure communication with the Gavilan Mancos Pool and
14 therefore should be included in the Gavilan Mancos Pool pro-
15 per.

16 We believe that the rock characteristics
17 of the Gavilan Mancos Pool are those of a dual porosity
18 system. They are -- that is what's been described
19 previously in previous descriptions of the reservoir. It is
20 consistent with reservoir performance and it's consistent
21 with all of the testing information that we have available,
22 and we estimate that only about 10 percent of the oil volume
23 actually resides in the high capacity fracture system with
24 the low capacity fracture system containing the remaining 90
25 percent.

1 We have come to some conclusions regar-
2 ding reservoir characteristics that are based on laboratory
3 tests and which are once again consistet with actual obser-
4 ved field performance.

5 We believe that within the fracture sys-
6 tem we are seeing gas segregation and within the matrix sys-
7 tem we are seeing basically solution gas drive or pressure
8 depletion.

9 We are depleting a volume of oil that's
10 estimated to be about 55-million stock tank barrels. We've
11 recovered about 6 percent of that in place volume already.
12 We have suffered, obviously, a pressure decline and we be-
13 lieve that is to be expected.

14 We see the optimum course for operation
15 of the field, well, we see that under primary recovery that
16 we will recover about 17 percent of the oil in place through
17 just primary means. We do not see this as being rate sensi-
18 tive within the range of rates that is really possible to
19 achieve in the Gavilan Mancos Field.

20 We would not recommend high pressure gas
21 injection for the simple reason that we would fear that
22 channeling would occur, very rapid channeling. Wells would
23 go to high gas/oil ratios in a very short period of time and
24 we would then end up with a detrimental effect on field pos-
25 sibility.

1 We see there is some potential for low
2 pressure gas injection operations. We do not believe that
3 those are going to be needed for another four to five years.
4 Basically we need to go primarily through the pressure de-
5 pletion stage of the Gavilan Mancos Pool.

6 We see correlative rights problems if
7 future drilling is limited to 640-acre spacing since wells
8 are not able to -- capacity wells are not able to compete
9 equally, two wells on 640 versus one well on 640.

10 We would see a potential correlative
11 rights violation in that case.

12 These are our summary conclusions. The
13 recommendations that follow from that it would seem to us
14 would be that the Gavilan Mancos Pool would be extended to
15 include the western tier, and it shows on our recommendation
16 "tiers" but it really should just read western tier of sec-
17 tions, in the western -- in the West Puerto Chiquito Pool.

18 We would recommend continue primary dep-
19 letion of the Gavilan Mancos Pool. Specifically we would
20 not recommend any kind of unitization and gas injection pro-
21 gram.

22 We would recommend returning to -- the
23 allowable rates to the 320-acre statewide spacing allowable
24 of 702 barrels a day. Any type of restricted rated below
25 that certainly are going to reduce the profitability of the

1 field and without a doubt also redistribute remanining re-
2 serves on which there is no basis for that redistribution.

3 And finally, we see that the well spacing
4 should be maintained at 320 acres in order to protect the
5 correlative rights of all owners in the Gavilan Pool.

6 Q Was Exhibit Ten prepared by you and under
7 your supervision?

8 A Yes, it was.

9 MR. LOPEZ: Mr. Chairman, at
10 this time I would like to offer Exhibit Ten into evidence.

11 MR. LEMAY: The exhibits will
12 be admitted into evidence without objection.

13 MR. LOPEZ: This concludes our
14 direct testimony for Mr. Hueni.

15 MR. LEMAY: Thank you, Mr.
16 Lopez.

17 Mr. Kellahin.

18 MR. KELLAHIN: Thank you, Mr.
19 Chairman.

20

21 CROSS EXAMINATION

22 BY MR. KELLAHIN:

23 Q Mr. Hueni, I don't even pretend to under-
24 stand what you reservoir engineers do with reservoir simula-
25 tion. Mr. Faulhaber yesterday characterized one of my ques-

1 tions as simple minded. I'm sure some of mine now are going
2 to be simple minded.

3 If you'll help me, though, in understand-
4 ing what you've done by giving me a short, concise answer
5 and when you can give me a yes or no answer so that in my
6 own particular way I can understand what you've done.

7 A Okay.

8 Q My style is certainly different from Mr.
9 Lopez' style. I would like a simple answer that I could un-
10 derstand, is that all right?

11 A If it's possible I will give you a simple
12 answer.

13 Q I'll do my best to keep it simple.

14 A Okay.

15 Q Did you review your August testimony
16 before the Commission in preparing for your testimony this
17 week?

18 A No, it did not.

19 Q You quoted a portion of your testimony
20 from the August hearing yesterday when you discussed that in
21 terms of the thickness of the reservoir that you had used in
22 certain of your calculations and assumptions. Do you
23 remember that testimony?

24 A Yes, I do.

25 Q In the August hearing, Mr. Hueni, was it
your testimony that based upon your studies up to that

1 point, that in the Gavilan, the Gavilan Mancos area, the
2 solution gas/oil ratio was in the area of about 646 cubic
3 feet of gas to one barrel of oil?

4 A I believe that what you're asking is was
5 the initial solution gas/oil ratio in that range. Is that
6 correct?

7 Q Yes, sir.

8 A I believe in the August hearing that that
9 is what we were (unclear).

10 Q Am I correct in remembering that in the
11 August hearing you testified that the bubble point pressure
12 in the Gavilan Mancos of 1,770 pounds psia, I guess, is that
13 right --

14 A That's correct.

15 Q All right, was the number that you felt
16 gave you the best performance match when you testified then.

17 A Yes, that's correct.

18 Q Did I recall that correctly?

19 A Yes, you did.

20 Q You have testified, I believe, yesterday
21 about the bubble point pressure that you find in the Gavilan
22 Mancos based upon your studies now and what is that number
23 now?

24 A The number that believe is most
25 consistent with reservoir performance is 1,660 psia.

1 Q In August I believe that you testified
2 that in your opinion the reservoir is operating under a
3 secondary gas cap drive with gas migrating only in the ver-
4 tical direction. Was that not your testimony?

5 A Yes, that's correct.

6 Q And now you no longer hold that opinion.

7 A No, that's not correct. I think we need
8 to explain at this point.

9 Q I'll give you a chance in a minute to ex-
10 plain that. Let me go through --

11 MR. LOPEZ: Mr. Chairman, I
12 think while he's asking the question the witness has every
13 right to explain that.

14 MR. LEMAY: I think he does,
15 too. Mr. Kellahin, he can address that and you can redirect
16 the question to get the point you want to make. The yes and
17 no answers are difficult when you're -- there's a reason for
18 it and I think we've always allowed some explanation.

19 MR. KELLAHIN: My upbringing
20 tells me the District Court rules are different, Mr. Chair-
21 man, but I'll abide by your decision.

22 MR. LEMAY: We are very casual
23 here, Mr. Kellahin, and try and get the answers from the
24 witnesses without the strictness of the District Court.

25 Q Let me start over so that you and I are

1 on the same wave length.

2 Based upon your studies in August, your
3 testimony was that your opinion about the reservoir is that
4 this was a reservoir that the drive mechanism, the primary
5 drive mechanism, was a result of secondary gas expansion.
6 Did I characterize that correctly?

7 A Not really.

8 Q All right. In August your material bal-
9 ance projections based upon a solution gas drive modeling
10 calculated a higher gas/oil ratio than the actual gas/oil
11 ratio for field performance, is that not correct?

12 A I would like to explain that. Would that
13 be (unclear)?

14 Q Yes.

15 A The work that we did in the August hear-
16 ing was based on -- was certainly not based on a simulation
17 study of the field. It was also not based on certain detail
18 studies that we have completed since that time.

19 The models that we used in the August
20 hearing indicated to us simply that based on the observed
21 field gas/oil ratio behavior that that field gas/oil ratio
22 behavior was not indicative of a reservoir performing as a
23 solution gas/drive reservoir because the actual gas/oil
24 ratios that we observed in the field were not the sharp,
25 sharply increasing gas/oil ratios that we would expect from

1 a solution gas drive reservoir.

2 Q Having made that explanation, I believe
3 the answer to my question is yes?

4 A No, I don't think that's true.

5 Q We'll try again. The actual gas/oil
6 ratios for field performance were lower than the gas/oil
7 ratios that you predicted using your material balance
8 calculations of the reservoir.

9 A They were lower than what would be
10 predicted were the reservoir operating as a solution gas
11 drive reservoir and that is one of the reasons we indicated
12 that the reservoir was not performing as a solution gas
13 drive reservoir.

14 Q In your August testimony you testified
15 that the interference testing that Mr. Greer conducted
16 provides information only about the region between the wells
17 on the interference test. Is that a correct statment?

18 A That's principally correct.

19 Q And that is still your opinion now?

20 A Our opinion now is that probably with the
21 dual porosity system that the conditions that are necessary
22 for proper interpretation of an interference test were not
23 met so that any results coming therefrom are probably not
24 valid.

25 Q Instead of the interference test data,

1 you have put greater emphasis on the pressure build-up data?

2 A We have put dual emphasis on the pressure
3 build-up data together with the actual flow capacity data.

4 Q The results from the different data are
5 dissimilar, are they not?

6 A They are certainly not as dissimilar as
7 the results comparing those two values to multiple Darcy
8 feet permeability.

9 Q In making your calculation in August of
10 the permeability, the average permeability in the reservoir
11 for the Gavilan Mancos, you used a thickness of 600 feet in
12 making your calculation, did you not?

13 A Yes. As we explained, we used 600 feet
14 in order to arrive at a minimum permeability value so that
15 when we calculated the rate of gas segregation we would have
16 perhaps the most pessimistic case so that we wouldn't over-
17 state the rate at which the field could be produced and pro-
18 duced without (unclear).

19 Q In August you testified that in your
20 opinion the statewide gas/oil ratio of 2000-to-1 should be
21 reduced to the solution gas/oil ratio in the reservoir,
22 which was approximately 646 cubic feet of gas to one barrel
23 of oil. Was that not your testimony?

24 A I believe that -- that was one of the re-
25 commendations, yes.

1 Q And in your August testimony you con-
2 cluded that at least the reservoir was rate sensitive inso-
3 far as controlling or limiting the gas withdrawals from the
4 reservoir to that approximate solution gas/oil ratio.

5 A I'm sorry, would you repeat that ques-
6 tion?

7 Q Yes, sir. Today you have told us the
8 reservoir is not rate sensitive at the rates that you have
9 modeled. My question is that in August under your hypothe-
10 sis then of the reservoir the only justification for the --
11 the primary justification for reducing the gas/oil ratio
12 down to the solution gas/oil ratio is because the reservoir
13 is rate sensitive.

14 A We are still -- if you were to produce
15 that reservoir as we have it today at extremely high rates,
16 it would demonstrate rate sensitivity as well, but one of
17 the points that we were making, and we've confirmed that
18 with model studies, but one of the points that we were mak-
19 ing within the range of rates that are actually achievable
20 within the Gavilan Mancos Pool, that is not going to be the
21 case.

22 Q I'd like to discuss with you a moment the
23 structural dip in the Gavilan Mancos. In August, am I cor-
24 rect in understanding that it was your opinion that due to
25 the absence of significant structural dip gas segregates to

1 the top of the formation but will not move laterally across
2 the field. Was that one of your conclusions in August?

3 A That was one of our conclusions, yes.

4 Q In addition did you not also conclude in
5 August that the pressure production data indicates a reason-
6 able value of original oil in place of 100-million barrels?

7 A We indicated that using a conventional
8 rock compressibility value that that was -- that was true.
9 We indicated with potentially a higher rock compressibility
10 value that number would be reduced significantly.

11 Q And as conclusion 11 for the August hear-
12 ing, did you not conclude that comparison of predicted solu-
13 tion gas drive performance to actual data indicates the re-
14 servoir is not a solution gas drive reservoir but is behav-
15 ing as a gas cap expansion reservoir?

16 A I suspect gas segregation would have been
17 a better word for it but I don't dispute the gas cap expan-
18 sion.

19 Q This morning when you were talking about
20 the computer simulation of the reservoirs, in describing Ex-
21 hibit 77, in which you talked about the simulation of the
22 reservoir and the match to field performance, in response to
23 one of Mr. Lopez' questions, you began your comment by say-
24 ing, "There is no way --" and then you paused and then you
25 said, "we can" and then you paused again and then you said,

1 "Well, there is" and then you said, "We got a good history
2 match." What were you trying to say, Mr. Hueni?

3 A I apologize for the confusion I've
4 created there.

5 MR. LEMAY: Excuse me, what ex-
6 hibit are we referring to?

7 MR. KELLAHIN: 77. Figure 77,
8 Mr. Chairman. Perhaps not specifically that figure but it
9 was comments directed to the history match based upon field
10 performance.

11 A Yes. I appreciate your question. I hes-
12 itated to say what I was about to say for fear of confusing
13 the entire group here, but I'll --

14 Q Perhaps you'll go ahead now. It won't
15 matter.

16 A Okay, then that's no problem. What we
17 are saying is that if we can match reservoir withdrawals as
18 we feel that we have matched quite closely based on the
19 gas/oil ratio trend, the computed versus the actual, then we
20 are taking the correct amount of voidage out of the reser-
21 voir.

22 The oil in place number is a fixed value,
23 should be a fixed value and therefore by material balance
24 principles, which are certainly honored within a computer
25 simulation model, as well, the pressure should be consistent

1 throughout the entire -- in other words, if you can match
2 the voidage exactly, or reasonably close, then you would expect
3 the pressure match should be reasonably close throughout.
4 out.

5 The point that I was about to make on
6 Figure 77 was that the voidage match is close throughout and
7 that the pressure match is close except for the last two
8 points, and by material balance principles, that is not
9 possible; therefore we conclude most likely that the pressure
10 information is in error.

11 Now did that help? I'm sorry.

12 Q Yes, sir, it sure did.

13 Do I now finally have a complete book of
14 all your conclusions, your study, your reservoir analysis
15 for this reservoir, or am I missing yet something from this
16 book?

17 A I don't know.

18 Q I can read this book the way it is
19 presented in evidence and have a complete understanding of
20 your hypothesis and how you've modeled and simulated the
21 reservoir?

22 A The book was intended not strictly for
23 the hearing but it was intended to report to all the people
24 that commissioned the study the approach that we used and
25 the results that we obtained.

1 Q Without leading me through the book, Mr.
2 Hueni, can I determine from examination of the book that we
3 have information by which we can understand and know all the
4 reservoir parameters and assumptions that you have put into
5 the model?

6 A I believe that you have the information
7 on the case that we -- that we ended up with for our history
8 match case.

9 We included as Appendix B the simulation
10 input for that particular run and then the output resulting
11 therefrom.

12 Q In reference to Appendix D, do those par-
13 ameters and assumptions represent the data after the match
14 with reservoir performance?

15 A They represent the data that was used in
16 obtaining the match.

17 Q Do we have all the data that was used af-
18 ter the match so that we know what parameters you have ad-
19 justed in order to get the match?

20 A I'm afraid your sequence of questions is
21 out of order. We don't adjust the parameters after the
22 match. We adjust the parameters before the match and
23 that's in fact how we obtained the match, and you have, by
24 adding them to your input, you will have values then for the
25 -- for all, for the descriptive parameters that were used in

1 the model itself to obtain the match.

2 Q That is the point I want to focus on, is
3 the parameters.

4 What was the matrix permeability that you
5 used?

6 A The matrix permeability was assigned at a
7 ratio to the total permeability as being 0.001th of the --
8 of the fracture permeability, of the high capacity fracture
9 system permeability.

10 Q Was that transmissibility number held
11 constant -- held constant, or did you vary it?

12 A We have made several runs with transmis-
13 sibilities ranging from 30 millidarcy feet up to 10,000
14 millidarcy feet.

15 Q I gave you the wrong question. It's for
16 that particular run --

17 A Oh, yes, it's --

18 Q -- to simulate the performance you held
19 that value for permeability constant.

20 A Permeability is normally invariable. We
21 did attempt, we did make some runs with what we call pres-
22 sure sensitive permeability and we found no substantial im-
23 pact.

24 Q But the one we have here to understand is
25 where you held the permeability constant for that purpose.

1 A Yes, that's correct.

2 Q When we look at the fracture permeabil-
3 ity, what number was used?

4 A We have, once again, in the final run we
5 are using a value of 400 millidarcy feet. We have analyzed
6 several runs ranging from 30 millidarcy feet to 10,000 mil-
7 lidarcy feet.

8 Q When we look at the matrix, what was the
9 matrix porosity value used?

10 A The matrix porosity value, let me explain
11 how we did this, is that we -- we assigned -- we calculated
12 something that we felt was a reasonable value of oil in
13 place in a 640-acre area, and I think we were using a value
14 of about 1.5-million barrels.

15 We recognize that in individual tracts,
16 that the oil in place may be substantially higher or sub-
17 stantially lower; in fact, more likely substantially lower
18 than what we show here.

19 By knowing the number of the volume in a
20 640-acre area, we can determine the porosity thickness that
21 is appropriate to use in that area.

22 Now, at that point we combine those two
23 values. If we use a thickness value of 100 feet, we use
24 half the porosity that we would use if we used a thickness
25 value of 50 feet. So you cannot separate in our model, even

1 though I can tell you what the porosity in the model is, you
2 cannot divorce the porosity value that's in the model from
3 the thickness value that's used in the model, but I can tell
4 you, in fact it is in the input data, what the porosity
5 value is.

6 Q Let me go back to the fracture permeabil-
7 ity value that was used. You gave me 400 millidarcies, I
8 believe. That's a Kh value.

9 A 400 millidarcy feet, that's correct.

10 Q Yes, and what did you use for K?

11 A We have the same problem here, that we
12 are not able to divorce the -- we cannot "de-couple" the
13 transmissibility obtained from a pressure build-up test or
14 from a flow capacity analysis without knowing accurately the
15 thickness. So if -- for the values of thickness that we
16 use, we could calculate a permeability. On the other hand,
17 if we used smaller values of thickness, we would have had a
18 higher permeability, but I can tell you -- well, once again,
19 the permeability number is contained in the input.

20 Q It's in the data here and if I --

21 A Yes, it is.

22 Q -- want to find out K I can look in the
23 book and find it.

24 A Right. I would assume that one of your
25 experts could find that out.

1 Q Let's -- let's have you do that for me.

2 A Okay. You turn to Appendix D. If you
3 would turn to Appendix D, to -- the first sheet is labeled
4 Input Data for Final History Match Run.

5 Q Okay.

6 A Okay. Now you need to know what the
7 thickness is first that we've used in each of our cells.
8 The thickness values are shown just about in the middle of
9 the page. There are some hyphens and we show dZ. Okay, the
10 dZ values, then, 32.5 represents 32.5 feet. That is for
11 Layer 1. The same value applied for Layer 2. The 42.5 feet
12 applied to Layer 3 and 4, and 120 feet applied to Layer 5,
13 which Layer 5 is representing the C Zone.

14 The permeability that we used, once
15 again, has to viewed in conjunction with the thickness value
16 and the permeability value that we used as shown there for
17 the fracture system was 2.53 millidarcies.

18 So what we -- what we have to do is we
19 have to sum up the H values, multiply them by 2.5 to arrive
20 at the transmissibility that was again put into the model.

21 Now, also on that sheet you would see the
22 porosity values shown further down. The porosity values for
23 the -- let's see, the porosity values for the matrix are .26
24 percent, or no, I'm -- yeah, .26 percent .00255, and then
25 that is -- I take that back. That .0255 represents the

1 total porosity which is then multiplied later on by .9 to
2 represent the matrix and then multiplied by .1 to represent
3 the fracture system porosity.

4 Q Thank you very much. In understanding
5 the information that was inputted into the model so we can
6 simulate the reservoir, let me next ask you what initial
7 saturations for oil, gas, and water were used?

8 A We, in our model, used an oil/gas model.
9 The water phase was not included to reduce the computational
10 time and expense inasmuch as the water phase we would con-
11 sider to be basically immobile.

12 Q When we talked about the Sun computer
13 model on Tuesday, we talked about dip. Did you apply any
14 dip or structure to your model?

15 A The final match runs are on zero dip. We
16 have several runs we can show or are prepared to show that
17 show dips up to one degree with no variation in our conclu-
18 sions.

19 Q I was interested in what the final match
20 was.

21 A The final match was based on zero degree
22 dip.

23 Q What matrix block size did you use, Mr.
24 Hueni?

25 A Matrix block size is not specifically --

1 is not specifically described in the model (unclear.)

2 Q You would have to assume a number, then,
3 if it's not specifically described. What number did you as-
4 sume?

5 A You can't -- no, that's -- that is not
6 how the dual porosity works.

7 You input characteristics for the model
8 that -- that -- well --

9 Q All right, if you don't do it, then what
10 is the matrix-fracture exchange transmissibility?

11 A Okay. We've got values in the model --
12 let's see, let's see if I can explain this.

13 I'm going to read to you so that you'll
14 --

15 Q I need all the help I can get.

16 A -- have it directly out of the model as
17 to how they use this.

18 The matrix-fracture coupling transmis-
19 sibility term which exists between each cell of the matrix
20 grid and the corresponding cell in the fracture grid are
21 proportional to the cell block volume, being of the form
22 transmissibility, TR is equal to a Darcy constant, which I
23 don't have in front of me right now what that value is,
24 times permeability of the matrix blocks, which may or may
25 not be directional, times the volume of the cell block,

1 which is not the pore volume having no porosity factor, and
2 sigma is a factor of dimensionality. The value of sigma is
3 shown in the computer output as point -- well, it's shown on
4 the computer input data sheet as being 0004.

5 Now once again, you need to be careful to
6 couple all of the values that we are using for sigma for
7 proportionality constants and things such as that, together
8 with the ratio of permeability, matrix permeability to frac-
9 ture permeability, and it's certainly not a -- it's not a
10 simple matter. I'm just saying that when we have a value of
11 sigma it has to be looked at in relationship to values that
12 we have of the relationship of matrix to fracture permeabil-
13 ity, as well.

14 Q What was the pore volume in the A matrix
15 block?

16 A In the A matrix block?

17 Q In a --

18 A Or in one matrix block. I don't have that
19 number in front of me. Certainly your experts can calculate
20 that based on the dimensions of the cells that we show on
21 the input data sheet, the porosity, and the fluid proper-
22 ties, all the information is there.

23 Q How many phases are in this model, Mr.
24 Hueni?

25 A There are two phases, oil and gas.

1 Q In the two-phase model that you've used,
2 what gas/oil capillary pressure data did you use for the
3 matrix?

4 A We did not have any gas/oil capillary
5 pressure test information to use.

6 Q You didn't have any data. Did you make
7 any assumptions or use any number?

8 A No. I don't believe that there's a great
9 deal of guidance on gas/oil capillary pressure curves and
10 low permeability matrix.

11 I would also, one of the reasons that I'd
12 point out, also, that we didn't do that, if you would like
13 me to, is simply that what we consider to be the matrix com-
14 ponent is not a simple intergranular matrix such as we nor-
15 mally deal with.

16 We envision it as consisting of a low ca-
17 pacity fracture system. We consider it to also include mic-
18 rofractures. We consider it also to include intergranular
19 porosity in the classical sense, and we do not particularly
20 feel that we have a single system for which we would be wil-
21 ling to -- to use (not clear).

22 Q In making these judgements as an engineer
23 and putting various parameters in the model then for -- for
24 that particular value or number you would assume zero, I
25 guess?

1 A Well, we assume that there is no capil-
2 lary pressure forces.

3 Q Okay. Describe for me for a point of in-
4 formation, Mr. Hueni, how the program calculates the flow to
5 the fracture.

6 Perhaps you could start off by simply --
7 let me help you a little bit.

8 What -- what type of method did you use,
9 psuedo steady state, unsteady state? That's the kind of
10 area I'm trying ot understand.

11 A The program is fully implicit in its ana-
12 lysis. It basically reflects, as I understand it, and I
13 have to admit I have not looked at the code; I don't have
14 access to the code of this model and it's a commercially
15 available model. I would believe that it would represent a
16 transient condition in the matrix inasmuch as we take a var-
17 iety of different time steps.

18 Q In dealing with this model I would assume
19 that it has to be one or the other. It either has to assume
20 or use a pseudo steady state or it's an unsteady state. Are
21 there any other choices for this model?

22 A I would be hard pressed to say one way or
23 the other. I'm not sure. I would guess -- no, I'm not
24 going to guess because I don't know how the model is coded
25 internally.

1 I would be happy to provide the documen-
2 tation, though, for the dual porosity calculations in the
3 model.

4 Q That would be very helpful and I would
5 appreciate that. Do you have that available with you here
6 in Santa Fe?

7 A I think I do. I think I do.

8 Q Maybe at the next break you could share
9 that with us.

10 A Yes.

11 Q Let's go back to the history match for a
12 moment.

13 You've talked about, and I think Mr.
14 Lopez characterized for you the degree to which the
15 reservoir simulation matched field performance was
16 excellent.

17 A I characterized it as excellent.

18 Q Is this match unique?

19 A That is not a yes or no answer.

20 Q Well, let's start with the finding
21 unique. How was -- that's a word of art, I think, with you
22 reservoir simulators. What does that mean?

23 A A match is done to a -- any match is not
24 going to completely duplicate performance, so it's all
25 degrees to which you duplicate performance.

1 Now this is an excellent match inasmuch
2 as it does duplicate the actual performance and it is unique
3 in the sense that we have run approximately 100 runs and did
4 not come anywhere close to duplicating performance without
5 -- with other systems, or we didn't come nearly as close.

6 Now if you ask are there other possible
7 combinations, I think any engineer would have to admit that
8 there are conceivably other possible combinations, but none
9 of which appear to us to be reasonable and consistent with
10 the reservoir characterization that we have, and that's im-
11 portant.

12 The ultimate -- perhaps one of the great-
13 est strengths, I think, to our report is the fact that it is
14 consistent.

15 Q You've anticipated my next question and
16 I'll simply paraphrase what I think was your answer. Then
17 this is not the only set of assumed and calculated reservoir
18 parameters into the model by which you can history match the
19 reservoir.

20 A That's right, and that's why we've pre-
21 sented all the parameters in our report, so that you would
22 know exactly what we used.

23 Q Were there any constraining rates used in
24 your history match?

25 A Yes. We attempted to keep our -- in in-

1 individual runs we attempted -- well, we did keep the cross
2 sectional model output at a particular value for at least as
3 long as it would maintain that value.

4 For example, we are running at -- we have
5 a model that contains 1.5-million barrels of oil in that
6 model, and that represents -- that represents slightly under
7 3 percent of the 55-million barrels in place.

8 So what we do is we take 3 percent times
9 the field rate, which is, let's say, at a particular point
10 in time maybe around 3600 barrels a day, that gives us a 100
11 barrel a day rate.

12 So in this particular case we would run
13 our model on a 100 barrel a day rate because we felt that
14 was the appropriate scale down version from the actual
15 field.

16 That, incidentally, is one --

17 Q Excuse me, let me clarify something. Did
18 you hold thatd -- that rate constant?

19 A We held the rate constant for as long as
20 it would be constant under the Kh values that we had in
21 there, but I need to say that this is one of the reasons
22 that we didn't plot rate versus time. That's why we've
23 presented all of our plots as a function of fractional oil
24 in place, because the Gavilan Pool has been developed over a
25 period of time within those wells coming on, and the cross

1 sectional area doesn't have any real method of representing
2 that.

3 Q What was the lowest daily oil producing
4 rates at which you held the model to -- and I forgot what
5 the number was? You said you ran was it 100 barrels a day?

6 A Well, 100 barrels a day translates in our
7 model to about 3,600 barrels a day actual field performance.

8 Q In making the comparison between what
9 you've done and what Sun has done, did you run the model at
10 a rate below the statewide allowable of 702 barrels a day,
11 using a 2000-to-1 gas/oil ratio on 320 acres?

12 A By that 100 barrel a day case, the 3,600
13 barrel a day field case is in line with what the field ac-
14 tually produces under the restricted allowable situation.

15 Q And that assumes one well on a 320 or --

16 A Yes, it has one well per 320.

17 Q I think it's clear, the lowest rate case
18 you used was equivalent to the top allowable that the state
19 imposes for the Gavilan Mancos in the absence of the special
20 reduction order.

21 A You're saying that the lowest field rate
22 we evaluated was 3,600 barrels a day?

23 Q Yes.

24 A Is that what you're trying to say?

25 Q Yes.

1 A Yes, that would be correct.

2 Q And we didn't -- you didn't model any
3 rates lower than that?

4 A I could explain to you, if you'd like,
5 why we didn't.

6 Q My question is whether you did.

7 A Okay.

8 Q And you've said it's no.

9 A No.

10 Q All right. Just finally now, Mr. Hueni,
11 during the matching, when we take the model and you've got
12 the assumptions you've made and you've got the average of
13 the parameters that you've taken from the Gavilan Mancos,
14 you've put all that into the program and you have made your
15 history match with reservoir performance.

16 Can you check off for me the things that
17 you adjusted or changed in order to make the history match?

18 A I can check off some of the things.

19 Q That would be helpful.

20 A Okay. Things that immediately come to
21 mind, we ran -- we ran dual porosity models and we ran
22 single porosity models representing strictly a fractured
23 system. Okay, so that's -- that's one of the things.

24 We also ran different models representing
25 different sets of fluid properties, basically three sets of

1 fluid properties.

2 First the bubble point set of pressure
3 fluid properties ran 1500 psi. We ran the 1770 psi, and
4 then we ended up using the 1,660 psi case, and we ran runs
5 with those.

6 We ran runs that varied in terms of the
7 transmissibility from 30 millidarcy feet up to as high as
8 10,000 millidarcy feet.

9 We ran different runs with different rock
10 compressibility values, in the range of, I believe, I'm not
11 sure that we ever went under 50, but I think we were -- we
12 ended up with 100.

13 We ran different runs assuming different
14 degrees of vertical communication with the ratio of vertical
15 permeability to horizontal permeability, ranging from zero
16 vertical communication to a value of .1 to a value of 1.0.
17 The finally history match run has a vertical permeability to
18 horizontal permeability ratio of .1. In other words,
19 vertical permeability is one tenth of what the horizontal
20 permeability is. Once again we felt that was a conservative
21 factor.

22 Let's see, we ran -- we ran different
23 cases, of course, with different rates and I can't recall
24 any others we ran. Oh, I take that back. We did run under
25 the dual porosity model, we evaluated various values of the

1 fracture storage compared to the total storage in the
2 system, and we ran various runs testing the response to
3 various values of the matrix, the fracture transmissibility
4 connecting coupling ratio.

5 Q When you ran your major model of the
6 Gavilan Mancos reservoir, were you using your dual porosity
7 system model?

8 A When we ran our major model, what do you
9 mean by major model?

10 Q Well, you have identified for us the
11 Figure 70, I think it is, where it's labeled the Gavilan
12 Mancos/Canada Ojitos Model.

13 A The -- this particular model was run as a
14 single porosity system.

15 Q That was not run as a dual porosity
16 system.

17 A No, it was not. We did not feel that it
18 was necessary.

19 Q Looking at Figure 70, which you have
20 before you, what reservoir volumes were used in the cells?

21 A I don't have that information in front of
22 me. I would have to --

23 Q We don't have the oil in place number for
24 that?

25 A I don't.

1 Q Perhaps you could provide that to me at a
2 break if it's available.

3 A If it's available I'll provide it to you.

4 Q Am I correct in understanding that the
5 conclusions you have reached about this reservoir are based
6 upon the results that you have seen from the reservoir simu-
7 lation of the reservoir?

8 A It is based, it is a combination of what
9 we have seen from the reservoir simulation in conjunction
10 with the physical evidence that we described under reservoir
11 performance and reservoir description.

12 Q The simulation of the reservoir using the
13 model is dependent upon the parameters and assumptions you
14 program into that model.

15 A That's right, you have to have something
16 you can put into the model, yes.

17 Q The parameters and assumptions that you
18 made yesterday that went into the model I understand were an
19 averaging of those parameters among wells in the Gavilan
20 Mancos Pool as well as the Canada Ojitos Pool?

21 A They represented reasonable values that
22 we considered representative of the pool.

23 Q Where you and the Sun reservoir engineer
24 disagree, then, is in primarily the selection of the para-
25 meters, the assumptions that are made, and what wells are

1 selected or what data is selected by which you average and
2 then input those numbers into the model.

3 A Well, we differ, we differ in the type of
4 model that we use. We differ in the characteristics that we
5 have attributed to the Gavilan Mancos Pool that we consider
6 representative of the pool and in terms of the ultimate re-
7 sults that come out, we differ in terms of the method used
8 to scale up those results to reflect total field perfor-
9 mance.

10 Q Each of you has selected a different
11 model of program software for selection. You've used your
12 judgment about it and I assume Mr. Dillon did his, that's
13 the difference.

14 A We would hope, although models do tend to
15 give somewhat different results, different models do, we
16 would hope that we were both using credible models, so we
17 would end up with somewhat similar answers.

18 Q Am I correct, then, in understanding my
19 simple way that the reason you can get such varying results
20 between your position and that of the Sun expert is in the
21 selection of the assumptions and the parameters that's put
22 into the model?

23 A Well, we obviously have a totally differ-
24 ent description of how we view the field.

25 Q Thank you, Mr. Hueni.

1 MR. LEMAY: Does that conclude
2 your cross examination, Mr. Kellahin?

3 MR. KELLAHIN: Just a minute.
4 I'm told there may be something I've just forgotten.

5 MR. LEMAY: Part of your cross
6 examining?

7 MR. KELLAHIN: Yes.

8 Q Very quickly, Mr. Hueni, and I apologize,
9 in the material balance we had, I believe, 55-million stock
10 tank barrels of oil in place and that was the value you've
11 used in the model.

12 A No, that is the value that we believe is
13 in the field independent of the model. The model, because
14 it only represents a portion of the field, cannot tell us
15 the oil in place.

16 Q The oil in place number that you have
17 used is 55-million barrels.

18 A That's correct.

19 Q And will that include also the oil in the
20 matrix system?

21 A Yes.

22 Q In dividing up the zones does that also
23 include the oil in the C Zone, then?

24 A I think we've indicated that we don't be-
25 lieve the Gavilan Mancos' AB Pool produces significantly

1 from the C Zone.

2 Q So the 55-million barrels of oil in place
3 your estimate of the oil in place for the A and the B Zones
4 and it's your opinion that the C Zone will not contribute --
5 will not have oil in it.

6 A No, I said that it was not significant.
7 I think we have production tests to indicate that there is
8 oil in it but it is low productivity and what we are seeing
9 in term of the pressure response in the Gavilan A -- in the
10 Gavilan Mancos Pool is primarily the result of the oil that
11 resides in the A and B Zones.

12 Q But it doesn't exclude that oil in the C
13 Zone. The 55-million barrels is whatever you think is from
14 the top of the A to the base of the C Zone.

15 A The 55-million barrels reflects the oil
16 in place that is in pressure production -- that is -- pro-
17 duction is coming from and the pressure is then reflective
18 of, and since we believe very little production comes from
19 the C Zone, then we believe that the majority of the mater-
20 ial balance indicated oil in place is indicative of oil in
21 place in the AB, although there may be some in the C.

22 Q And the 55-million barrels of oil in
23 place is confined to the current boundaries of the Gavilan
24 Mancos Pool, excluding the West Puerto Chiquito Mancos?

25 A The material balance calculation is done

1 using the Gavilan Mancos pressure production history, along
2 with the western tier of Canada Ojitos Unit section wells.

3 Q You say the western tier, then you have
4 picked up outside of the Gavilan Mancos Pool boundary that
5 row of sections immediately to the east of the existing
6 boundary.

7 A That is correct. Material balance is a
8 balance of pressure and production and the production that
9 we've considered is that production coming from -- including
10 the western tier of Canada Ojito Unit section wells which
11 are in pressure communication with the remainder of the Gav-
12 ilan wells.

13 MR. LEMAY: Does that conclude
14 your cross examination, Mr. Kellahin?

15 MR. KELLAHIN: Yes, sir. Thank
16 you.

17 MR. LEMAY: Do you want to take
18 a sip of water or anything before --

19 A No, I'm fine.

20 MR. LEMAY: Okay. Additional
21 questions of the witness?

22 Mr. Chavez.

23 MR. CHAVEZ: I've got to refer
24 to the book for some of these.

25 MR. KELLAHIN: Frank, do you

1 want to sit at the table?

2 MR. CHAVEZ: If I could just
3 use this corner it would be good.

4

5 QUESTIONS BY MR. CHAVEZ:

6 Q Mr. Hueni, your Exhibit Number 34, could
7 you turn to that, please?

8 MR. LEMAY: A little louder,
9 Frank. What exhibit is it?

10 MR. CHAVEZ: Number 34. It's
11 the frac pressure -- I'm osrry, the pressure build-up test
12 of the Northwest Pipeline Corporation Rucker Lake No. 2, is
13 that correct?

14 A Yes, that's correct.

15 Q In your testimony you said that the sepa-
16 ration of straight line segments indicates a dual porosity
17 system, but there could be other factors that could also
18 cause a separation.

19 A I -- I indicated it may indicate, it may
20 indicate a dual porosity system but it is not in and of it-
21 self conclusive. The deviation from one straight line trend
22 is indicative of non-homogeneous behavior whether it is dual
23 porosity, whether it is layered reservoir effects or those
24 would be the principal causes that I would expect.

25 In our August, 1984, testimony we indi-

1 cated we -- we reviewed this same information and we indi-
2 cated at that time that just based on this information alone
3 we would not be ready to conclude that this is a dual poro-
4 sity system reservoir, and in fact our conclusions with re-
5 spect to dual porosity, this is just one evidence out of
6 several pieces of evidence.

7 I hope that will answer your question.

8 Q That will do, thank you. In using this
9 type of a plot isn't it possible to extrapolate the last
10 straight line segment to the 10 to the -1 line and estimate
11 a reservoir pressure?

12 A It's going to depend on the degree of
13 depletion that's occurred in the vicinity of this well prior
14 to this time.

15 Q On your Exhibit Number 50, that's the
16 first exhibit where it appears you indicated that the
17 reservoir pressures, the last two pressure tests, were not
18 average or were not representative, is that correct?

19 A That is -- that is our interpretation,
20 that the last two points may be more severely affected than
21 perhaps some of the earlier ones. We would hope that the
22 earlier points had gone up to -- to average reservoir
23 pressure. Even then we'd have no -- no absolute, conclusive
24 evidence that those prior points had gone up.

25 Q During the period of time that these

1 pressures were taken, weren't the wells in the Gavilan Man-
2 cos restricted or their restriction began during this time?

3 A That is correct, but even with the re-
4 striction we were still maintaining a reasonably high degree
5 of voidage, or voidage, I think Mr. Roe's numbers that
6 showed voidage indicated that the voidage even with restric-
7 tions is still -- has sort of flattened out, so the voidage
8 in the -- in the latter part of '86 is not really dimin-
9 ished. It's been relatively -- relatively constant and what
10 happens is that we are simply, in our estimation, pulling
11 down the fracture at a faster rate than we're pulling down
12 the matrix pressure.

13 Q Could a sudden change in the voidage rate
14 caused by restrictions reflect some unusual pressures like
15 this?

16 A I don't believe so. I mean what we have
17 been seeing out there when we run static tests or pressure
18 build-up tests, is we will see a well build-up in pressure
19 to a maximum value and then we will see the pressure start
20 declining off at a rate of 1 psi per day, and so I think
21 that the pressure we're measuring is -- in my estimation it
22 is a pressure that is -- that is certainly -- it builds up
23 to a point and then it feels the interference effects of
24 general depletion by all the wells in the vicinity and
25 that's what's causing it then to drop down to 1 psi per day

1 and I believe that that is in part reflecting the interfer-
2 ence effects that are -- that exist through the high capac-
3 ity fracture system caused by other wells.

4 Q Okay. Will you turn to exhibit -- Figure
5 68, please?

6 Do you believe that the Gavilan Mancos
7 pressure was lower than what should have been expected in
8 the pool when it was discovered?

9 A I would say that the indications are that
10 yes, it is a bit lower than would be expected, but I'm bas-
11 ing that pretty much just on the evidence that we see -- see
12 before you in that particular figure.

13 Q Using that difference and referring ot
14 Figure 53, could you estimate perhaps the -- a certain
15 amount of the original oil in place has been moved from the
16 reservoir to cause the lower pressure?

17 A Yes, I think that -- that can be done. I
18 would estimate, I believe, that it may be on the order of
19 400,000 barrels.

20 MR. KELLAHIN: What? I didn't
21 get that.

22 A 400,000 barrels.

23 Q If that 400,000-barrel estimate is cor-
24 rect, would you estimate that that did move to the east to-
25 wards the Canada Ojitos Unit?

1 A Well, we would have to say that the pres-
2 sure gradient appears to go in that direction, so yes, I
3 would estimate that it has moved eastward.

4 Q Will you turn to Figure Number 70,
5 please? I'm sorry, make that 71.

6 A Okay.

7 Q Referring to Figure 71 and to previous
8 testimony from Mallon/Mesa Grande group, would you say that
9 this shows the relationship between the A and B Zone produc-
10 tion on the Gavilan Mancos side and the C Zone production in
11 the West Puerto Chiquito Mancos?

12 A It very well could reflect the fact that
13 the C Zone is -- is the major productive interval in the
14 West Puerto Chiquito, the east portion of the Puerto Chi-
15 quito Pool, whereas the AB interval is the interval that
16 contains the majority of the oil in the Gavilan area.

17 Unfortunately, it could also just be due
18 to a transmissibility barrier that may exist in the syn-
19 clinal area separating the two. The only factual informa-
20 tion that we can speak to is the fact that the Canada Ojito
21 Unit gas injection project area was drawn down by what we
22 estimate to be about 450 psi at a time when the Gavilan
23 Field pool was discovered and drawn down by only maybe about
24 70 psi.

25 Q Well, if the drawdown in the West Puerto

1 Chiquito Mancos Pool was mostly in the C Zone, why wouldn't
2 you want to compare that with drawdown in A and B Zone of
3 the Gavilan Mancos Pool?

4 A What we are looking for is the interac-
5 tion between the West Puerto Chiquito gas injection program
6 and the Gavilan Mancos Pool itself. One of the things that
7 I -- we wanted to investigate is if the operational program
8 that was recommended for the Gavilan area would affect the
9 West Puerto Chiquito gas injection program that Mr. Greer is
10 conducting, and so that's why we were comparing them, is
11 the data on the -- that's why we're comparing the data.

12 Q Well, wouldn't the data be more described
13 then on that basis as a comparison between the -- or the de-
14 scription of the vertical permeability between the A and B
15 Zones and the C Zone, then, in that area?

16 A That is possible but it is also possible
17 that it is simply a restriction that exists in the synclinal
18 area. We, in our model, we set up simply a permeability re-
19 striction and whether that permeability restriction reflects
20 the difference between the A and B being productive in one
21 area in the C or whether it reflects some sort of permeabil-
22 ity restriction in the AB, which Mr. Greer has indicated he
23 believes he has some production from, we -- we aren't sure.
24 We can't really identify that. The only thing that we can
25 really speak to is the presence of the -- of the pressure

1 differences.

2 Q If Mr. Greer were to further develop the
3 A and B Zones just to the east of the syncline, would it be
4 more appropriate then to redo a chart like this using actual
5 pressures?

6 A What it would appear to us is -- it ap-
7 pears to us that the Gavilan Mancos Pool is minimally con-
8 nected to the West Puerto Chiquito gas injection area.

9 Now, if development occurs on the east
10 side of the syncline in the Gavilan -- or in the A and B
11 Zones, and that has a relationship to the Gavilan Mancos A
12 and B Zones, then it would appear to us that we have a sit-
13 uation where we have A and B production depleting in one
14 fashion and C Zone production depleting in a completely
15 separate fashion.

16 Q Thank you. That's all I have.

17 MR. LEMAY: Thank you, Mr.
18 Chavez.

19 Additional questions of the
20 witness. Yes, Mr. Stockton.

21

22 QUESTIONS BY MR. STOCKTON:

23 Q Mr. Hueni, my name is Bruce Stockton and
24 I'm with the New Mexico State Land Office.

25 When you do a modeling exercise or simu-

1 lation such as you've done here and you use software that
2 you've purchased, do you go through any type of procedure to
3 validate that software as far as its structural components
4 and its code?

5 A We did not purchase the software. It's
6 commercially available software and is installed on the (un-
7 clear) Cray System out of Washington, the State of Washing-
8 ton.

9 We have used this model in conjunction
10 with studies we've performed on behalf of a large interna-
11 tional company over in the North Sea, who has this model
12 available to them, who have used it on low permeability re-
13 servoirs and their exercise, they have gone through an exer-
14 cise of validation and comparison to some other dual poros-
15 ity system models and they feel satisfied that the answers
16 are reasonable.

17 Q But you've not done any yourself?

18 A No, we have not done any personally.

19 Q Okay. You mentioned that this -- that
20 you had used this model before in some North Sea calcula-
21 tions. Do you happen to know what the lithology of that
22 field it's been used in before is?

23 A Well, primarily it is an extremely tight
24 sand matrix with extreme fracture, extremely highly frac-
25 tured.

1 Q But it's a sandstone.

2 A Yes, it is a sandstone.

3 Q Okay. Now, I'm somewhat confused here.

4 During Mr. Kellahin's cross examination there was a -- you
5 made mention that you had used an assumption of -- in the
6 model that, if I understood right, 1.5-million barrels per
7 section was an oil in place assumption. Is that right?

8 A We constructed a model that by necessity
9 had to have a certain amount of oil in place in the model
10 and that oil in place value, well, we just -- the model ob-
11 viously does have to have some oil in place in it and the
12 value that we specified in the model was a value of 1.5-mil-
13 lion barrels. This, we're only studying a portion of the
14 field as opposed to the entire field, so we specified the
15 1.5-million barrels as being perhaps representative of what
16 we'd have in the 640-acre area. The important thing is that
17 we then scale up our results proportionately to what we
18 think the oil in place number is, the true oil in place num-
19 ber in the field is.

20 Q So you scaled that up to match the --
21 your material balance oil in place, is that right?

22 A That -- that's correct. We determined
23 the oil in place, we felt the best estimate for oil in
24 place, the 55-million barrel number, came from our pressure
25 production history that we had available to us. That repre-

1 sented 55-million barrels.

2 Our oil in place in our model is 1.5-mil-
3 lion barrel, so roughly we have 35 times as much oil in
4 place in the field as we did in our model, so we scale up
5 the withdrawal rates and the voidage rates from our model by
6 that same factor of 35 to apply to total field components.

7 Q On your Figures 74 and 75, as I recall
8 you mentioned when you were referring to these that these
9 are characteristics of reservoirs -- these curves are char-
10 acteristic of reservoirs of the different types you have
11 labeled on them here.

12 A That is correct.

13 Q Do you have anything to compare these
14 with? Is there any secondary literature that addresses this
15 -- this subject? Or is this just --

16 A This -- this is, well, the solution gas
17 drive curve that we show gas/oil ratio versus pressure, I
18 think if you would take some of the preceding testimony
19 that's been heard previously in this case where we have
20 gas/oil ratios and pressure plotted versus oil in place, ex-
21 hibits of Mr. Greer's presented previously, and we presented
22 a similar exhibit in the last hearing, that the gas/oil
23 ratio performance increases dramatically in a solution gas
24 drive.

25 If you would re-plot that I think you

1 would see the same type of shape that you see for the single
2 porosity system when expressed in terms of gas/oil ratio
3 versus pressure.

4 For the gas segregation drive case, this
5 is sort of a unique situation, I believe, in this field in
6 that we have high capacity fractures that allow gas to move
7 to the top in the formation. Unfortunately, we say "top of
8 the formation" we don't necessarily mean laterally across
9 the field. We mean just vertically up to the top of the lo-
10 calized producing interval.

11 Now when it gets up to that point, the
12 gas forms this -- we called it perhaps inappropriately in
13 the August hearing, we called it a gas cap, and really maybe
14 it's just this layer of gas that's on top of the reservoir.

15 Unfortunately, with wells perforated
16 through the entire section, provided all the perforations
17 are open, which we know in many cases they aren't, that for
18 those kinds of wells they will produce gas and oil and this
19 is the trend that you see that you compute and all I can say
20 is that this is computed for the schematic that we showed
21 you before of a fracture system filling with gas at the top
22 and oil in the bottom, for those types of conditions.

23 Q Now, if you'll turn to your Appendix E
24 that Mr. Kellahin was questioning you about earlier --

25 A Appendix D?

1 Q I'm sorry, Appendix D, yes, would you --
2 I didn't follow the discussion on porosity.

3 A Well, the first point that I want to --
4 I'm sorry, did you have a question that you wanted me to --

5 Q Well, just explain to me on this page
6 what represents porosity and which of the two porosities
7 you're assuming it represents.

8 A Okay. Porosity values are represented by
9 -- in the lower half of the page, the values that are indi-
10 cated PORO.

11 If you look at the first one of those
12 values you see a value of .00255; the value of 1 37 repre-
13 sents that that applies to cells along the top layer, the 37
14 cells along the top layer. The next two values of 1 indi-
15 cate that that is the top layer itself. Or, no, it's in the
16 Y direction, because we have a cross sectional model we only
17 have one cell wide, and then the final values 1 through 4
18 indicate that those values apply to what we are assigning to
19 the matrix.

20 Okay, now, the value 6 through 9 apply to
21 cells that are attached to those matrix cells that represent
22 fracture and you note they're given the same porosity num-
23 ber. It's the line right below it, and that's 6 through 9.

24 Now, what we have done in our model is we
25 have started with that and we've varied the split of poro-

1 sity between the matrix portion of the reservoir and the
2 fracture portion of the reservoir and if you look down right
3 below some of those -- some of the data we just looked at,
4 you'll see something that says multiply, and it will say
5 PORO and then it says .9, and then that is the factor we've
6 multiplied the porosities that are quoted above, we've
7 multiplied those by .9 to reflect the porosity in the matrix
8 system, and we've multiplied the next values down by .1 to
9 represent the volume -- the porosities in the fracture
10 system.

11 So when we -- when we make our runs we
12 want to study various values of the distribution of porosity
13 between matrix and fracture, all we have to do is change
14 those multiplication factors at the bottom to obtain that.

15 Once again I caution you that porosity is
16 a number that is derived with using a particular model
17 thickness. We have used in our model a thickness that is
18 consistent with the intervals thickness based on the fact
19 that we have identified from the fracture logs that that
20 entire interval is fractured.

21 If we wanted to use a lower thickness
22 value for -- for a given zone, then what we would have to do
23 is proportionally increase the porosity number, maintaining
24 the same oil in place.

25 We are not necessarily saying that the

1 Gavilan Mancos Pool has .2 percent porosity.

2 Q Okay. What -- what are the porosity
3 numbers that are below the two you just discussed there?
4

5 A Those two values of porosity that are
6 to the C Zone. We have specified in our model, we have five
7 layers, two represent the A and two represent the B and then
8 one layer represents the C, and it is isolated from the A
9 and B Zones.

10 The C Zone, we have assigned, and this is
11 more or less an arbitrary assignment, we have assigned one,
12 1/20th of 5 percent of the oil that's residing in the C Zone
13 and once again I would indicate to you that that is a more
14 or less arbitrary assignment based on our observation that
15 we don't see much C Zone production.

16 Q Finally, as I understood you, you have
17 assumed this is just a two-phase system.

18 A We have excluded the water from the sys-
19 tem because the water is in a mobile phase in the system.

20 Q Okay. Thank you.

21 MR. LEMAY: Thank you, Mr.
22 Stockton.

23 Additional questions of the
24 witness. Mr. Lyon.
25

1 QUESTIONS BY MR. LYON:

2 Q Mr. Hueni, referring back to Exhibit 34
3 that Mr. Chavez asked you about.

4 A Yes, sir.

5 Q Is the shape of this curve not sometimes
6 indication introduced as evidence in this -- in the earlier
7 hearing, has this shaped curve not been shown to result in
8 interference between wells?

9 A I -- that was not the normal interpreta-
10 tion and I don't believe that it would be probably in this
11 case. This is a relatively early test. If you -- I apolo-
12 gize for the quality of the reproduction, but the test date
13 was in December of 1983, so we certainly didn't have the de-
14 gree of interference between wells at that date that we have
15 currently. So --

16 Q That is true, but there were two wells
17 that were completed at the same time that this well, that
18 this test was conducted. Have you checked to see whether
19 those wells might have -- one or both of those wells might
20 have been on at the time that this pressure anomaly --

21 A To answer your question in sort of a dual
22 fashion, no, we have not checked and second, the -- if it
23 were an interference test affect, or an interference affect,
24 then what it might reflect to get the second build-up that
25 we observe on this pressure test, we would have to check to

1 see if perhaps the well was -- the offsetting well was shut
2 in such that then pressures began to build-up faster.

3 Q Is that right?

4 A That's right, we would have to check to
5 see if that --

6 Q And it would appear that the slope of
7 this assumes after it makes this little excursion is essen-
8 tially the same slope that was building up on the (inaud-
9 ible).

10 A Yes, but that's what we would expect out
11 of a dual porosity system.

12 Let me tell you one other evidence that
13 we would probably speculate on as being indicative of a dual
14 porosity system as opposed to interference, and that is the
15 fact that in the segment in between the two straight lines
16 we expect to arrive at a half slope, not a (not understood)
17 slope but a half slope if it is a dual porosity system.

18 Certainly, once again, it could be inter-
19 ference but I think, you know, what you might want to look
20 at in this regard is if it is a dual porosity system we
21 would expect this half slope behavior to occur, and it ap-
22 pears to occur but we haven't tried to confirm that.

23 Q Right there at the end of it, it looks
24 like there might be another breakthrough at the very end.

25 A It's possible. It's possible. I mean

1 we, in the last hearing, and even in this hearing, we have
2 not tried to say that dual porosity dependent on a simple
3 indicator such as what we have here on the Rucker Lake No.
4 2. We're saying that it is indicated by a variety of dif-
5 ferent types of situations that we've observed.

6 Q Okay, that's fine for that.

7 I'm a little puzzled in your statement,
8 correct me if I'm wrong, that you have used the vertical
9 permeability as opposed to your horizontal permeability of

10 A That's correct.

11 Q I can understand why that occurs in
12 reservoirs that are bedded and so why would that happen in
13 a fracture system?

14 A Well, let me -- let me back up and ex-
15 plain.

16 We -- we -- we used a value of .1 and I
17 think in several of our exhibits you noted that the gas
18 saturation occurred at the top of the formation, so obvious-
19 ly, even with a .1 ratio we achieved effective segregation
20 of gas and oil in the fracture system.

21 Now, if we had used a value of 1, a ratio
22 of 1, we would have achieved the exact same result. What we
23 are trying to say is one of the things that we have tried to
24 do in the study is not to put forth anything that appears to
25 be an optimistic position with respect to the behavior of

1 the reservoir and we realize that a value of 1 will really
2 give the same answer as the value of .1 has, because high
3 capacity fractures by definition have a lot of permeability,
4 so .1 times a lot of permeability is still a lot of perme-
5 ability and it's enough to cause gas to segregate in the
6 fractures. That is not a -- the .1 value is not -- is es-
7 sentially equivalent to a value of 1. The model is not sen-
8 sitive to that value within -- within the range of the types
9 of permeabilities we're talking about in the fracture sys-
10 tem, and incidentally, I hate to expand on some of these
11 things, but that is one of the reasons that the Sun model,
12 we feel, grossly overstates the rate at which the reservoir
13 will become rate sensitive. If you have a great deal of
14 permeability, particularly in just a 30-foot thick zone, the
15 rate of segregation is going to be extremely fast. Gas is
16 going to move very quickly to the top of the formation and
17 oil is going to stay at the bottom, and in part the result
18 of -- you have to produce at very, very high rates in a hor-
19 izontal sense to be able to produce the oil the gas before
20 it has a chance to split out.

21 So we just don't feel that those kinds of
22 rates are the kinds of rates that -- that actually will oc-
23 cur in a high capacity vertical fracture system.

24 Q It just seems strange that you would use
25 something that would be that conservative.

1 A Well, it gives the exact same answer as
2 the value of 1 and it indicates that we have -- because we
3 have vertical segregation.

4 Q Mr. Hueni, would you agree that before
5 you could begin a gas injection for a vertical matrix prog-
6 ram that you would need to unitize?

7 A Yes.

8 Q I noticed on your comparison, your econo-
9 mic comparison, that you have assumed that you would begin
10 gas injection probably before this hearing.

11 A We, on all of our runs, we began our runs
12 at a point in time where a cumulative oil production of 3.8-
13 million barrels had been achieved and to the best of our
14 knowledge, if the field continues to produce at about a
15 3,600 barrel a day rate, that would occur in the vicinity of
16 July 1st, 1987.

17 Q Well, it seems to me that that's an un-
18 realistic comparison when you haven't even started talking
19 about unitization. As a matter of fact, that's a -- kind of
20 a dirty word around here right now.

21 A That's what I understand. That, I'm not
22 prepared to comment on any kind of past discussions that
23 have been held in technical committee meetings with respect
24 to unitization. That's not why I'm here.

25 Q Okay. Also you've modeled a producing

1 rate that you admit was not - not within the capacity of the
2 wells in the reservoir.

3 A No, I'm sorry, that's not the case.

4 Q 14,400 barrels per day.

5 A Well, we modeled the reservoir that would
6 pull out 14,400 barrels a day with the intention of showing
7 that were the wells capable of producing that volume, they
8 would still end up with the exact same recovery.

9 The fact that the wells are not capable
10 of in some producing 14,400 barrels is strictly a reflection
11 that we do not have 10 Darcy feet of permeability in the
12 Gavilan Mancos Pool.

13 If we did have that, then we would have
14 plenty of wells producing 70 barrels a day or 700 barrels a
15 day and we could achieve that, but I think most people would
16 agree that the Gavilan Mancos Pool is not under a 702 barrel
17 a day allowable system going to produce 14,400 barrels a
18 day.

19 So if our results yield the same recovery
20 at that high rate, I think we would have to say that within
21 the reasonable rates of reservoir performance that we have
22 -- that we have determined that there's no sensitivity of
23 recovery to rate.

24 Q Well, it seems to me that it does not
25 present a great deal of valuable information to the

1 Commission for you to model things which are not practiced
2 in making your comparison.

3 MR. LOPEZ: Mr. Chairman, is
4 Mr. Lyon going to testify or --

5 MR. LEMAY: No, I think Mr.
6 Lyon can rephrase the question, possibly, so he's not testi-
7 fying.

8 Q Well, I -- you could tell me whether you
9 agreed or not but it seems to me it would be a lot more in-
10 formative to this Commission if you had modeled a pressure
11 maintenance program which we could feasibly put in within a
12 period of time from the present so we could evaluate that
13 rather than a performance which we have already passed.

14 A Well, I disagree that we've already pas-
15 sed it. We have modeled two cases, one of which is based on
16 current reservoir pressure; one is based on a second reser-
17 voir pressure.

18 I guess we could model any combination
19 thereof in between. We have modeled rates of 14,000 barrels
20 a day, which the field is not capable of. The Sun study,
21 when extrapolated to field rates, they only presented it for
22 a 300 -- for a 640-acre section, extrapolate back to the
23 field and get 100,000 barrel a day rate, and I question
24 whether that is reasonable either.

25 Q Good point. Mr. Hueni, how uniform do

1 you consider the fracture system, major fracture system in
2 the reservoir to be?

3 A I do not consider it uniform and the
4 reason I do not consider it uniform is that we see many dif-
5 ferent -- many wells with varying well capacities. We
6 looked at the capacity rate. So we see a great variability
7 in well producing characteristics, which we think is a re-
8 flection in part of the intensity of fracturing.

9 We also refer back to Mr. Emmendorfer's
10 second derivative map, which I think also indicates that we
11 would expect a variability in degree of fracturing in this
12 -- in this field.

13 I would not consider the fracture system
14 very uniform but there are high capacity fractures present
15 in different areas and it is the -- we made, we tried to
16 make the point about the variability of individual well per-
17 formance and we talked about trying to match the field aver-
18 age performance, and our -- we have gone through and tried
19 to look at individual wells and interpret in light of our
20 dual porosity model how those wells would perform, and with
21 the kinds of things that we see, is that individual well
22 performance is probably affected by localized variations of
23 fracture intensity, as well as localized variation in the
24 ratio of fracture storage volume to matrix storage volume.

25

1 So we think that -- I would personally
2 think it would be very variable.

3 Q Do you have an opinion as to whether or
4 not fracture porosity and matrix porosity are distributed in
5 approximately the same -- to the same extent in the same
6 parts of the field? Are they closely related or are they
7 separate distributions?

8 A Well, our description of the total field
9 is based on a ratio of fracture oil in place of 10 percent
10 of the total. So the matrix contains 90 percent. But now
11 that is on a total basis and we've just talked about the
12 variability of individual wells and that that may indeed
13 relate to differences in fracture intensities in this ratio,
14 localized ratio of fracture volume to -- to matrix volume.

15 And, you know, I think what we're trying
16 to picture is a reservoir that is indeed very complex, very
17 heterogeneous, and we would not expect to see oil in place
18 uniformly distributed across this -- across this area, be-
19 cause we have variations in these parameters.

20 Q I think you would agree with me, though,
21 that in order for the matrix porosity, the oil contained
22 therein to get to a wellbore, it needs to get into the frac-
23 ture system.

24 A Absolutely. Absolutely. That's why when
25 we look at the televiwer logs when we see intervals that do

1 not have a significant degree of fracturing, and these are
2 the larger fractures that we see on the televiewer, we do
3 see low productivities for those wells.

4 MR. LYON: That's all I have.
5 Thank you.

6 MR. LEMAY: Thank you, Mr.
7 Lyon. I think we have additional questions, the Commis-
8 sioners and I do of this witness, so we'll probably break
9 for lunch.

10 Before we do, however, I'd like
11 to go off the record just a minute and talk about some tim-
12 ing that we have left in the hearing.

13
14 (Thereupon a discussion was had off the record.)

15
16 (Thereafter the noon recess was taken.)

17
18 MR. LEMAY: We shall resume at
19 this time. Again let's stay off the record for awhile,
20 Sally.

21
22 (Thereupon a discussion was had off the record.)

23
24
25

1 GREGORY D. HUENI,
2 resuming the witness stand, testified as follows, to-wit:

3
4 QUESTIONS BY COMMISSIONER HUMPHRIES:

5 Q I'll start since I'm not particularly
6 encumbered with any professional knowledge.

7 I always thought that lawyers and
8 (unclear) did strange and mystical things. Now I gather
9 petroleum people do too.

10 Is it fair to say that you made certain
11 assumptions that would change the variables?

12 A We -- the only assumptions that we made,
13 well, we evaluated the field. We came up with what we con-
14 sider to be the appropriate reservoir description of the
15 field, parameters such as permeability, parameters such as
16 fluid properties. Those are not necessarily assumptions.
17 Those are characteristics on which we have a certain amount
18 of engineering data. The engineering data is not always ac-
19 curate so to the extent that it's not always accurate you
20 end up assuming a value, but it has to be within a certain
21 range of engineering reasonableness --

22 Q Okay.

23 A -- and that's what I meant, if we talked
24 about assumptions, I was attempting to -- to obtain the most
25 reasonable set of descriptive parameters but they're cer-

1 tainly within -- in fact I'd say they're the most likely set
2 of values that we have to describe the reservoir.

3 Q Well, what we see in these very sophisti-
4 cated models that your computer programs create are a very
5 sophisticated, three dimensional, complex model that's many
6 dimensions times the spread sheet but essentially, if you
7 change the variables you change the output to some extent.

8 A That is correct. Some variables have a
9 greater impact on the output than other variables. That's
10 one of the reasons that you do it, is that you then obtain
11 an understanding about what are the critical variables that
12 determine performance for a given field. If it's permeabil-
13 ity or is it ratio of vertical permeability to horizontal,
14 so it's a tool that allows you to imagine how the reservoir
15 performs and then to check that against -- to calculate it
16 arithmetically and then compare that to actual performance.

17 Q So it gives a close resemblance of what
18 was actually there.

19 A Well, we believe that that's a close re-
20 semblance.

21 Q Would it be fair to assume, for somebody
22 like myself, that history of the operation of a field or pool
23 or a particular formation would tend to give better or more
24 defined variables or input?

25 A This is the conventional wisdom that when

1 you don't have any -- when you first discover a field and
2 you apply one of these simulation models without any produc-
3 tion experience on which to compare your model output to,
4 then you don't have as accurate a model as you would have,
5 as if you have several years of production history that then
6 you can use to judge if your model gives you the same type
7 of performance as that production history.

8 Q And it might not be particularly germane
9 but it seems to me that if -- what's the source of the hy-
10 drocarbons in this particular brittle rock that we're talk-
11 ing about, besides dead dinosaurs?

12 A Or whatever that skeleton was.

13 Q Well, what --

14 A I believe thats really more appropriately
15 a geological question but I believe there would be some evi-
16 dence that it is generated more or less in place, that the
17 rock is what you call self-sourcing but I would prefer you
18 ask that of one of our geologic experts.

19 Q I thought that's what you might say but I
20 wasn't sure. You talked a lot about matrix content of
21 fluids in this particular formation, and previous testimony
22 talked about tight blocks as being something that was also,
23 or perhaps not in agreement with you, but a container of the
24 gas and oil in this particular formation. Is there a simi-
25 larity between your matrix and their tight blocks?

1 A I think conceptually there is a similar-
2 ity. The difference is that, and I hope I don't misstate
3 their position, so they'll have a chance to correct it, they
4 believe, I think, that there is a high capacity fracture
5 system that is very high capacity and it surrounds tight
6 matrix blocks that they would say are maybe 100 to 400 mil-
7 lidarcy feet in transmissibility.

8 We would say that there is a high capa-
9 city fracture system represented by the extensive and very
10 closely spaced vertical fractures that is relatively high
11 capacity. We do not believe that in some it is 10 Darcy
12 feet, and it surrounds a matrix that is much tighter than
13 what they -- than what they describe and our matrix is many
14 times less permeable than -- than what they consider to be
15 their tight fracture blocks.

16 Our matrix is once again not the classi-
17 cal type of matrix where you just have intergranular poro-
18 sity but it includes other factors, as well.

19 Q So you say they're similar but not the
20 same.

21 A They're similar but I think they differ
22 in the degree of transmissibilities they're trying to de-
23 scribe.

24 Q Okay. If I misquote you, correct me, be-
25 cause I was taking notes as fast as I could but A and B, you

1 claim that the A and B Zones in this particular formation
2 either are meeting or so close that they vertically communi-
3 cate in the Gavilan Mancos Field.

4 A We would believe that they are -- that
5 they probably communicate and the evidence, one of the prin-
6 cipal pieces of evidence that we have with respect to that
7 issue is the televiwer logs that show vertical fractures
8 extending between the two. That is as opposed to the C
9 Zone, where -- where we know it's separate. But, I mean, I
10 hate to talk in generalities, but -- but even within indivi-
11 dual zones, say the C Zone was 40, or the A Zone was 50 feet
12 thick and it was fractured and it was separate from the B
13 Zone, even within the A Zone the gas will segregate within
14 that 50-foot thickness. That's a very -- that's a substan-
15 tial thickness.

16 So we have -- we have interpreted the re-
17 servoir as having communication between the A and B Zones.
18 That may not be perfect communication. That's one of the
19 reasons we put in a vertical permeability to horizontal per-
20 meability ratio that was less than one.

21 Q Are -- are you comfortable to say that
22 that case does not exist in -- east of this barrier?

23 A I'm sorry, which case?

24 Q That we don't have the A and B that close
25 together?

1 A Well, actually the A and B is close to-
2 gether and is equally close together on the east side of the
3 syncline. Once again I think we would believe that what is
4 -- what has been testified to is accurate and that the C
5 Zone is really functioning as a separate unit than the A and
6 B Zone, and I would say that that is true on the east side
7 of the syncline.

8 Q So you don't see a whole lot of differ-
9 ence in these zones in the formation going from east to west.

10 A Well, that's -- that's not entirely true.
11 We, because of the geological evidence, believe, and the
12 production evidence, believe that the C Zone is not, even
13 though it's present and can be correlated from east to west
14 or west to east, that the C Zone, which is reasonably pro-
15 ductive in the -- in the Canada Ojitos Unit, or highly pro-
16 ductive, is not in the Gavilan Mancos area, in the Gavilan
17 Mancos Pool, and that's based on the televiwer logs and the
18 production surveys.

19 Similarly, as we go the other direction
20 in the A and B, we see the Gavilan Mancos Pool being primar-
21 ily an AB producing pool. When we move over to the Canada
22 Ojitos Unit we see some production from the AB. We would
23 believe if that were the case that it would not be related
24 to the C Zone production in the Canada Ojitos Unit; that --
25 and that it probably is not as good a production just on the

1 basis that it's been -- been there for 25 years and not de-
2 veloped.

3 Q You're testifying that the earlier testi-
4 mony has demonstrated that there is communication back and
5 forth between the area east of this barrier and west of the
6 barrier, so in the Gavilan Mancos Pool and in the West Puer-
7 to Chiquito Pool.

8 A Yes, we said there was limited communica-
9 tion between the gas injection area of the West Puerto Chi-
10 quito Pool and the Gavilan Mancos Pool. Keep in mind that
11 the gas injection area of the West Puerto Chiquito Pool has
12 -- it apparently is primarily seasonal, based on this per-
13 formance (inaudible).

14 Q But you recognize some movement in the --

15 A We -- we recognize a minor amount of
16 movement between the two areas.

17 Q Did I understand you right then this mor-
18 ning when you said that the initial pressures that you found
19 in the Gavilan Mancos field or pool were lower than what you
20 would have expected and that by some calculations or some
21 results of your model, that you predicted that maybe some
22 400,000 barrels of fluid may have been lost across the bar-
23 rier?

24 A That --

25 Q Going east into the West Puerto Chiquito?

1 A That is -- that is correct. The informa-
2 tion indicates that there is some minor amount of communica-
3 tion and it indicates that there was over a twenty year per-
4 iod a pressure gradient established across the boundary and
5 some flow would have occurred as a result of that.

6 Q Okay, and that's across the syncline.

7 A Well --

8 Q Or through the area.

9 A Well, it's from one area to the other and
10 whether the barrier is represented geologically by the syn-
11 cline area or whether it's represented by the fact of the
12 difference between the Gavilan being primarily AB and the
13 Canado Ojitos Unit, or West Puerto Chiquito Unit being pri-
14 marily C Zone gas injection.

15 Q Okay. My understanding of it, and when I
16 get into geology and away from engineering I'll ask one of
17 the geologists, but we talked about the production bearing
18 zones being a highly brittle formation that fracture and
19 with separating zones between those being relatively fluid,
20 soft, thick, apparently moves, and it does not allow, if
21 there's a great distance of it, does not allow for vertical
22 transmission, is that right?

23 A Yes, yes, that's the way I understand it.

24 Q Okay, this is simplistic, I understand,
25 but this is a formation like a barrier formation. That's

1 what creates cracks and fissures.

2 A At this point I'll defer to the geolo-
3 gist.

4 Q Okay.

5 A That's in line more or less with my un-
6 derstanding, as well.

7 Q Well, I'll wait for one of the geologists
8 to come along.

9 A Okay.

10 Q Then maybe I shouldn't, I'm not sure, but
11 what I'm getting at is this depiction of what's West Puerto
12 Chiquito, even though we're talking about different zones,
13 we've talked about an impervious, not impervious but re-
14 stricted layer that's somewhere along, perhaps, the syn-
15 cline, right?

16 A It's a low, low transmissibility barrier
17 of some sort that is -- the reason we've always associated
18 it with the syncline is because, well, because of some of
19 the geologic considerations, but also because we've seen
20 several wells in the syncline area that have been very mini-
21 mally productive, and I think we reviewed those wells in our
22 testimony.

23 Q Is, I think this is probably a geologic
24 question, too, but if the syncline is in fact representative
25 of what's apparently being identified as a restrictive area,

1 we know it communicates some, but if that formation was bol-
2 ted up like that and created that syncline, is it not pos-
3 sible to move the more fluid lithologies from between the
4 formations? From between the zones?

5 A You mean between the A, B, and C Zones?

6 Q Yes, sir.

7 A I don't believe we have any data to indi-
8 cate that the C Zone communicates with the AB Zone anywhere.

9 Q We don't know where the -- how close they
10 are together at that restrictive area, is that --

11 A Well, I --

12 Q -- correct?

13 A -- think I should defer that to the geo-
14 logist.

15 Q Okay. All I understand you to be saying
16 is Mr. Greer's been injecting gas at the far east end of the
17 West Puerto Chiquito for some long period of time to main-
18 tain pressure and assuming that most of those things are
19 right, with some geologic questions that I have about the
20 syncline, is it then possible that in fact his gas matrix is
21 producing a result at the -- I guess that's the nose of the
22 Gavilan Mancos Field at the --

23 A No.

24 Q -- top of the --

25 A It's not possible.

1 Q You don't think that there's anything
2 that's helping sustain by maintaining pressure at the east
3 end of this whole --

4 A I believe in my own mind that the benefit
5 of the gas injection program is limited to the east area of
6 the West Puerto Chiquito Unit, although there is a -- there
7 is a very minor amount of communication, as indicated by
8 pressure, pressure behavior between that east area and the
9 west area, and in fact in the first twenty years of, as we
10 said before, in the first twenty years of production from
11 West Puerto Chiquito a 450 pound drop in that area tended to
12 result in a 70 pound drop in the other area.

13 Now that we have Gavilan on production,
14 Gavilan is certainly withdrawing its -- the volume of oil
15 from its area and the pressure is declining and that's --
16 and we don't expect that in turn to have much impact on the
17 other side as it depletes, and that's what the purpose of
18 our model exhibit was.

19 Q From a production standpoint, is there
20 something that indicates to you that you have closure or
21 loss of structural integrity or some significant change at
22 the west end of the Gavilan Mancos, somewhere out there be-
23 tween Range 3 and 4 West?

24 A We have -- we have not studied beyond the
25 field boundaries of the Gavilan Mancos Pool. To the edge of

1 field boundaries we see nothing other than just the fact
2 that there is a variability in well quality, and I guess
3 maybe just referring to my maximum oil producing rate map,
4 although some of those wells have not produced for a long
5 period of time, there are several of those wells that may be
6 out in that area that are not as highly productive as some
7 of the other higher capacity wells in the Gavilan Mancos
8 Pool, but there's nothing that I see, see from an
9 engineering standpoint that indicates that termination.

10 Q So you think that Gavilan Mancos has an
11 unknown west boundary, is that -- or did I misunderstand
12 you?

13 A Well, we have producing wells up to the
14 western edge of the boundary and I believe that's how far
15 it extends at this point in time.

16 I'm not prepared to say if there's a
17 geologic reason or not why people should be drilling beyond
18 those boundaries. We focused once again on the pool itself,
19 the wells that are currently drilled.

20 Q And from a production standpoint, in
21 understanding models and things, don't we have to make some
22 assumptions that the pool or pools or a combination thereof
23 is closed, that it is --

24 A Well, it must be closed because we
25 calculate a specific volume of oil in place, 55-million bar-

1 rels, but if you'll note, we've been a little bit careful
2 not to say there's so many million barrels in this area and
3 so many million barrels in that area, because we really
4 don't know how to distribute that oil and so we have maybe a
5 rough area of the field boundaries based on the number of
6 wells that have been drilled out there, but we once again
7 have a difficult time saying that that 55-million barrels
8 occurs in any one specific area.

9 Q Thank you. I'll ask the geologist for
10 that.

11 A Yes.

12 MR. HUMPHRIES: That's all.

13

14 QUESTIONS BY MR. BROSTUEN:

15 Q I have a few questions, Mr. Hueni.

16 There's been considerable discussion
17 about the drive mechanisms in the West Puerto Chiquito Pool
18 and the Gavilan Pool. It's my understanding, and I hope Mr.
19 Greer will correct me if I'm wrong, that his contention is
20 that in the West Puerto Chiquito Pool gravity is a primary
21 energy, you might say, drive mechanism; however, in your in-
22 terpretation of the Gavilan Pool you apparently discount
23 gravity and refer to this drive mechanism as solution gas
24 and gas drive and gas segregation drive.

25 You discount gravity. Gravity is a force

1 which acts upon all of us, each and every one of us and
2 everything, you might say. Why, why do you discount it?

3 A Actually we don't discount it. The ef-
4 fect the gravity has is it causes the fluids, the -- when
5 the fluids enter the fracturs system, the oil and gas, that
6 is the force that causes the gas to rise to the top and the
7 oil to fall to the lower section of the reservoir in a ver-
8 tical sense. That is the effect gravity is having.

9 In Mr. Greer's area, as I interpret it,
10 when I believe -- I believe that probably, well, if Mr.
11 Greer has some matrix contribution, he claims in his area he
12 has all fracture contribution, I would have to say that I
13 would think that he might have some matrix contribution in
14 that area as well, but when his oil moves out of the tight
15 fracture blocks or the matrix blocks, moves into the high
16 capacity fracture system, the effect of gravity there is to
17 cause it to move not just to the bottom of the vertical in-
18 terval, but it causes it to move laterally across the field,
19 because he has quite a high degree of closure and quite a
20 high degree of dip, so his oil runs down structure. Ours
21 just falls to the bottom of -- of the producing.

22 Q Do you consider the porosity in the West
23 Puerto Chiquito Pool in the C Zone to be similar to the por-
24 osity, the dual porosity that you've identified in the A and
25 B Zones in the Gavilan Pool?

1 A Our study was directed to the Gavilan
2 Mancos Pool. It is a pool on which we have producing his-
3 tory, where we know the variation of gas/oil ratio perfor-
4 mance and pressure performance over a range, and based on
5 that performance we're able to support the dual porosity
6 concept.

7 Unfortunately, well, unfortunately we
8 don't have the data to study West Puerto Chiquito much and
9 we have not been able to do that and therefore I really
10 can't express a conclusion with respect to that.

11 Q I see. So you don't want to express any
12 opinion or conclusion as far as West Puerto Chiquito is con-
13 cerned.

14 A Well, my feeling is that if it is a dual
15 porosity system in West Puerto Chiquito, there would very
16 definitely be a possibility that the fracture volume rela-
17 tive to the total volume in West Puerto Chiquito in the C
18 Zone might be more substantial than the 10 percent value
19 that we attribute to Gavilan, and I say that strictly be-
20 cause I see some very high capacity wells in the West Puerto
21 Chiquito area. somewhat higher than the capacity wells we
22 see in the Gavilan area.

23 Q In your discussion of possible pressure
24 maintenance or gas injection in the Gavilan Pool you state
25 that the -- perhaps the best way to -- to get involved in

1 this would be upon the depletion of the -- the depletion of
2 the primary reserves, is that correct?

3 A That's correct.

4 Q And I won't ask again about the West
5 Puerto Chiquito Pool but it appears that Mr. Greer's gas in-
6 jection program has been -- has had considerable effect upon
7 the production rates in that -- in that pool, is that cor-
8 rect?

9 A Well, I think we ought to keep in per-
10 spective that we've produced in excess of 3-million barrels
11 in 3 years out of the Gavilan Mancos Pool where the West
12 Puerto Chiquito area has produced 8-million barrels in 25
13 years.

14 Now the production has stayed relatively
15 constant but I suspect that in the Gavilan Mancos Pool had
16 we restricted rates down to fairly low values that -- that
17 we could have maintained them at a constant, constant level
18 for quite some time as well.

19 So what I'm saying is that the evidence
20 of constant production is not necessarily evidence of --
21 that the -- of the optimum plan of depletion.

22 Q It appears from exhibits that Mr. Greer
23 presented that the gas injection has had an affect on the
24 recovery. Do you -- I guess I'm asking for an opinion and
25 you don't have to answer if you don't want to, but do you

1 believe that that reservoir was near depletion as far as
2 primary term is concerned when gas injection was --

3 A No, I don't. I don't believe that. I --
4 it -- in fact we know what the production pressure history
5 was for that reservoir is what we showed on Figure 69, so we
6 know it wasn't near depletion.

7 There are substantial differences in the
8 structural characteristics of the Gavilan Field and the West
9 Puerto Chiquito east area and I think we recognize those.

10 Also, the benefit that we see of gas in-
11 jection is to sweep out -- is to sweep out the oil out of
12 the high capacity fracture system. It's not going to dis-
13 place oil out of the tighter matrix blocks. In fact that is
14 the same statement that Mr. Greer makes about his tight --
15 his tight fracture blocks, is he says they don't -- they
16 aren't displaced. They drain out.

17 So if we inject gas and we sweep down a
18 high capacity fracture system and that's all the oil that
19 we're going to get out, then we need to know the percentage
20 of oil that's in that high capacity fracture system relative
21 to the amount that's in the matrix, and if there is a rela-
22 tively small amount in the high capacity fracture system,
23 we're going to sweep through there very rapidly and have
24 early gas breakthrough.

25 Now Mr. Greer has the advantage -- he may

1 have, I'm going to speculate again, in my opinion he prob-
2 ably has -- he does have a dual porosity system. He probab-
3 ly has a higher proportion of fracture porosity to total
4 porosity. So he has more oil to sweep out with his gas in-
5 jection program.

6 A second benefit that he has is that the
7 gas will naturally stay at the top of the reservoir, the
8 crest of the reservoir, and the oil at the base, because of
9 the vast difference in structural characteristics that occur
10 in the West Puerto Chiquito Pool.

11 So I consider it comparing apples and
12 oranges to compare what will happen in Gavilan with what's
13 going -- with what may have happened in West Puerto Chiqui-
14 to.

15 Q Thank you very much. That's all I have.

16

17 QUESTIONS BY MR. LEMAY:

18 Q Mr. Hueni, I've got a tough time trying
19 to understand and maybe accept this dual porosity, only be-
20 cause I visualize a reservoir that's fractured having all
21 gradations of fractures from some that are high capacity to
22 some that are very tight. I can visualize a system between
23 and therefore being in my mind one system but with these
24 great variations between maybe 10 Darcys and 1/10th of a
25 millidarcy. For my own clarification, how does this concept

1 fit mathematically in a model with what you're doing? Are
2 you dealing with two distinct types of -- of behavior and
3 therefore segregating them or is it gradational behavior?
4 Can you --

5 A Well --

6 Q -- call it gradational behavior?

7 A -- that is the -- that is what we're
8 trying to represent. We recognize that reservoirs are not,
9 you know, this or that. They are gradational in nature and
10 what we're recognizing is that there is substantial volume
11 of oil stored in what has to be a low flow capacity system,
12 and there is a substantial volume of oil -- or there may be
13 a minor volume of oil that is stored in a high capacity flow
14 system but which is the primary factor that allows the oil
15 to flow through the system.

16 People have proposed triple porosity sys-
17 tems and maybe they'll end up with even more than that to
18 try and more fully explain all the different gradational be-
19 havior that we (unclear) but we believe the dual porosity
20 system, that what we're doing is we are just recognizing
21 that there is a large amount of oil stored in a very low
22 capacity system and it is gradational and there is a small
23 -- and we think there's a small amount stored in the high
24 capacity system.

25 Now the -- one of the things we might say

1 with respect to fractures is that the permeability in a frac-
2 ture is proportional to the width squared of the fracture,
3 so if I have a fracture that's twice as wide as an adjacent
4 fracture, I have four times the permeability there, so when
5 I go from a fracture that is .001 inch wide to .01 inch
6 wide, I increase my permeability through that -- that part
7 of the reservoir by a hundredfold and that is what we're
8 trying to recognize, is that there are -- it is gradational
9 in nature but in general we can separate the entire volume
10 into something that's lower capacity and something that's
11 higher capacity, and that is, that's the essence of a dual
12 porosity system.

13 Q In terms of computer modeling I was won-
14 dering in visualizing the gradational system, would that fit
15 better into a one phase or a two phase or a three or four or
16 five phase, or how does that affect your modeling if you're
17 dealing in a gradational system?

18 A Well, models are always approximations to
19 reality. The advantage of having a model is that you can
20 put in variations in reservoir parameters and variations
21 that we've put in are we've, by setting out a model, this
22 cross sectional model, we've taken into account the height
23 factors. By setting out something that has length we've
24 taken into account the horizontal factors. By putting in a
25 dual porosity system we've tried to take into account that

1 there is some portion of the rock that has high flow capa-
2 city and then there is also a portion of the rock that has
3 low flow capacity.

4 So we're trying to put in all these --
5 these gradational factors and lump them into as complete a
6 description as possible.

7 Now, with respect to the different number
8 of phases that are present, when we talk about phases
9 present, we're talking about oil, gas, or water generally,
10 and normally you consider most oilfield systems to be com-
11 prised of three phases.

12 What we have done is we have included on-
13 ly the oil and gas in the model because the water, which re-
14 sides, let's say, in the matrix, whatever would be intersti-
15 tial in the matrix, is basically, as we see it, immobile.
16 It is not going to move substantially from -- from where
17 it's currently at, at least we think there is good evidence
18 that that will not occur.

19 Now the presence of water in the -- in
20 that matrix porosity undoubtedly has an impact on that ma-
21 trix porosity. In fact what it does is it causes a perme-
22 ability in the matrix porosity that was already low to be
23 lower because of the presence of water. We're well aware of
24 that and we believe that even with these low values that we
25 have for permeability, that we will still get sufficient

1 flow out of the low permeability rock.

2 Q Now I think I understand, but trying to
3 crystallize just a little bit, there is a disagreement --

4 A Yes, sir.

5 Q -- mainly with Mr. Dillon. He -- he has
6 assumptions and you have assumptions and I think in general
7 these assumptions, many of them appear to be the same, or at
8 least any variation, like in the bubble point, would not af-
9 fect whether your conclusions would be rate sensitive or
10 non-rate sensitive in a reservoir or correct me if I'm
11 wrong, I'm trying to find those areas of disagreement that
12 would impact the sensitivity of that reservoir to a great
13 extent, so that you could say it was either rate sensitive
14 or non-rate sensitive, and I take it permeability or trans-
15 missibility would be one. If you go from 10 Darcys to 400
16 millidarcies, that's going to be a factor that would greatly
17 swing that thing to rate sensitive or non-rate sensitive.

18 A I believe that it would be fair to say
19 within the rates at which the field can practicably be pro-
20 duced the tighter the permeability, the lower the transmis-
21 sibility value, the more rate sensitive the reservoir would
22 be.

23 Q So that it works reversed. If you tight-
24 en up the rock, you're going to get a more rate sensitive
25 reservoir.

1 A That's absolutely right.

2 Q So in that case the assumptions of Sun
3 would tend to support the conclusions of -- of your study.
4 From that, at least from that figure. I don't know. I
5 don't want to put words in your mouth, but --

6 A No, I --

7 Q -- we have -- we have the 400
8 millidarcy transmissibility figure that you used as an aver-
9 age and the, I think, the 10 Darcy feet that was an average
10 from Mr. Dillon's assumptions.

11 A Well, if we -- if we had 10 Darcy feet in
12 the reservoir, we would end up with a less rate sensitive
13 phenomenon in the rate sensitive than whatever we have,
14 within the range, now I -- I testified already that I be-
15 lieve that the way that the Sun study was scaled up ended up
16 showing rate sensitivity at such high rates that they are
17 not rates that are going to be realized in the field.

18 Q The other elements that I find, of
19 course, rock compressibility, you testified that that factor
20 they were -- well, more conservative than in initial figures
21 and you believe that the compressibility is greater than --

22 A It will not affect the rate sensitivity
23 but it does affect the interpretation of the reservoir in
24 terms of how much is there, what the storage capacity is,
25 and calculations such as those are sensitive to the compres-

1 sibility, as is the -- well, the calculation of oil in place
2 in material balance. So --

3 Q Okay, so that would affect it from that
4 point of view.

5 The other thing was this -- you men-
6 tioned, and I hope I understood you, the dual porosity sys-
7 tem again versus a single porosity system, that the dual
8 porosity system would tend to favor less sensitivity in the
9 reservoir as compared to a single porosity system?

10 A That is correct, because the only way the
11 oil can get from the low, low matrix porosity blocks or if
12 you want to talk about tight matrix blocks, tight fracture
13 blocks, the only way the oil gets out of one and into the
14 other is by a pressure differential. You have to have a
15 lower pressure in the high capacity fracture system to cause
16 oil to flow out of that, that system.

17 Q Okay.

18 A And so, so you actually want a high pres-
19 sure differential to get the -- get the flow out of the sys-
20 tem, so -- and since 90 percent of your oil is contained in
21 those -- those types of -- that type of porosity, then you
22 actually are not hurt particularly by going to higher rates.

23 Q That's -- that's the question I wondered
24 how -- go back to that statement, 90 percent matrix, 10 per-
25 cent fracs, do you have any proof of that or is that an as-

1 sumption?

2 A No, it was not an assumption. We, as I
3 said before, we ran approximately 80 to 100 individual simu-
4 lation runs to try and duplicate field performance and we've
5 heard already people question about the uniqueness of the
6 runs.

7 Well, we are much, much closer using the
8 set of parameters that we ended up with, the description
9 that you've heard us provide, than we were able to arrive at
10 using alternative descriptions. In fact we used a descrip-
11 tion very similar to what Sun did, and we find that that is
12 not anywhere close to representing field performance on the
13 average.

14 So we believe that, you know, we believe
15 that we have a fairly unique description.

16 Q But -- but the proof of that was mainly
17 in the computer modeling? There was no core studying or
18 anything that would, to your knowledge, that would divide up
19 the tight rock and say, okay, that's -- out of this unit
20 volume 10 percent comes from the -- this high -- this big
21 fracture here; the other 90 percent from this tight rock?

22 A Well, the core studies, as we've testi-
23 fied before, indicate that there is matrix porosity, and de-
24 ciding that a ratio of 90 percent to 10 percent value, if we
25 had, for example, 50 percent fracture volume compared to --

1 well, maybe -- could I refer to one of the exhibits?

2 Q Sure, please do.

3 A If we would look at Exhibit 75, we pre-
4 sented several -- we presented a dual porosity system with
5 different ratios of this -- this fracture volume to total
6 volume, and you can see three cases here, one for a 50 per-
7 cent ratio of fracture volume to total volume; one for a 20
8 percent and one for a 10 percent. You can see what they do
9 is they affect the GOR performance.

10 Now if we had 50 percent of the fracture
11 volume, if the rock was -- had porosity of which 50 percent
12 was represented by the fracture volume, then we would have
13 expected the gas/oil ratio increases to be less substantial
14 than they actually have been and the procedure in matching
15 up the observed gas/oil ratio performance has allowed us to
16 vary, we varied this ratio of fracture volume to total vol-
17 ume and the value that we find that provides us with the
18 correct match of gas/oil ratio performance is not a 50/50
19 mix, it's a 10/90 mix.

20 Q It looks like at least in the lefthand
21 side of that curve those lines aren't that far apart. They
22 seem to spread out as you get more history on it.

23 A That's right, you need to look what the
24 scale is pressure on the X axis --

25 Q Right.

1 A -- not time --

2 Q Uh-huh.

3 A -- and the pressure that we're at right
4 now is a pressure of --

5 Q 1250, somewhere in there?

6 A Yeah, 1250, 1300, 1400, somewhere in
7 there, and I think that you'll see that there is a substan-
8 tial difference at those kinds of pressure levels, and there
9 -- it becomes a very recognizable difference when you com-
10 pare actual performance to the calculated performance, and
11 we've included and would be prepared to show later on that
12 there -- that the 10 percent number is much more reasonable
13 than say a 50/50 mix.

14 Q In that same regard, again trying to un-
15 derstand the reservoir, did I understand you correctly when
16 you mentioned something about interference tests, you didn't
17 believe them or you didn't place any value in them?

18 A No, I believe them. The way interference
19 tests normally are run is -- or one of the purposes they're
20 normally run, is to identify properties between adjacent
21 wells. They -- and what oftentimes you're looking for, if
22 you have three wells, you're looking to see if the
23 permeability is different in one direction than it is in the
24 other direction, and so you run your interference test and
25 you perform your calculations on those interference tests.

1 There are certain sets of assumptions,
2 and this is true not only for interference tests but for
3 pressure build-up tests, you cannot just run a test and then
4 take it and arbitrarily put a line on a curve and calculate
5 out what you think is the transmissibility indicated by that
6 test. You have to assure that the formulas that you are us-
7 ing to make those calculations with are not -- or that they
8 are actually valid for the type of tests that you ran and
9 what my comment was with respect to interference tests,
10 dealing with a fractured reservoir, a dual porosity system
11 reservoir, as we see it is that the equations that would ap-
12 ply in the interference test analysis may not be valid at
13 the -- for the conditions the tests were run at out in this
14 -- this particular field. I realize that was a bit of a
15 roundabout answer, but --

16 Q We just wondered what kind of value you
17 placed interference tests as an indication --

18 A Well, in certain reservoirs under the
19 right conditions we place a great deal of value on them. We
20 just don't believe in this particular reservoir that the in-
21 terference test could be properly interpreted to get 5 to 10
22 Darcy feet of permeability, although once again, this was a
23 test run back in the '65 to '68 timeframe for which we have
24 very little information -- on which we have very little in-
25 formation.

1 Q I guess I wasn't so much concerned about
2 it as a measurement of permeability but as a function of
3 drainage. Another way to phrase that in terms of a ques-
4 tion would be do you believe these high capacity wells are
5 draining low capacity areas beyond the proration unit?

6 A That would imply that we would have to be
7 able to assign a certain amount of oil in place to each pro-
8 ration unit. In a dual porosity system we've said that we
9 have -- we have fracture porosity and we have matrix poro-
10 sity. Fracture porosity in turn is a function of fracture
11 width and fracture intensity, so we have to know what the
12 width and the intensity is in a given area.

13 If we have essentially constant width and
14 a -- just a variation in intensity, then fracture porosity
15 varies almost directly as the productivity of the well.

16 On the other hand, if we have no change
17 in intensity, but simply a change in the fracture width,
18 then the porosity varies as the cube root of permeability.

19 Well, that's -- that's quite a difference
20 in assigning porosity on the basis of productivities to
21 given areas, and what we're saying is that you have to know
22 both width and you have to know fracture spacing, and unfor-
23 tunately, we'd like to say that we know a lot about this re-
24 servoir, but as several people have cited before, we have
25 just very, very limited samples out of that reservoir.

1 Q Well, maybe in a specific example I can
2 get your opinion of this.

3 A Okay.

4 Q I think it was the previous testimony
5 they talked about the Merrion Krystina, that area in the
6 south end of Gavilan, without having any production from
7 those wells there was a drop in pressure.

8 With just my briefing I would assume
9 there's some drainage there without any production. It
10 could not be from that proration unit so some other well
11 would have to be draining that.

12 A Absolutely. Absolutely. The -- there is
13 pressure communication throughout the field. We've seen
14 that in the terms of pressure plots, and we believe that the
15 recoveries that individual wells will achieve will be pro-
16 portional to the rates at which they're allowed to produce,
17 so if you have two wells, each of which you're allowed to
18 produce at 100 barrels a day, they are probably going to
19 split the reserves pretty much.

20 On the other hand, if one has the capabi-
21 lity of -- of producing two times what the first one is,
22 then it will get twice the recovery.

23 The problem that we have, we recognize
24 that. The problem we have is how do we determine that the
25 one that's getting two times the recovery doesn't have two

1 times the oil in place to begin with.

2 Q This is what I was trying to get around
3 to. If we assume that 90 percent of the reserves are in the
4 low capacity system and 10 percent are in the high frac-
5 tures, and for hypothetical cases let's take a well that can
6 produce 1000 barrels a day and one that can produce 10 bar-
7 rels a day. Let's say we have an allowable that will allow
8 that well to produce 1000 barrels a day. The 10 barrel a
9 day well certainly can't come close to in my way of thinking
10 draining its reserves, and would be drained quicker by the
11 1000 barrel a day well if it was connected to the porosity
12 system, or the -- yeah, connected, compared to, say, 500
13 barrel a day allowable, which would draw less from this well
14 making 10 barrels a day.

15 Does that -- does that in your mind make
16 sense or is there any reason that that would be a correla-
17 tive rights issue?

18 A Well, it certainly is possible and in the
19 extreme it appears as such, but once again, when we get to
20 actual field variations between wells, you know, that was
21 one of the reasons we went through and showed the variations
22 of individual well performance, and we looked at it in terms
23 of gas/oil ratio versus pressure plots for individual wells,
24 and we noted that they differ from the field average, and we
25 are -- we have matched the entire -- we have matched the

1 average trend in gas/oil ratio and pressure performance us-
2 ing the computer model. That's the average for the field
3 and we've said 10 percent of the oil is in the -- in the
4 fracture system and 90 percent, as an average for the field,
5 but if we looked at each individual well we might conclude
6 that in the localized area around each individual well, that
7 that ratio would vary.

8 So once again we're back to the problem
9 of having this really complex interaction of parameters that
10 determine well performance and we have a great deal of vari-
11 ability out here, so we, you know, we calculated the 55-mil-
12 lion barrel oil in place number, which undoubtedly some-
13 body's already going to take issue with, and if we had ex-
14 tended that to calculating individual well oil in place
15 values, I think we've -- we're really jumping from the
16 frying pan into the fire.

17 Q If you were going to inject gas, say next
18 year, and the field was unitized, where would you inject, at
19 the top of the Gavilan Dome?

20 A I suspect that that is where we would in-
21 ject it, yes, and, well, part of the reason that we would
22 inject it up there is that's a lower pressure, that area is
23 lower pressure just because it's a little bit higher struc-
24 turally, and as a result of being a little bit lower pres-
25 sure, it has somewhat higher gas/oil ratios.

1 On the other hand, we also have some
2 poorer productivity wells up there.

3 I don't think that you would necessarily
4 -- I mean I can speculate on that, but I think you would ob-
5 viously want to do a considerable amount more study than
6 speculating.

7 Q And finally I will ask you the question
8 that you wanted to answer.

9 Why -- why didn't you model the produc-
10 tion rates less than 3600 barrels a day?

11 A The reason is, is that if we were to re-
12 view the -- the prediction run for 3500 barrels a day, we
13 would see that what we have is, we have the matrix depleting
14 as a solution gas drive. We would see that the fracture has
15 the gas already at the top of the fracture and the oil be-
16 low. In fact when we looked at those -- those individual --
17 well, I'll tell you what, we should turn to that. If we
18 would turn to Figure -- Figure 87. This is a plot of the
19 gas saturations in each of the individual cells in both the
20 matrix and a fracture system, and at the time of ultimate
21 depletion, well, depletion down to an average pressure of
22 256 psi, psi in the model, the time is 2,520 days in the
23 model and if we look at that point, we would see that we
24 have a uniform gas saturation in the matrix and we would see
25 that we have rates of -- or we have gas saturations that are

1 essentially completely filling up the oil pore volume at the
2 top of the fracture system.

3 Now, I hope it's apparent, it may not be,
4 but there is really nothing that we can do to make that a
5 better situation. We've got the gas moving to the top.
6 We've got the matrix depleting with the uniform gas satura-
7 tion and that is not rate sensitive. The matrix depletion
8 is not rate sensitive, so there's really nothing that we can
9 do that would cause the picture that we see here to look any
10 better.

11 So we could look at 1800 barrels a day
12 but it's going to look exactly the same as what we see here.

13 MR. LEMAY: I don't believe I
14 have any more questions.

15 Are there any more questions of
16 Mr. Hueni?

17 MR. HUMPHRIES: I have one
18 more.

19 MR. LEMAY: Yes.

20

21 QUESTIONS BY MR. HUMPHRIES:

22 Q I think I understood you to say you went
23 through a test to determine or at least calculate the rela-
24 tive pressure in the matrix and in the fractures. Did you
25 tell us in your report?

1 A Well, what I said is that we believe we
2 have a dual porosity system. A dual porosity system re-
3 quires the fracture pressure to be less than the matrix
4 pressure, and the only way that we have of identifying that
5 difference between the two pressures is really the output
6 form the simulation model.

7 So it's not a field test.

8 Q It was not a field test --

9 A No.

10 Q -- to determine -- that convinced you
11 there was greater pressure in the matrix than there was in
12 the --

13 A If we have a dual porosity system, we
14 have a greater pressure in the matrix than we do in the --

15 Q And since we're talking about rate sensi-
16 tivity, if you vacated the fracture system is there ever --
17 are there circumstances in which that fracture can be in-
18 vaded by water or gas or any -- any other changes that would
19 change that pressure relationship and you'd no longer have
20 appropriate differential?

21 In other words, could you block by deple-
22 tion of the fracture system into the matrix the remaining
23 oil by changing the pressure significantly?

24 A No, I don't -- that is what we basically
25 have modeled here. We have run several of our evaluations

1 with what we call pressure sensitive permeability, and we've
2 not seen any dramatic change in our results by taking the
3 pressure off the fracture system in terms of its effect on
4 -- the fracture system is a high capacity fracture system
5 connected to a tight matrix, and matrix will feed in at a
6 rate, but it's not going to feed in a high rate. I -- I
7 would hope that everybody would see that if we're dealing
8 with extremely low permeabilities, that that will not have a
9 high flow rate into the fracture system. So even though we
10 may, with a pressure sensitive permeability, lose some of
11 the permeability in the high capacity fractures, we're still
12 going to have more than sufficient permeability to produce
13 at pretty much whatever rate we are able to support with the
14 matrix.

15 Q But if you depleted the large fracture
16 system for all practical purposes to the point the field was
17 no longer economic, would you continue to have that kind of
18 pressure differential? It would seem to me that that would
19 have a great deal to do with rate sensitivity.

20 A Well, as long as you start to deplete,
21 initially as you start to deplete, the sequence that hap-
22 pens, we produce the reservoir at a high rate. A fracture
23 system depletes faster than the matrix system. You create a
24 large pressure differential. A large pressure differential
25 causes the matrix to flow in at as high a rate as it possib-

1 ly can. That helps support the pressure in the fracture
2 system. As the pressure in the entire system starts to be
3 drawn down, the rates at which oil will feed into the
4 fracture system diminish. The rates at which they'll be
5 taken out from the wells will diminish, and basically what
6 we have is a leveling off of the production curve. And so
7 eventually we reach a point in time where we reach depleting
8 -- depletion conditions for the reservoir. We have a low
9 pressure in the fracture system and almost as low a pressure
10 in the matrix system, as well, at that point in time. and
11 it's not rate sensitive.

12 Q Okay. Thank you.

13

14 QUESTIONS BY MR. BROSTUEN:

15 Q Mr. Hueni, in your response to a question
16 by the chairman, you were discussing a three phase or two
17 phase reservoir system whereby you can use a two phase oil
18 and gas and not include water because the water's immovable,
19 and then if I heard you correctly, and this is where I want
20 some clarification, you stated that the water in the micro-
21 fracture matrix porosity also diminished the ability of the
22 oil to move out of that matrix porosity, is that what you
23 said?

24 A Well, I think it needs to be recognized.
25 I mean there -- there are certain -- we said that when we

1 ran our core plug tests, those are all run on a -- on a sin-
2 gle phase type system and when we have multiple phases in
3 there the effect of the multiple phases is basically to re-
4 duce the permeability to each individual phase.

5 So if we have core plug tests that are
6 run and they have a low permeability to a -- the flow of a
7 single fluid, then if we put two fluids in there they're
8 going to have a still lower flow and what I'm saying is that
9 we recognize the fact that permeability of the matrix will
10 be -- will be reduced from that shown in the core plug ana-
11 lysis due to the presence of water.

12 Q In a sense, though, we have a water wet
13 reservoir, is that not correct?

14 A We do not know if we have a water wet re-
15 servoir or not.

16 Q If we did, and the water was immobilized,
17 it would stick around the facies of the sand grains or the
18 fracture facies, that would facilitate the (not clearly un-
19 derstood) -- it would facilitate the movement of oil out of
20 the matrix porosity, I suppose, to (not clearly understood).

21 A Well, I think that's right, as opposed to
22 an oil wet reservoir, but once again the presence of water
23 reduces the pore size that the oil has to move through, so
24 you do have a reduction in permeability --

25 Q Okay.

1 A -- when you do have water present, and we
2 recognize that. We once again ran a two phase model with
3 the concept being that we have a low permeability matrix and
4 -- but even with a very low permeability matrix, we have
5 sufficient permeability to have flow from the matrix into
6 the fracture system.

7 Q Thank you very much.

8 MR. LEMAY: We'll let you go in
9 a minute.

10 A Okay.

11
12 QUESTIONS BY MR. LEMAY:

13 Q Trying again, to crystallize the areas of
14 disagreement, I think the first group testified that at
15 present pressure depletion rates, something like 30 pounds a
16 month or in that range, I think, that meant the field would
17 be depleted in three years. Your graphs and all your
18 information show at the present rate a 10 year depletion.
19 What are the reasons for that discrepancy? Can you comment
20 on that?

21 A Well, I think it would be fair to say
22 that their rate of depletion is based on withdrawals of
23 the current -- of the current level, but as pressure
24 declines, productivity declines, as well, and that extends
25 the life of the field.

1 Q I'm not sure again, as --

2 A Okay. I believe, and I hope once again
3 I'm not misstating their position, but I believe that their
4 very short life for the field is based on taking out as much
5 oil next year as they're taking out today.

6 A I'm following you.

7 Q But as they take out more oil, the pres-
8 sure declines, the productivity declines, and it extends the
9 field life.

10 Q And you've extended that curve out more
11 with the reduction in volumes each year.

12 A Well, that's -- that's right. Ours is a
13 -- we show the decline curve as it extends out as volumes go
14 down.

15 Q Okay.

16 MR. LEMAY: Any more questions
17 of the witness?

18 MR. LYON: May I ask just one
19 question?

20 MR. LEMAY: Okay.

21

22 QUESTIONS BY MR. LYON:

23 Q I think the answer to this is obvious but
24 I just wanted to confirm it.

25 Referring to Figure 49, in your tabula-

1 tion of fluid properties, MUo, the pressure of 1114, should
2 that not be 0.5 rather than 0.1?

3 A You're right. That's entered incorrect-
4 ly. For the oil in place calculation, that is not one of
5 the parameters used.

6 MR. LEMAY: If there are no
7 other questions of the witness, he may be excused.

8 MR. LOPEZ: Mr. Chairman.

9 MR. LEMAY: Yes, sir.

10 MR. LOPEZ: I still have some
11 redirect.

12 MR. LEMAY: Well, sure, please
13 redirect, Mr. Lopez. I didn't mean to cut you off.

14

15 REDIRECT EXAMINATION

16 BY MR. LOPEZ:

17 Q Mr. Hueni, I believe Mr. Kellahin stated
18 this morning that your testimony this week in this hearing
19 had differed from the testimony you gave at the time of the
20 August hearing.

21 Would you please tell us in what
22 respects, if any, your testimony this week has differed from
23 your testimony in August, and if there is a difference, why
24 there is a difference?

25 A Yes. In general, most of the conclusions

1 that we reached in the August hearing are very similar to
2 what we reached in our study here. The changes in any of
3 our conclusions are based on the additional testing and
4 studies that have been completed in the interim and that were
5 recommended, that have been recommended previously by
6 various parties in the field.

7 But we have not changed -- in the August
8 hearing we indicated that we felt the fluid properties that
9 were associated with the reservoir, with the fluid property
10 sample that was available for the reservoir were not cor-
11 rect.

12 We still have that same opinion, although
13 we have a slightly revised estimate of what the bubble point
14 pressure is.

15 We believe that the gas was segregated in
16 the reservoir.

17 We still believe the gas is segregating
18 in the reservoir. We believe it is occurring in the high
19 capacity fracture system and in the matrix, however, it is
20 not segregating, and so we feel that we're consistent with
21 that, as well.

22 We made a statement that increased gas
23 saturation at the top of the formation would eventually des-
24 cend to the level of perforations causing increased GORs
25 could not be avoided in the long term, therefore high GORs

1 should not necessarily be attributed to a solution gas drive
2 mechanism without confirmation from production control sur-
3 veys.

4 We've run those production control sur-
5 veys and we do see gas segregation.

6 Pressures at that time were currently be-
7 low the bubble point. Well, they still are. We agree with
8 that.

9 We said pressure production data indi-
10 cated a reasonable value of oil in place at 100-million bar-
11 rels. This could be reduced depending on lab measurements
12 on rock compressibility. We carried out the lab measure-
13 ments and they've consequently been reduced.

14 We said that matrix porosity might con-
15 tribute to ultimate recovery, although the magnitude of the
16 current contribution could not be determined at that point.
17 It says the contribution of the matrix will be more signifi-
18 cant as the pressure is lowered. That is exactly what we're
19 saying today, no difference.

20 Comparison of predicted solution gas
21 drive performance to actual data indicates the reservoir is
22 not a solution gas drive. That is exactly what we're saying
23 today.

24 We said in order to maintain current gas
25 segregation in the reservoir producing rates need to be

1 limited and oil allowable of 702 barrels of oil per day per
2 320-acre unit, and a gas allowable of 453 MCF per day based
3 on an initial solution gas/oil ratio of 646 is more than
4 adequate to maintain effective segregation and we are still
5 saying that you can produce at the statewide top allowable
6 and not cause -- cause any kind of damage to the reservoir.

7 In other words, we consider that we have
8 modified our position primarily based on the additional test
9 information that we have seen, integrating that into a com-
10 plete reservoir study.

11 Q I'd now like you to refer to Figure 70,
12 Figure 70, and explain again why you used a single porosity
13 system as a model rather than a dual porosity system.

14 A Figure 70 was a schematic of the model
15 that we used to study possible communication between the
16 Gavilan Mancos Pool and the east side of the West Puerto
17 Chiquito Pool, and we indicated that we used a single poro-
18 sity model to study this -- this behavior as opposed to the
19 dual porosity model that we used to interpret Gavilan Mancos
20 Field performance.

21 We'd like to say simply that the reason
22 that we used a single porosity system model is that we were
23 not attempting to match gas/oil ratio performance in the
24 pool, as we were doing with the Gavilan Mancos Pool. All we
25 were trying to do is establish a degree of communication be-

1 tween the two pools, so we do not need as sophisticated a
2 model to achieve that purpose, and a single porosity system
3 with a variable transmissibility barrier somewhere between
4 the two pools is sufficient to -- to serve that particular
5 purpose.

6 Q And finally I think Mr. Kellahin raised
7 some discussion with respect to the uniqueness of the model
8 you employed to analyze this reservoir and I think suggested
9 that you could manipulate any number of different numbers
10 and parameters and get the same results.

11 Would you care to comment?

12 A I think it always has to be said in fair-
13 ness that there, because there are an infinite variety of
14 different combinations of field performance parameters that
15 you can study, that if you only study 100 of them that you
16 may not have obtained the only match that's possible to ac-
17 tual field performance.

18 What I would like to say is that we have
19 studied a variety of different systems within the reasonable
20 bounds of several of the different parameters and we are not
21 able to obtain a history match of nearly the quality that
22 we've presented to you today with any other combination of
23 parameters that we have found to be reasonable in describing
24 the field performance.

25 Q And this match was represented on your

1 Figure 80, is that correct?

2 A That is correct. That is our match, on
3 Figure 80.

4 Q In your experience do you encounter many
5 matches that good?

6 A No. No, there, especially in heterogen-
7 eous reservoirs such as we have here, this is, I would con-
8 sider, a very excellent match.

9 MR. LOPEZ: I think that's all
10 my questions.

11 MR. LEMAY: Thank you, Mr.
12 Lopez.

13 Any additional questions of the
14 witness?

15 If not, he may be excused.
16 Thank you very much.

17 At this time we'd like to call
18 a couple witnesses if we may, just to -- for points of clar-
19 ification mainly.

20 Mr. Richard Ellis, would you
21 come up just for a few minutes?

22 MR. LEMAY: The witnesses being
23 recalled, I just want to remind everyone that they're still
24 under oath, so we won't have any swearing in.

25 Mr. Humphries has some
questions about the geology of this reservoir and how it got
to be what it is today.

1 RICHARD ELLIS,

2 being recalled and remaining under oath, testified as
3 follows, to-wit:

4
5 QUESTIONS BY MR. HUMPHRIES:

6 Q Well, probably everybody understands it
7 but me, but we've talked about a very brittle rock that's a
8 zone between A, B, and C, and we have some indication that A
9 and B, at least in the Gavilan Mancos are very, very close
10 together. In West Puerto Chiquito are they that close to-
11 gether?

12 A In a vertical sense?

13 Q Uh-huh.

14 A Well, the entire Niobrara producing in-
15 terval is -- is a net thickness of about 300 feet.

16 The A, well, I couldn't tell you without
17 looking at a log just how thick the overall A Zone is, but
18 if you don't mind me taking a guess, 60 feet; maybe the B
19 might be 80-90 feet; and then the C would be the rest of
20 that.

21 Q Is there a significant separation between
22 them?

23 A Well, I think in describing the reservoir
24 I was -- I was placing separations between individual units
25 that I consider to be reservoir response units. I used that

1 terminology and I also characterized them as being highly
2 anisotropic and brittle.

3 The intervening zones are what I would
4 call the massive and more plastic lithologies, but even
5 though they are fractured to some extent, they don't have
6 the fracture intensity that the surrounding brittle zones do
7 and in fact, because of the plastic nature of the lithology,
8 they probably heal to some extent. By "heal" I mean maybe
9 the fracs would close up, you know, because of the nature of
10 the lithology.

11 So that's what I meant by the separation
12 between those zones.

13 The actual brittle zones are not all of
14 the A, for example, or all of the B, with some kind of in-
15 tervening barrier between them. They would be individual
16 units in the B and I think based on the core work, you know,
17 I could identify, maybe, 3 or 4 significant individual brit-
18 tle zones in that unit.

19 Q Well, in West Puerto Chiquito you have
20 production from A, B, and C, is that correct?

21 A Yes, you do.

22 Q And do you agree that A and B are almost
23 one zone and essentially vertically fractured to the point
24 that they produce --

25 A Together.

1 Q -- together as one zone?

2 A Oh, I think every well out there is hyd-
3 raulically fractured, so you're communicated vertically by
4 virtue of hydraulic fracturing but the zone are separate in
5 the reservoir is all I'm saying.

6 Q But then there's enough of the other mat-
7 erial that you've described as being very plastic in nature
8 separating C from A and B --

9 A They're discrete units.

10 Q -- to make a significant difference from
11 West Puerto Chiquito --

12 A It prevents the vertical fluid flow --

13 Q From C to A and B?

14 A -- in the reservoir. C to B, B to A, C
15 to A.

16 Q Well, okay, the --

17 A Right. I'm separating both the A and the
18 C reservoir.

19 Q Hasn't a great deal of the testimony dis-
20 cussed about what's happening west of this barrier indicated
21 that perhaps that there is almost homogenous zone, A and B
22 together, and --

23 A Okay, well, that's not my interpretation,
24 no.

25 Q Okay, then maybe that is what I was --

1 but in West Puerto Chiquito I see three distinct zones.

2 A Okay, I see distinct producing zones
3 within all of the three different units in -- on both sides
4 of the existing boundary.

5 Q Okay.

6 A That's what I've testified to.

7 Q What I started to ask you awhile ago is
8 if that structure or formation or whatever you want to call
9 it, being the brittle zones interspersed with the rather
10 fluid ones in the Niobrara formation, if it bends is that
11 part of what creates the frac? I believe there was some
12 testimony about that, that at the outside of the bend
13 there's a greater fracture than there is at the inside of
14 the bend?

15 A Yeah. Well, it's -- it's -- that's a
16 very skill-dependent observation, you know, your radius of
17 curvature obviously is critical in this instance, you know,
18 if you look at the diagram that was presented, you have a
19 false impression of the radius of curvature of the actual
20 fold.

21 The radius would be on the order of
22 miles. The actual thickness of the unit is on the order of
23 300 feet, and therefore you can't say that the top of the A
24 over the crest of an anticline, for example, would fracture
25 preferentially relative to the bottom of that C unit, for ex-

1 ample, just because of the scale of your observation.

2 Q Is there something that you see or your
3 experience tells you or your model definition or anything
4 that we've talked about in all this, that tells you in that
5 restrictive barrier that supposedly divides the two, West
6 Puerto Chiquito and Gavilan Mancos Pools, that there is some
7 structural difference there that's actually dividing them?
8 I mean we've heard a lot of testimony of being gas communi-
9 cation, oil probably, or fluid moves back and forth, and yet
10 we're talking about the distinct difference between the two
11 pools and perhaps setting a boundary between those two
12 pools? Is there something there that -- in this particular
13 diagram here it appears that this syncline may contribute to
14 the barrier. Is that your assessment?

15 A No --

16 Q Or do you believe there is a barrier
17 there at all?

18 A Well, I don't believe there's a barrier
19 there at all, you know, as I testified earlier, the struc-
20 tural development was the result of a single set of applied
21 tectonic forces in the area. These are compressional fea-
22 tures. The fractures that resulted in these individual in-
23 tervals resulted from that same application of forces.

24 You will have zones of increased fracture
25 intensity at zones of increased structural intensity, which

1 would correspond to your points of maximum curvature, but
2 they don't in any sense of the word create a situation where
3 you have a barrier to fluid flow across that supposed bound-
4 ary of the two pools.

5 There's nothing geologic that would lead
6 me to believe that.

7 Q And you've seen enough information from
8 both sides of the barrier from wells, known geology, to tell
9 you that things are pretty constant, that there's no major
10 syncline, and then I asked you yesterday --

11 A Oh, well --

12 Q -- or day before yesterday about that --

13 A Well, yeah. Well, you need to look a
14 true structural representation of the reservoir, excuse me.
15 That, you know, representation we see there, of course,
16 gives you an exaggerated structural view, if you want to
17 look it. It's, you know, really there's a 160 feet of re-
18 lief in the top of the nose to the bottom of the syncline.
19 It's, you know, it's not a (unclear) structure if you look
20 at the scale of the (unclear).

21 Q Would that formation, if it looked like
22 that, it wouldn't be planal, would it? It would have all
23 kinds of -- like if you waved a blanket or something over
24 it.

25 A Yeah, going over the structure I guess

1 you could use that characterization.

2 Q Would that be a fair representation of --
3 would that affect well to well performance, or the geology
4 surrounding the well which might create different kinds of
5 fractures, intensify the fractures?

6 A Well, at first blush I think that it
7 would, but you could see a distinct lack or correlation be-
8 tween the second derivative map and existing production da-
9 ta; in fact, no correlation.

10 Q I think that answers the question. Thank
11 you.

12

13 QUESTIONS BY MR. LEMAY:

14 Q I have one, Mr. Ellis. Just concerning
15 these, the fracture patterns, I think you testified that
16 projection of what you saw at the surface or through their
17 photogrpahs, and so forth, led you to believe there's a ran-
18 dom fracture pattern and correct me if I'm wrong in what you
19 said, but subsequent testimony established some north tren-
20 ding faults on the south end of the Gavilan Field, anyway,
21 out of a couple wells.

22 After hearing that did that change your
23 idea of maybe the fracture pattern within the field?

24 A Well, I think certainly after looking at
25 the televiwer logs, you know, you could have a fracture

1 orientation at that scale of observation that gives you that
2 orientation, but again, you know, previous testimony last
3 August found a single dominant fracture direction of north-
4 west/southeast, and the critical thing again would be the
5 nature of your observation.

6 If you look at the scale of the borehole
7 you're looking at a 7-inch borehole picture of the subsur-
8 face. You're dealing with vertical, sub-vertical fractures
9 at spacings, indicated spacings of, I believe, two to six
10 inches. If you have a spacing of a fracture at even any-
11 thing more than that, you're going to miss it, you know, in
12 your observation of the borehole, you know, you have a dis-
13 tinct lack of statistical validity in trying to relate a do-
14 minant fracture direction observes in a borehole to an over-
15 all reservoir fracture pattern development. In fact, the
16 borehole, if you want to characterize it simply-mindedly,
17 samples less than one billionth of one percent of the total
18 reservoir. Even if you had -- all 179 wells had dipmeter
19 tools or televiewer logs in it, why I still wouldn't neces-
20 sarily believe, you know, you were looking at a single frac-
21 ture direction and I seriously doubt you could find that in-
22 dication if at all.

23 Q That's all we have to look at, whether
24 it's a core or logs. Of course the logs have a little
25 greater radius of investigation --

1 A Yeah.

2 Q -- but we're limited with those data
3 points.

4 A Well, I think when you're dealing with
5 geologic observations that have some lateral continuity in
6 the subsurface, that makes sense. If you're dealing with
7 vertical observations, you know, it's -- actually you're
8 looking at a line that's, you know, infinitesimally small
9 and trying to observe that, you know, it's a different type
10 of observation whether you're looking vertically rather than
11 horizontally. With a borehole it's vertical, and I'm saying
12 that's a statistically invalid way to characterize reservoir
13 properties of that extent.

14 Q In trying to develop a pattern of drain-
15 age, if there were more vertical fractures aligned in a
16 north/south direction, wouldn't you expect more communica-
17 tion in a north/south direction with the individual wells
18 than in an east/west direction?

19 A If you had some kind of dominant fracture
20 direction you might suppose there was some kind of direc-
21 tional permeability in the reservoir, that's true.

22 Q The only other thing, here again it was
23 maybe hearsay or something that was -- I read somewhere,
24 that it's possible to pick up some of these fracture orien-
25 tations, areas of fractures, from seismic surveys.

1 Have you had any experience at all with analyzing any geo-
2 physical methods that lead you to believe that fractures can
3 be shown on seismic?

4 A Well, if you're going to use the seismic
5 tool for that, that particular purpose, then I'd want to see
6 some kind of vertical offset on these fractures. I think
7 we're probably dealing with shear fractures of the subsur-
8 face. If there is no vertical offset, I seriously doubt the
9 seismic tool will help. You might see minor discontinuities
10 if you move along this section, but that probably wouldn't
11 be a tool we'd want to use in this particular environment.

12 MR. LEMAY: Did you want any
13 redirect after we ask questions or --

14 MR. KELLAHIN: I understood the
15 ground rules to be that we would not.

16 MR. LEMAY: Well, I would pre-
17 fer that but you're always welcome to.

18 MR. KELLAHIN: You're doing
19 fine without us, Mr. Chairman.

20 MR. LEMAY: Well, fine, I think
21 we are, too. Thank you. We're trying to answer a few ques-
22 tions.

23 At this point we'd like to take
24 maybe a fifteen minute break and come back with just a
25 couple more witnesses.

1

2

(Thereupon a fifteen minute recess was taken.)

3

4

5

MR. LEMAY: Is Alan Emmendorfer here?

6

MR. EMMENDORFER: Yes, sir.

7

8

MR. LEMAY: Okay, Would you come up here for a few questions, please?

9

10

ALAN P. EMMENDORFER,

11

resuming the witness stand and remaining under oath, testi-

12

fied as follows, to-wit:

13

14

QUESTIONS BY MR. LEMAY:

15

16

Q Just a couple of quick ones here, if you don't mind.

17

A

No problem.

18

19

20

21

Q You heard what Mr. Ellis said concerning fracture patterns and what was said previously concerning fracture patterns. I just wondered if you agree or disagree with what was said --

22

A

Well --

23

Q

-- previously.

24

25

A I disagree with him and it's probably safe to say that since we've been involved with each other

1 since last summer that the only thing we can probably agree
2 on is that there's oil being produced out of the wells in
3 the Gavilan area.

4 Q You would characterize your relationship
5 as one that's typical of two geologists in disagreement.

6 Do you believe in the vertical fractures
7 that the predominant direction in that field is vertical
8 fractures are aligned in a north/south direction?

9 A I believe that there's a multi-direction-
10 al set of sheared fractures and that there's possibly an ex-
11 tensional fracture developed between the two that set dif-
12 ferent orientations as you go around the structural nose of
13 the Gavilan Dome.

14 Q Okay.

15 A I believe that those orientations can be
16 determined within the wellbore. I'm not prepared to present
17 testimony as to which directions under which particular
18 wells. I've done a complete study on that but I have not
19 brought that with me. We ran fifteen of those oriented mic-
20 rofracture logs that I testified with yesterday and I've
21 looked at everyone of those and I've done in depth statisti-
22 cal studies on those.

23 I think that I can tell the three princi-
24 pal fracture directions that are the shear fractures and the
25 extensional fracture that's between the two, if it does ex-

1 ist in a particular wellbore that I've got the information
2 from; however, I don't -- I know, and I don't think I'll
3 ever know how I'll be able to determine which of those par-
4 ticular sets of fractures may be preferentially enjoying the
5 current stress regime in the area, providing which ones of
6 those are the dominant fracture direction, which would be
7 the high capacity fractures. I think that I consider that
8 these logs are very accurate in their determination of
9 orientation within the logs, or within the wells.

10 We heard, I believe, Mr. Ellis and myself
11 quoted Dr. Stearns, that has done quite a bit of fracture
12 work. It's a very recent article himself and a graduate
13 student completed and a summary of this article was in one
14 of the more recent geological -- GSA Bulletins where they
15 had GeoNotes, and in a very recent one they stated that even
16 in a highly fractured dolomite, that to study the whole
17 field you would have to have up to a cube on the surface
18 of, say, or even subsurface, of 9 feet on a square side to
19 analyze and figure out fracture density within that reser-
20 voir; however, cores which, although you cannot tell the
21 density of fractures throughout the area, do or are accurate
22 in their depiction of the orientation of those fractures.
23 Fractures routinely are not random except in a few cases,
24 such as chicken wire type fractures, dehydration type stuff,
25 but these -- nature is very systematic in what it does and

1 these orientations in a core will be accurate to within the
2 reservoir itself, even though you may not be able to tell
3 the density of fractures within the area around the wellbore.

4 Q You had any experience with seismic in
5 fracture location, any geophysical tools like seismic?

6 A Fracture location in what respect? That
7 there's one fracture there or a swarm of fractures or --

8 Q No, I mean very highly fractured compared
9 to another area that wasn't so highly fractured?

10 A No, sir, I'm not.

11 Q Thank you very much, Mr. --

12 A Uh-huh.

13 Q -- Emmendorfer.

14 MR. LEMAY: Mr. Al Greer, could
15 you step back here? We could maybe ask you a few more ques-
16 tions?

17 MR. CARR: He'll be here in just
18 a second.

19 MR. LEMAY: Okay. Well, we can
20 do that later.

21 How about Mr. John Roe, to an-
22 swer another few questions?

23 Mr. Roe, basically, we want to
24 get into an area, I think, with you that has not been
25 covered that we think is an important part of the field and

1 important part of the correlative rights issue, and that's
2 the south part of the field that's been shut-in and people
3 are losing reserves without producing them. In that regard,
4 I'd like, maybe, Vic Lyon to ask you a couple of questions
5 in that area because he -- he's studied it and has some
6 points I think we need to get in the record.

7 MR. ROE: Sure.

8

9 JOHN ROE,

10 being recalled and remaining under oath, testified as fol-
11 lows, to-wit:

12

13 QUESTIONS BY MR. LYON:

14 Q Mr. Roe, I reviewed your -- your -- I
15 think it was the first exhibit, where you tabulated the data
16 on all of the wells.

17 There were a lot of wells that were shown
18 on there just as locations but I have strong impressions
19 that there are many wells that have been completed that are
20 not producing because they do not have access to gas gather-
21 ing lines.

22 Could you give us some data on that?

23 A I -- that tabulation, my Exhibit Number
24 One, from that I did not have anything that you could really
25 pick out which wells were not producing during December sim-

1 ply because they weren't connected to a pipeline, but most
2 of the wells that I showed that had zero production, or sev-
3 eral of the wells, during December were shut-in primarily at
4 the operator's option because they either could not get per-
5 mission to vent the gas that's associated with the oil or
6 the gas venting allowable, in other words, approximately 30
7 MCF a day, would be produced in such a short period of time
8 that the operator chose not to vent the gas for such a small
9 amount of oil.

10 There are approximately, I don't have
11 right here at my fingertips an exact number of wells that
12 are shut-in without a pipeline connection but I could get
13 that without too awful much trouble.

14 Q Do you know whether some of the wells
15 that are shown as producing are venting the gas because they
16 don't have a pipeline connection?

17 A I can speak for Dugan Production and Jer-
18 ome P. McHugh. For the most part there had been some pro-
19 duction prior to obtaining a pipeline connection.

20 Dugan Production has just recently
21 installed a rather extensive gas gathering system in the
22 northern part of the field, simply to have access to a mar-
23 ket. We were not able to obtain a -- we were able to -- or
24 we had our acreage dedicated, fortunately, and so we did
25 have a gas contract, but we -- we basically installed about

1 six miles of gas gathering system so that we could deliver
2 gas to El Paso because they would not come get it.

3 I am aware of -- that Mallon Oil had a
4 similar arrangement. They also had to install a fairly ex-
5 tensive gas gathering system, primarily for the same reason.
6 But prior to delivering that gas through our system
7 we did get some gas subject to an allowable restriction, or
8 a venting restriction.

9 Q I think the November issue of (not under-
10 stood), is the latest one that we had available, and when I
11 was reviewing that I did notice that McHugh had a gathering
12 system and Dugan has a gathering system. There was a system
13 called Gavilan Joint Venture, which I think is Mallon.

14 A Yes, sir.

15 Q Where do those gathering systems deliver
16 their gas?

17 A It's my understanding, and I'd like to
18 say I probably should not speak a whole lot for Mr. Mallon's
19 system, but it's my understanding that that's no longer --
20 that does gather gas from his wells and he ties into a line
21 that belongs to the Gas Company of New Mexico.

22 Dugan Production's line ties into El
23 Paso's main line in Section 32 of 26 North, 2 West, and it's
24 their lateral 2C-50.

25 Mr. McHugh's lines, he operates not just

1 one gathering system. We -- any of his wells that we've
2 completed, as much as practical, we lay one line to gather
3 as many wells as we can, but there is many lines that we've
4 laid to a central point. So there's more than just one cen-
5 tral delivery point.

6 But McHugh's gas pretty much goes into El
7 Paso's system, contracted to Northwest Pipeline.

8 Q All right. Now, yesterday when I was
9 visiting with you in a break in the hearing, you mentioned
10 that your Loddy Well, which has been used as a pressure ob-
11 servation well --

12 A Yes, sir.

13 Q -- was denied access to the market be-
14 cause of flaws in your contract with Northwest Pipeline.

15 A It's -- that's my understanding, yes. We
16 actually had the well connected for sales but we were not
17 given permission to first deliver gas into the line and
18 there are other wells that have experienced that same frus-
19 tration.

20 I think even some of Meridian's wells, we
21 had pressure data on them and again Meridian's engineer
22 would probably be better to comment on them, but the last --
23 the Hill Federal Wells, the 1, the 2-Y, and the 3, they were
24 quite awhile getting their wells hooked up.

25 Q I'll ask, as an engineer would you --

1 would you agree that necessity to vent that gas because of
2 lack of a pipeline connection is a matter of waste?

3 A It's definitely a matter of waste but I
4 had a very lengthy conversation with Mr. Chavez over that
5 very same issue.

6 Dugan Production, in order -- because I
7 -- because I feel the well to well communication in this re-
8 servoir is such that idle wells or undeveloped acreage is
9 suffering drainage, I myself view what I presented as Exhi-
10 bit Number Ten, which was the pressure history in the Loddy,
11 is a direct measurement of that fact and because I do feel
12 there is a pretty extensive well to well communication
13 throughout the reservoir, that an operator needs to be pro-
14 ducing his wells or his oil reserves are being drained, as
15 evidenced by the Loddy.

16 And the Loddy is not the only example
17 that we have of that. We have Meridian's wells, we have
18 basically the same kind of pressure data in their wells, the
19 Hawk Federal 1, 2, and 3.

20 Any well that's been completed and left
21 idle for any length of time, we've been able to observe a
22 reduction in reservoir pressure, in any well that we've
23 measured pressure in. I'm not aware of any well that we've
24 been able to monitor pressure that hasn't experienced a de-
25 cline in reservoir pressure.

1 Q I realize these questions don't have any
2 bearing on the issue that is involved here, but I think that
3 it certainly is a question of waste and correlative rights
4 that the Commission is aware of. Do you have any recommen-
5 dation that -- of action the Commission might take that's
6 appropriate to prevent such impairment of correlative rights
7 and waste?

8 A Well, it's hard for me to -- I haven't
9 thought that through very, very clear. I would like, you
10 know, I think that probably, with some help from our attor-
11 neys, I might be able to give you some -- some ideas, but I
12 don't think I probably should comment on that at this time.

13 I do think that there's need for some-
14 thing.

15 MR. LYON: Thank you. That's
16 all I have.

17 MR. LEMAY: Mr. Chavez?
18

19 QUESTIONS BY MR. CHAVEZ:

20 Q Mr. Roe, in conjunction with Mr. Lyon's
21 question, we're discussing issues of violation of correla-
22 tive rights, and things like that.

23 In your opinion as a petroleum engineer,
24 if a well is not allowed to connect to a gas pipeline, and
25 is therefore restricted in venting or does not produce to

1 prevent the waste of gas to the atmosphere, (not understood)
2 in the pool, do you think that operators' rights may be vio-
3 lated?

4 A Yes, I feel so, and that's basically what
5 led me to produce our Tapacitos 4 and caused you to tell us
6 to shut it in, because we were overproduced. I was unaware
7 of the 30 MCF a day. I thought we had more production al-
8 lowable than we did.

9 Q Thank you.

10 MR. LEMAY: If there are no
11 questions, Mr. Roe, we appreciate you addressing that issue.
12 Thank you.

13 Mr. Greer, could we ask you to
14 come back up for some questions?

15
16 ALBERT R. GREER,
17 being recalled and remaining under oath, testified as fol-
18 lows, to-wit:

19
20 QUESTIONS BY MR. BROSTUEN:

21 Q Mr. Greer, in your discussion on the sec-
22 tion behind Tab R in the exhibit that you presented to the
23 Commission the other day, you discussed a comparison of core
24 analyses between the Mobil Lindrith B Unit No. 3 and the
25 Mallon 3-15 Davis Federal.

1 One of the things that I'm not -- one of
2 my questions, I guess, is this the same core analyses that
3 Mr. Hueni referred to? Is it the same study that Mr. Hueni
4 refers to where he reviewed these core analyses (not under-
5 stood)?

6 A I believe so, sir, the Mallon Davis 3-15.

7 Q And it's the same study that was perfor-
8 med by Terra Tek, is that the name of the company?

9 A Yes, sir.

10 Q In your analysis here, unless I missed it
11 some place, you do not mention as far as the porosity values
12 that would permit -- that may have been derived from that
13 analyses, and you are aware of the values which Mr. Hueni
14 has presented. Do you agree with those or do you feel that
15 because of the manner in which the samples were -- were
16 handled or the analysis was performed, that they are invalid
17 numbers as far as porosity is concerned?

18 A Well, as far as porosity is concerned, I
19 would think they're -- they're reasonable numbers. My main
20 concern last year was with the saturations of oil and water.

21 Q I see, so that's where your difference of
22 opinion comes in.

23 A That was my main concern.

24 Q Very good.

25 A Along with the fact that the permeability

1 was so low that I felt the water saturation would be so high
2 the (not clearly understood.)

3 Q Thank you, that's all I have.

4
5 QUESTIONS BY MR. LEMAY:

6 Q Mr. Greer, in light of the testimony
7 since your testimony, do you feel that you are losing some
8 gas or oil down dip to the Gavilan Field on the current sit-
9 uations of pressures and the way the field is being produced
10 today?

11 A There's no doubt about it, Mr. Chairman.

12 Q If the pressures were equalized in there,
13 would that still be the case?

14 A Yes, sir. Yes, sir. We're voiding the
15 reservoir at the rate of about, oh, zero to 1000 barrels a
16 day and Gavilan is voiding it at the rate of 10 to 20,000
17 barrels a day.

18 Q And you believe that permeability barrier
19 in there, as it's been drawn, is an imperfect barrier, that
20 you're losing some A and B oil down dip into Gavilan and
21 mabe some C, also?

22 A Yes, sir. It's hard to tell how much
23 from which zone but there's just no doubt that we're losing
24 oil across the boundaries. I think that's evident, you
25 know, from our Exhibit N, where we showed the communication
across the boundary, both the existing Gavilan boundary and
Mesa Grande's proposed new boundary.

1 Q I know we've had the computer modeling
2 and since your testimony we've had the Sun model and then
3 Mr. Hueni's model. Have you got anything to say concerning
4 either rate sensitivity in the reservoir or the existence of
5 a dual porosity system?

6 A Yes, sir. First let me say the -- in de-
7 termining the dual porosity system and the percent of the
8 oil that might be in the fractures and in the matrix as de-
9 termined by Mr. Hueni is based primarily on his model of
10 which, you know, you were asking some questions this morning
11 and could see very little difference in the lines from
12 1/10th fracture porosity up to 5/10ths and my concern about
13 the model, of course, is dependent on what goes into it.

14 One of the real critical factors that
15 goes into the model is the relative permeability to oil.
16 This is something that in a fractured reservoir is most dif-
17 ficult to determine. It's difficult to determine in a lab-
18 oratory even when you can visualize, take a little block and
19 fracture it and cut some fractures in it and stick it into
20 something to analyze it in a laboratory and the water's
21 going to -- or whatever fluid you're using is going to im-
22 mediately drop to the bottom of the fractures and its tough,
23 it's a tough situation to analyze.

24 The very best thing we can -- that we
25 have to determine this is field performance and the field

1 performance is dependent on how carefully you've conditioned
2 the wells and monitoring the offset wells and this is one of
3 the things that I had visualized would be a good project for
4 the Engineering Committee, would be to work on this, but of
5 course we didn't get to that point.

6 Absent that, the best thing we could do
7 in our area, we chose two wells that unquestionably produce
8 from a high capacity fracture system. That's our B-29 and
9 our B-32, just east of the so-called permeability restric-
10 tion. We made a test at a time by happenstance when the
11 Gavilan wells were pretty much shutdown because of the fire
12 at the compressor station. In conjunction with the inter-
13 ference test that we ran, which I just referred to here un-
14 der Section N of our Exhibit One, we also ran productivity
15 indices tests and transmissibility tests. This was in con-
16 junction with the work of the Engineering Subcommittee.

17 Meridian had presented its work to the
18 committee the first week in November. I had in my briefcase
19 when we went to the November, mid-November meeting, 20
20 copies of the information and I'll summarize some of it for
21 you here now. I think it's the best we have right now to
22 tell something about relative permeability, and of course
23 even that's not as definitive as we'd like for it to be.

24 I believe it's under Section -- Section
25 S, but I'll have to look.

1 If you'll turn to Section S and one, two,
2 three, four, five, about the sixth page there's a pink sheet
3 and on the lefthand side it says Page 1, the righthand side,
4 Page 2. I've used here a method of determining K_h from PI ,
5 and what that means is the determination of the relative
6 permeability ratio to oil at that particular time. The key,
7 the key figures are on a schedule on the upper righthand
8 side under K_{ror} divided by K_{row} and under that we have 6.7
9 and 12.5 and is an average of 9.6. It would be nice to have
10 the figures check a little closer but that's all we had.

11 9.6 in this instance means that the rela-
12 tive permeability to oil is about 10 percent of what it
13 would be if there were no restrictions of flow presumably by
14 free gas saturation.

15 Now if we'll go to one of Mr. Hueni's ex-
16 hibits, I'll show you my concern. I believe it's Figure 37.

17 In the test that we ran, and I don't have
18 the exact figures now, but the free gas saturation would
19 have probably have been in the range, I would think, the
20 average not over 5 percent, so if we come to this graph and
21 we see on the bottom oil saturation goes up to, well, in
22 units of a tenth, it would be 80 percent oil saturation next
23 to the righthand side; halfway in between would be 90 per-
24 cent oil saturation, and 10 percent free gas saturation
25 would be a line right straight up from that, and you go up

1 from that till you reach a relative permeability of 1/10th
2 and that's where the average fell. One would be a little
3 bit above that and one would be a little bit below that.

4 Now the line that Mr. Hueni is using and
5 put in his model, is the dashed line that starts at the up-
6 per righthand side of the graph and goes down to the lower
7 lefthand side, so we can see that for wells that we know are
8 producing from a high capacity fracture system, see, these
9 are large wells, Mr. Chairman, that produce 6-or-800 barrels
10 a day with about 100 pound drawdown. The PI that we extra-
11 polated even with the relative permeability effects, would
12 stretch out to about 30,000 barrels a day on one of the
13 wells.

14 So there's no doubt about what they're
15 producing and so the problem that I have with his model is
16 when he puts something in it that is so wrong, so far wrong,
17 and then he uses that model to determine so many things. He
18 uses it to determine a bubble point. He uses the model to
19 determine the percent of oil that's in the fracture system.
20 And so I just can't have any confidence in it.

21 That's my concern about it.

22 Q Thank you, Mr. Greer. We're trying to
23 resolve some differences and it doesn't look like we're
24 going to resolve many of them.

25 Mr. Hueni, do you mind coming back for a

1 few more questions? You've had a long two days.

2

3

GREGORY D. HUENI,

4 being recalled and remaining under oath, testified as
5 follows, to-wit:

6

7 QUESTIONS BY MR. LEMAY:

8

Q You actually get more time than normal,
9 not because you're the last witness, but because you're the
10 only engineer on the MMM side where they have two of them.

11

The first thing, on the shut-in question,
12 Mr. Roe's comments concerning the answers to his questions,
13 do you have any comments on -- on that problem as we see it?
14 We want to get some testimony in the record because we cer-
15 tainly view it as a serious matter.

16

A I'll have to be honest, at the time that
17 Mr. Roe testified I was checking out some of the other in-
18 formation. I know that you -- I believe you had a concern
19 with wells that were flaring gas, is that correct?

20

Q Well, that were really being deprived of
21 their reserve because they didn't have a tie-in to the
22 casinghead gas market and therefore the pressure was drop-
23 ping. I think I mentioned one to you which was that Kry-
24 stina well that Greg Merrion operates. There's others in the
25 area, too, quite a few others.

1 A Well, I agree. I think there is concern
2 and I do believe that because there is pressure communica-
3 tion in the field that all wells will share in proportion to
4 the rates at which they're allowed to produce, they'll share
5 in the remaining reserves based on that -- on that rate, and
6 if wells are deprived of their right to produce, then there
7 is a serious problem there.

8 Q Do you have any comments on your Figure
9 37, Mr. Greer's comment concerning that -- what he
10 considered your erroneous assumption that went into the
11 computer models?

12 A Well, the -- this, I'm sure sounds like
13 going back and forth, but we -- the build-up test that Mr.
14 Greer used that he ran on his Canada Ojitos Unit B-39 and B-
15 32 Wells, we agree they're very high capacity wells and
16 we've analyzed the build-up tests that he presented and we
17 come up with permeability values substantially below the
18 values that he came up with.

19 As a consequence, in his exhibit, when he
20 calculates and takes permeability thickness and divides or
21 then relates that to productivity and calculates out a
22 relative permeability ratio, we don't -- we don't agree with
23 what he calculates, so we don't believe that the number that
24 he has calculated has any bearing to relative permeability
25 at all.

1 We believe we have a high capacity frac-
2 ture system. We believe is we looked at the Sun detailed
3 output from the computer run we would see gas at the top of
4 the formation, oil at the bottom of the formation.

5 The relative permeability characteristics
6 that we've shown here, if you were to review the literature,
7 you would see that the relative permeability characteristics
8 assigned to the fracture system, and that is what those
9 dashed lines were, were fracture system, not the matrix, I
10 think you would see that the -- the literature would sug-
11 gest, papers by Keith Coates, regarding vertical equilibrium
12 models would suggest that those -- that those (not under-
13 stood) permeability curves are consistent with gas segre-
14 gating at the top of the formation and oil underlying the
15 formation. They are what we call vertical equilibrium cur-
16 ves.

17 We didn't use those curves because that's
18 -- for that reason. We used them primarily because the lit-
19 erature, and I would cite, and I have cited in our report,
20 reference by a fellow named Fatt, F-A-T-T, and also referen-
21 ced in papers by Aguilera, that when you do have high capa-
22 city fracture systems, the relative permeability character-
23 istics that should be applied to those fractures themselves,
24 not the entire rock, but those fractures, is represented,
25 best represented by straight line functions, or straight

1 line curves between the end points. That is what we have
2 done. We have, in reference to Mr. Greer's exhibit, we
3 don't agree with how he calculated Kh so we don't agree with
4 how he calculated Kr, relative permeability, so we don't
5 agree.

6 Q Do you believe that -- that there is sig-
7 nificant migration at the present time between Puerto Chi-
8 quito and the Mancos Field, that there is some oil moving
9 across the field boundaries?

10 A Mr. Chairman, we believe that it is a
11 very complex question. We, I think the testimony has indi-
12 cated that the A and B and the C Zones are separate pools.
13 We believe that the C Zone in the Canada Ojitos Unit is pri-
14 marily a gas injection zone. We do not believe that the A
15 and B Zone in the West Puerto Chiquito is a gas injection
16 zone. It seems to be related more to the Gavilan Mancos
17 Field.

18 I think we've seen that from Mr. Greer's
19 exhibits in terms of the B-29 and B-32 pressure information,
20 that is it tracking more on the Gavilan Mancos pressure.

21 We have seen previously that the Canada
22 Ojitos gas injection project does not track with the Gavilan
23 Mancos pressure, so we have concluded that in the West Puer-
24 to Chiquito area that we are producing out of two separate
25 zones with totally different producing mechanisms.

1 Mr. Greer's gas injection program is
2 operative primarily in the C Zone. In the AB Zone it is
3 more of a pressure depletion in line with the Gavilan -- the
4 Gavilan Mancos Pool.

5 Inasmuch as there is a sharing, inasmuch
6 as there is a competition in the Gavilan Mancos Pool, pri-
7 marily in the AB Zones, we believe that that competition
8 exists. We do not believe that there is C production, sub-
9 stantial C production in the Gavilan Mancos Pool that is
10 drawing oil across the boundary of the West Puerto Chiquito
11 Pool into the Gavilan Mancos Pool.

12 Q So the reservoir voidage that Mr. Greer
13 referred to would not be significant in your thinking be-
14 cause you're dealing with these separate zones.

15 A Well, we don't believe that --

16 Q If you can --

17 A -- I'm sorry, I didn't mean to interrupt.

18 Q I was going to say that -- just that I
19 didn't define the question properly. What I meant to say,
20 that if you're -- if you're voiding more in the AB in the
21 Gavilan, that that's not a factor with his C Zone or AB Zone
22 in Puerto -- West Puerto Chiquito.

23 A Well, we unfortunately have no idea,
24 really, the relative amounts that he's voiding out of the AB
25 Zone in West Puerto Chiquito versus the amount that he's

1 voiding out of the C Zone. It very well could be that the
2 amount he's voiding out of the AB Zone is proportional to
3 the amount of voidage that's coming out of the Gavilan Man-
4 cos Pool, so that there is no drainage between the two pools
5 in the AB Zone.

6 In the C Zone, the Gavilan Mancos Pool is
7 not voiding a substantial amount, whereas that is where we
8 see the majority of his voidage occurring in the West Puerto
9 Chiquito Pool, although he's also replacing his voidage with
10 injected gas in operation.

11 So we're trying to draw the distinguish-
12 ing fact that we're dealing with two, we call it the Niobra-
13 ra -- we call it the Niobrara, or the Mancos Pool, but we're
14 dealing with the Niobrara AB Zone that is separate and dis-
15 tinct from the Niobrara C Zone, and I think we have to re-
16 cognize that.

17 Q To your knowledge is there any difference
18 in pressures in the AB Zone and C Zone?

19 A In the Gavilan area, we do not have any
20 substantial evidence of pressure differences, but once
21 again, in the Gavilan area we also don't have highly -- we
22 don't have any wells that are highly productive in the C
23 Zone.

24 In the Canada -- or West Puerto Chiquito
25 Pool we either have wells that are primarily C Zone wells or

1 we have wells that are A, B, and C Zone wells, and it very
2 well could be that there is a different pressure in the AB
3 Zone than there is in the C Zone.

4 We do not have that information.

5 MR. LEMAY: Thank you very
6 much, Mr. Hueni.

7 At this point I don't think --
8 Mr. Kellahin.

9 MR. KELLAHIN: Mr. Chairman, I
10 have available now Dr. Lee's summary for tomorrow, as well
11 as his bibliography, and in accordance with our statements
12 earlier today, I'd like to distribute this after the hear-
13 ing.

14 MR. LEMAY: Fine. These are
15 the exhibits that you're presenting tomorrow?

16 MR. KELLAHIN: No, sir, they're
17 not the exhibits.

18 MR. LEMAY: Oh.

19 MR. KELLAHIN: They're the sum-
20 mary of his conclusions --

21 MR. LEMAY: I see.

22 MR. KELLAHIN: -- as well as
23 the bibliography sheet that he's provided.

24 MR. LEMAY: Okay. Since we are
25 running ahead of time, at least today, is there anyone in

1 the audience that has any statements that they'd like to
2 make today, possibly in preference to tomorrow? We'll ac-
3 cept closing statements but we're also, in the interest of
4 time, wanting to get as much in today as we can.

5 The schedule for tomorrow,
6 then, would be we'll have the rebuttal witness by Mr. Lee.
7 Then we'll cross examine. And the possibility of a rebuttal
8 rebuttal witness. In the interest of time we hope that
9 we'll try and limit this to the morning. We don't want to
10 go over in the afternoon. If necessary, I'm sure we will,
11 because we want to get all the testimony in the record.

12 At that time we will be accep-
13 ting statements into the record and closing arguments.

14 So that's the schedule for to-
15 morrow. Does anyone have anything to add or to --

16 MR. KELLAHIN: I don't.

17 MR. LEMAY: 8:15 tomorrow morn-
18 ing.

19 We'll adjourn for today and re-
20 sume tomorrow at 8:15.

21

22

(Hearing concluded.)

23

24

25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY CERTIFY the foregoing Transcript of Hearing before the Oil Conservation Division (Commission) was reported by me; that the said transcript is a full, true, and correct record of this portion of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR