

STATE OF NEW MEXICO
ENERGY AND MINERALS DEPARTMENT
OIL CONSERVATION DIVISION
STATE LAND OFFICE BLDG.
SANTA FE, NEW MEXICO

3 April 1987

COMMISSION HEARING

VOLUME 5 of 5 VOLUMES

IN THE MATTER OF:

Case 7980 being reopened pursuant to the provisions of Commission Order No. R-7407. . . Rio Arriba County.

CASE
7980

and

Case 8946 being reopened pursuant to the provisions of Commission Order No. R-7407-D. . . Rio Arriba County.

CASE
8946

and

Case 8950 being reopened pursuant to the provisions of Commission Order No. R-2565-E (R-6469-C) and No. R-3401-A. . . Rio Arriba County.

CASE
8950

and

Case 9113, application of Benson-Montin-Greer Drilling Corporation, Jerome P. McHugh & Associates, and Sun Exploration and Production Company to abolish the Gavilan-Mancos Oil Pool, to extend the West Puerto Chiquito -Mancos Oil Pool, and to amend the special rules and regulations for the West Puerto Chiquito-Mancos Oil Pool, Rio Arriba County, New Mexico.

CASE
9113

and

Application of Mesa Grande Resources, Inc. for the extension of the Gavilan-Mancos Oil Pool and the contraction of the West Puerto Chiquito-Mancos Oil Pool, Rio Arriba County, New Mexico.

CASE
9114

BEFORE: William J. LeMay, Chairman
Erling A. Brostuen, Commissioner
William R. Humphries, Commissioner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Commission: Jeff Taylor
Legal Counsel for the Division
Oil Conservation Division
State Land Office Bldg.
Santa Fe, New Mexico 87501

For Benson-Montin-Greer: William F. Carr
Attorney at Law
CAMPBELL & BLACK P.A.
P. O. Box 2208
Santa Fe, New Mexico 87501

For Sun Exploration,
Dugan Production, &
Jerome P. McHugh: W. Thomas Kellahin
Attorney at Law
KELLAHIN, KELLAHIN & AUDREY
P. O. Box 2265
Santa Fe, New Mexico 87501
and Mr. Robert Stovall
and Mr. Alan R. Tubb

For Mesa Grande Resources,
Hooper, Kimball & Williams,
and Reading & Bates: Owen M. Lopez
Paul Kelly
Attorneys at Law
HINKLE LAW FIRM
P. O. Box 2068
Santa Fe, New Mexico 87501

For Mallon Oil Co. &
Mobil Producing Texas
& New Mexico: W. Perry Pearce
Attorney at Law
MONTGOMERY & ANDREWS P.A.
P. O. Box 2307
Santa Fe, New Mexico 87504

For Amoco: Kent J. Lund
Attorney at Law
Amoco Production Company
P. O. Box 800
Denver, Colorado 80201

A P P E A R A N C E S CONT'D

1
2 For Floyd and Emma Ernest L. Padilla
3 Edwards: Attorney at Law
4 PADILLA & SNYDER
5 P. O. Box 2523
6 Santa Fe, New Mexico
7 and
8 Nicholas R. Gentry
9 Attorney at Law
10 OMAN, GENTRY & YNTEMA
11 P. O. Box 1748
12 Albuquerque, New Mexico 87102
13 For Meridian Oil Co.: Paul A. Cooter
14 Attorney at Law
15 RODEY LAW FIRM
16 P. O. Box 1357
17 Santa Fe, New Mexico 87504
18 For Don Howard: William O. Jordan
19 Attorney at Law
20 Santa Fe, New Mexico 87501
21 For Koch Ex. Co.: Robert D. Buettner
22 Attorney at Law
23 Koch Exploration Co.
24 P. O. Box 2256
25 Wichita, Kansas 67201
For Phelps Dodge Corp.: Mark K. Adams
Attorney at Law
RODEY LAW FIRM
P. O. Box 1888
Albuquerque, New Mexico 87103

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

W. JOHN LEE	
Direct Examination by Mr. Kellahin	9
STATEMENT BY ROBERT MOCK	76
W. JOHN LEE	
Cross Examination by Mr. Pearce	81
Questions by Mr. Chavez	105
Cross Examination by Mr. Humphries	112
Cross Examination by Mr. Lemay	116
RICHARD G. DILLON	
Questions by Mr. Brostuen	117
GREGORY D. HUENI	
Redirect Examination by Mr. Lopez	122
W. JOHN LEE	
Redirect Examination by Mr. Kellahin	159

I N D E X CONT'D

1		
2		
3	STATEMENT BY MR. JORDAN	161
4	STATEMENT BY MR. PADILLA	167
5	STATEMENT BY MR. GENTRY	172
6	STATEMENT BY MR. FRALEY	180
7	STATEMENT BY MR. PEARCE	184
8	STATEMENT BY MR. LOPEZ	195
9	STATEMENT BY MR. CARR	203
10	STATEMENT BY MR. KELLAHIN	214
11	STATEMENT BY MR. BUETTNER	222
12	STATEMENT BY MR. WOOD	226

E X H I B I T S

13		
14		
15		
16	Lee Exhibit One, Report Booklet	13
17		
18	MMM Exhibit Eleven, Comments	122
19	MMM Exhibit Twelve, Comments	126
20	MMM Exhibit Thirteen, Test Analyses	129
21	MMM Exhibit Thirteen-A, Analysis	129
22	MMM Exhibit Fourteen, PVT Plot	146
23	MMM Exhibit Fifteen, Figure 50	150
24	MMM Exhibit Sixteen, Documents	155
25	MMM Exhibit Sixteen-A, Letter	154

1
2 (Thereupon at the hour of 8:15 o'clock a.m. on
3 the 3rd day of April 1987 the hearing was again
4 reconvened.)

5
6 MR. LEMAY: We shall reconvene
7 at this time.

8 Before we start with side one's
9 rebuttal witnesses or witness, is there anything that needs
10 to be brought up.

11 MR. KELLAHIN: In concluding
12 our review of Mr. Hueni's presentation last night it became
13 apparent to us that there are certain specific points that
14 are uniquely within the scopy of Mr. Greer's expertise, and
15 we will take out of our portion of rebuttal time, reserving,
16 perhaps, twenty minutes, or so, for the possibility that Mr.
17 Greer may have some final points.

18 We, our best estimate of the
19 time, though, is that two rebuttal witnesses together would
20 occupy approximately two hours. We will do our very best to
21 reduce that further.

22 Our major rebuttal witness this
23 morning is Dr. John Lee.

24 MR. LEMAY: Thank you, Mr. Kel-
25 lahin.

1 Mr. Lopez, Mr. Pearce, do you
2 plan to put on a rebuttal witness or do you know at this
3 time?

4 MR. PEARCE: We, Mr. Chairman,
5 we certainly need to reserve that right and until we hear
6 the rebuttal we don't know whether we will come back with
7 anybody or just cross examine.

8 MR. LOPEZ: But I think you
9 should expect that we will.

10 MR. LEMAY: We shall reserve the
11 time.

12 At this time, Mr. Kellahin,
13 would you care to put on your witness?

14 MR. KELLAHIN: Thank you, Mr.
15 Chairman.

16 We call at this time Dr. W.
17 John Lee.

18 Mr. Chairman, while the gentle-
19 men are passing out Dr. Lee's exhibit book, there are a
20 couple of comments I'd like to make with regards to the pre-
21 sentation.

22 In reviewing the summary of
23 conclusions we distributed to the hearing late yesterday, I
24 note number 7 on that conclusion sheet is not a true rebut-
25 tal question.

1 Number 7, in fact, is Sun's
2 position in the case, or at least one of the conclusions
3 that the Sun witness testified to. I do not believe it is
4 one of Mr. Hueni's principal conclusions; therefore we have
5 deleted it from Dr. Lee's presentation because we don't
6 think it's a rebuttal issue.

7 In doing so you'll notice that
8 Dr. Lee's exhibit book is sequential, starting from 1
9 through 5, but then we skip 6 and go to 7. The reason for
10 the change is that we have dropped the Sun position, which
11 is number 7 on the original sheet. It's now been deleted
12 and if you'll simply take 7 in the exhibit book and make
13 that a 6, then everything flows.

14 In addition, because we have
15 lost track of the exact exhibit numbers for the proponents,
16 with your permission we will simply refer to this package of
17 rebuttal exhibits as Lee Exhibit One. I think it might be
18 an easy way to find the book, and with your permission, we'd
19 like to do so, although Dr. Lee, obviously, is not a party
20 or an applicant. He is an expert witness, but for sake of
21 convenience, we'd like to simply refer to it as Lee Exhibit
22 One.

23 MR. LEMAY: It will be so noted.

24 MR. KELLAHIN: Also, Mr.
25 Chairman, Dr. Lee was not sworn originally on Monday and

1 we'd like to do so now.

2

3

(Dr. Lee sworn.)

4

5

DR. W. JOHN LEE,

6

being called as a witness and being duly sworn upon his

7

oath, testified as follows, to-wit:

8

9

DIRECT EXAMINATION

10 BY MR. KELLAHIN:

11

Q Will you please state your name?

12

A My name is William John Lee.

13

Q What is your occupation?

14

A I have two occupations. The occupation of

15

note today is that I am Senior Vice President in Charge of

16

Engineering for the consulting firm of S. A. Holditch & As-

17

sociates in College Station, Texas.

18

The other occupation, though, is that I

19

am Professor of Petroleum Engineering at Texas A & M Univer-

20

sity and hold the Noble Chair in Petroleum Engineering at A

21

& M.

22

Q What, if any, professional degrees do you

23

hold, Dr. Lee?

24

A I have a Bachelor's, Master's, and PhD

25

degrees in chemical engineering from Georgia Tech, with the

1 Phd being in 1962.

2 Q Dr. Lee, have you published any articles
3 within your profession as an engineer?

4 A Yes. I've published a number of papers,
5 which were summarized in the biographical data sheet that
6 we handed out yesterday, perhaps numbering over twenty or
7 thirty.

8 Q Have you been the recipient of honors or
9 recognition within your field of expertise as an engineer?

10 A Well, there -- there are a few that I'm
11 particularly proud of. Probably the one that I'm most proud
12 of was the SPE Reservoir Engineering Award in 1986, and
13 others that I'm really, really proud of include serving as
14 an SPE Distinguished Lecturer in pressure transient testing
15 in earlier years, and also an SPE Distinguished Faculty
16 Award.

17 Q Have you published any textbooks or
18 publications within your profession?

19 A Yes. I have written a textbook also
20 under the guise of SPE, a Peer-Reviewed textbook on well
21 testing.

22 Q Would you summarize and describe for us
23 your experience as petroleum engineer?

24 A Well, after graduation from Georgia Tech
25 in 1962, I went to work for Exxon Production and Research

1 Company and I worked there some four to five years, and dur-
2 ing that early experience I worked in well test analysis and
3 also in reservoir engineering and technical service work,
4 which included performing resevoir simulation studies on Ex-
5 xon's major reservoirs around the world.

6 Following that work at the research cen-
7 ter in technical service, I worked in Exxon's Kingsville
8 District in South Texas for a year and a half, in which I
9 designed some major waterfloods in that district.

10 For three years I then served as Asso-
11 ciate Professor of Petroleum Engineering at Mississippi
12 State University and in 1971 I returned to Exxon and my
13 final position there at the time I left in 1977 was as Tech-
14 nical Advisor in charge of Exxon's Major Fields Study Group,
15 in which I supervised teams of geologists and engineers who
16 examined reservoir performance and and developed optimal de-
17 pletion plans for Exxon's large East Texas reservoirs.

18 And then in 1977 I joined the faculty at
19 Texas A & M University in petroleum engineering, and two
20 years later I also joined the consulting firm of S. A. Hol-
21 ditch and Associates on a part time basis.

22 Q Have you been retained as a consultant by
23 Dugan, McHugh, and Sun?

24 A Yes, I have.

25 Q And what were you requested to do, Dr.

1 Lee?

2 A I was requested to formulate an opinion
3 on the drive mechanisms and the important recovery processes
4 in the Mancos Pool's reservoir under consideration in this
5 hearing, and also to develop an opinion on the proper reser-
6 voir description of this reservoir.

7 Q In making that study, Dr. Lee, have you
8 reviewed the prior transcripts and testimony, including the
9 testimony of Mr. Greg Hueni in the August, 1986 hearings
10 concerning the Gavilan Mancos Pool and the West Puerto Chi-
11 quito Mancos Pool?

12 A Yes, I have.

13 Q And were you present throughout the en-
14 tire testimony conducted before the Commission, commencing
15 on Monday morning of this week through yesterday evening?

16 A Yes, I was.

17 Q And have you had an opportunity to re-
18 view Mr. Hueni's analysis and presentation of his reservoir
19 conclusions with regards to the Mancos reservoir?

20 A Yes, I have.

21 Q Based upon that review and that testimony
22 and your study, Dr. Lee, do you have certain opinions and
23 conclusions about the Mancos reservoir?

24 A Yes, I have reached certain conclusions.

25 MR. KELLAHIN: At this time,

1 Mr. Chairman, we would tender Dr. John Lee as an expert pet-
2 roleum engineer.

3 MR. LEMAY: Dr. Lee is so qual-
4 ified.

5 Q Dr. Lee, let me direct your attention to
6 what we have marked as Lee Exhibit One. Directing your at-
7 tention to the first page after the cover sheet, would you
8 take a moment, sir, and identify for us and describe the
9 principal conclusions you have reached in determining your
10 rebuttal to Mr. Hueni's presentation yesterday and the day
11 before before this Commission?

12 A Yes. My major conclusions are summarized
13 immediately following the title page of this exhibit, and to
14 summarize those conclusions briefly, the first, and this is
15 the first in an area of conclusions which affect basic rock
16 and fluid properties, the first of these is that I've con-
17 cluded that the reservoir oil was under-saturated at discov-
18 ery and that the bubble point pressure was approximately
19 1534 psig, at least in the Canada Ojitos Unit area, with its
20 elevation and pressure difference compared to Gavilan.

21 The second conclusion is, I've concluded
22 after reviewing the evidence, that the matrix will not con-
23 tribute to reservoir oil reserves.

24 The third conclusion that I've reached is
25 that interference tests are a valid source of reservoir des-

1 cription data. This is because petroleum engineers routine-
2 ly analyze interference test data, using a particular mathe-
3 matical technique, which I note here, and the applications
4 of that technique in the petroleum literature to naturally
5 fractured reservoirs.

6 And I would also note, and have concluded
7 that properties determined from these interference tests ac-
8 tually characterize and provide an estimate of Kh in an area
9 much larger than just a line immediately between the tested
10 wells.

11 The fourth conclusion is that permeabil-
12 ity thickness values equal or exceed 10 Darcy feet in much
13 of this reservoir.

14 The next two conclusions deal with the
15 area of reservoir performance.

16 Conclusion five is that the application
17 of the material balance equation in Mr. Hueni's testimony
18 did not, in my opinion, lead to a reliable estimate of ori-
19 ginal oil in place.

20 And the sixth conclusion, which should be
21 renumbered 6, sixth and last, is that the effects of multi-
22 phase flow on the potential of the matrix to produce oil
23 have been ignored in the application of the dual porosity
24 reservoir simulator which we heard described yesterday, and
25 especially important in this multi-phase flow is the need to

1 consider what we call the capillary end effect, which is
2 caused by large differences in permeabilities within a mat-
3 rix system and within a fracture system, and this, this ef-
4 fect tends to prevent the flow of oil from the matrix to the
5 fracture system and instead to collect at the fracture face,
6 and I feel that neglecting this effect is a fatal flaw in
7 the simulation.

8 Q And when you talk about the fatal flaw in
9 the simulator, you're referring to Sun's work or Mr. Hueni's
10 work?

11 A Mr. Hueni's work.

12 Q Let's turn now, sir, to the presentation
13 you have developed with regards to the first issue or
14 conclusion under the basic rock and fluid properties, and
15 that was the consideration of the bubble point pressure.

16 A All right. I have presented information
17 on the bubble point pressure in the next section of my
18 exhibit, and you'll note the way this exhibit is organized,
19 on each of the six issues which I'll address, I will restate
20 the conclusion that I've presented in summary form in my
21 overview. I will state to you the implications of that
22 conclusion and then I will go through the evidence which led
23 me to reach that conclusion.

24 On the issue of bubble point pressure my
25 conclusion is that the fluid sample from the Canada Ojitos

1 Unit No. 6, or L-11, is representative of the Gavilan Mancos
2 reservoir fluid and the bubble point pressure for that sam-
3 ple of 1534 psig is in close agreement to that of samples
4 taken very early and very late in the life of the reservoir.

5 Now, the implications of this conclusion
6 are, first, that this reservoir was under-saturated at dis-
7 covery and remained under-saturated for many years.

8 The second implication I would note is
9 that fluid properties for use in pressure transient test an-
10 alysis and for reservoir performance analysis, can be devel-
11 oped based on this sample analysis. We routinely correct
12 fluid properties to separator conditions that are used in a
13 field. This is standard practice; however, in this field
14 there's no single set of separator conditions which were
15 used and so, although I've corrected to separator condi-
16 tions, any application of the corrected properties to separ-
17 ator conditions, need to be used cautiously when applied to
18 actual wells in the field, and one could argue that perhaps
19 no correction to separator conditions is even necessary be-
20 cause of the wide variation in separator conditions.

21 The third implication which I've identi-
22 fied here is that an attempt to analyze the reservoir using
23 material balance equations will be unsuccessful during those
24 times in which large parts of the reservoir are above the
25 bubble point pressure and other large parts of the reservoir

1 are below the bubble point pressure. That is during those
2 times in which we have some fluid above and some fluid below
3 bubble point pressure we're going to have difficulty with
4 material balance equations.

5 Material balance calculations require the
6 reservoir oil to be essentially totally above the bubble
7 point or totally below the bubble point.

8 I think, in fact, there's little dis-
9 agreement between the two parties on what I've said here,
10 because Mr. Hueni has concluded many of these same facts and
11 so mainly I'm establishing a basis for fluid properties that
12 I use in my pressure transient test analysis. I would say
13 the major difference is the conclusion that we have reached
14 regarding what the bubble point pressure in the field was.

15 Q Let me, before you leave that page, let
16 me have you look at the third line of that summary page. It
17 says 1534 psig; in fact, it's psia, is that --

18 A That -- you're correct, that's a typo-
19 graphical error. It is 1534 psia.

20 Q Let's turn to the factual basis upon
21 which you have reached your conclusions about the bubble
22 point.

23 A All right. The next page following my
24 conclusions is simply a statement of fluid properties cor-
25 rected to a specific separator pressure which was typical of

1 many of the wells in which we analyzed pressure transient
2 test build-up and interference tests.

3 But more importantly, following that is
4 the -- is a summary of the facts which led to the conclu-
5 sions.

6 Q And that's on a page that's captioned
7 Summary of Sample Results.

8 A That's correct. The essence of the argu-
9 ment is this: For the three wells noted here, Canada Ojitos
10 Unit No. 2, No. 6, and the Loddy No. 1, there were samples
11 taken from 1962, then in '65, and 1986. There were samples
12 taken over a period of 24 years.

13 The bubble point pressure of those sam-
14 ples is noted on this page. For COU No. 2 the laboratory
15 determined bubble point pressure was 1539 psia. That sample
16 was taken very early in the life of the field before there
17 was any significant production from the field and therefore
18 had potential to really represent an undisturbed reservoir
19 fluid sample.

20 The sample from COU No. 6, taken three
21 years later, was a sample in which the well was especially
22 carefully conditioned and it was a real effort to secure a
23 quality sample. And a noteworthy point is that the bubble
24 point pressure in that sample taken approximately three
25 years later was about the same as the first sample.

1 And then in the sample from the Loddy No.
2 1, taken twenty-four years after the first sample, the
3 laboratory determined bubble point pressure was again about
4 the same as the other two.

5 Now, some observations on these numbers.
6 First we notice, when we also note the elevation of these
7 wells, that the bubble point pressure of these three samples
8 increases with increasing elevation and that is as expected
9 in reservoirs with long oil columns, so even though there's
10 a difference in the bubble point pressures, that's consis-
11 tent with what our expectations would be in reservoirs with
12 long oil columns.

13 Secondly, and really the most important
14 point, is that the bubble point pressures taken over this
15 period have similar values and to me this is strong evidence
16 that the bubble point pressure is approximately 1534, the
17 one determined in the well in which there were especially
18 careful conditions taken to assure proper sampling proper-
19 ties.

20 This indicates to me, then, that because
21 we have this consistent saturation pressure, that the reser-
22 voir was highly under-saturated at discovery.

23 The final point really doesn't affect the
24 analysis of these samples and conclusions that I draw, but I
25 think we do want to note that because of this long oil

1 column and significant differences in elevation points in
2 the reservoir, that there is a higher reservoir temperature
3 in the Gavilan area than in the Canada Ojitos Unit area, and
4 if we corrected the bubble point pressure from the L-11 sam-
5 ple to the higher temperature in the Gavilan area, assuming
6 that the composition of that fluid remained the same, the
7 corrected bubble point pressure for that sample, plus other
8 sample information available, would indicate that the bubble
9 point pressure in the Gavilan area would be about 1572
10 pounds.

11 The remaining two pages simply summarize
12 the conditions under which these samples were taken. I'm
13 not going to comment on those. I simply provide this as
14 back-up information to -- to show the quality of the samples
15 and the sampling conditions.

16 Following those two pages summarizing the
17 sampling conditions, I have placed in the exhibit pages from
18 the Core Laboratory analyses of these samples.

19 The first page in each case is -- well,
20 the first one is for Bolack No. 2, which is our first sample
21 that is -- that was the name at the time for Canada Ojitos
22 Unit No. 2. We note that Core Labs on the second of these
23 two pages for that well determined a bubble point pressure
24 of 1524.

25 Similarly we give the actual laboratory

1 report for the Canada Ojitos Unit No. 12-11 and the reported
2 saturation pressure on the second of two pages there of 1519
3 psig, which would be approximately 1534 pounds per square
4 inch absolute.

5 And finally we give two similar pages for
6 the Loddy No. 1 and noteworthy is the saturation pressure
7 for that sample of 1482 psig.

8 Q One of Mr. Hueni's fundamental conclu-
9 sions and one of the benchmarks upon which they have placed
10 their analysis of the reservoir is the fact that the matrix
11 will in fact contribute to the reservoir oil reserves.

12 Do you agree or disagree with that?

13 A I agree that that's a major factor.

14 Q What is your opinion with regards to
15 whether or not the matrix will or will not contribute to re-
16 serve oil -- to reservoir oil reserves?

17 A My opinion is that the matrix will con-
18 tribute very little, if any, to the reservoir oil reserves.

19 Q Turning to that question, the next prin-
20 cipal conclusion you've reached is identified by a page that
21 is captioned and begins, Matrix Contribution - Explanation of
22 Attachments.

23 A Yes, it is. Here I provide the back-up
24 information for the conclusion that I earlier stated in my
25 overview or summary of conclusions that I've reached in my

1 study.

2 Q Would you describe for us what your
3 opinion is and what your conclusions are and how you've
4 reached that opinion and those conclusions?

5 A My opinion is that the permeability of
6 the matrix at reservoir conditions, in situ, is so low that
7 the matrix cannot contribute significantly to oil reserves,
8 and the method by which I arrived at that conclusion is out-
9 lined on this page.

10 It's based on taking the permeability
11 that Mr. Hueni reported in his written notebook and exhibit
12 that he went over with us yesterday, and a copy of the page
13 on which these numbers are mentioned is found two pages af-
14 ter this page Explanation of Attachments, if you wish to re-
15 fer to that.

16 That's entitled Excerpt from Hueni Exhi-
17 bit Book, Mallon-Mobil-Mesa Grande Exhibit Number 10.

18 Q And this is page 3.5 out of --

19 A Right.

20 Q -- that exhibit book.

21 A That's correct.

22 Q All right, sir. On that page Mr. Hueni
23 reported an average permeability of .018 millidarcy from
24 core analysis, and that value was based on dry, unconfined
25 core permeability measurements.

1 Now Mr. Hueni corrected this core per-
2 meability for confining pressure. He reported a value,
3 which, when confining pressure would be applied, of .0003
4 millidarcy. That's been rounded to ne significant digit and
5 I'm not arguing with that, but in the calculations I'm going
6 to present I've stated more digits, and I've verified his
7 calculation and have come to a number of .000268 millidar-
8 cys.

9 But notice, again referring to Mr.
10 Hueni's testimony that he states that in the simulation
11 model, even though this permeability, when corrected for
12 confining pressure, as it would have in the reservoir, was
13 used .002 millidarcys, the matrix permeability has been in-
14 creased by almost a factor of 10 with no physical measure-
15 ment basis for that stated.

16 Now, I've gone beyond these stated facts
17 to take into account one more important adjustment, which
18 needs to be made to these permeability values before they
19 truly reflect the permeability that a rock would have at re-
20 servoir conditions, and that correction is for the effect of
21 connate water saturation.

22 I've attached a paper which provides the
23 technical background for the further adjustment that I've
24 made following the page from Mr. Hueni's testimony. I by no
25 means am going to go extensively through that paper. Those

1 who wish to study the background can do so.

2 I'm simply going to use two of the re-
3 sults from the paper in the work that I'm going to present
4 now.

5 This paper is entitled Laboratory Study,
6 and it should be "of" rather than "or", of Low Permeability
7 Gas Sands.

8 What this paper does is present a corre-
9 lating equation based on the extensive number of laboratory
10 measurements through which we can correct core permeabili-
11 ties determined without confining pressure and with the li-
12 quids removed and correct these dry core gas permeabilities
13 to permeabilities that we would have in the reservoir under
14 in situ conditions with connate water saturation.

15 Please note another typographical error
16 here in the fourth line under this section SPE Paper, I say,
17 "... net confining pressure and connate water pressure" and
18 that should be connate water saturation.

19 Now, that correlating equation was devel-
20 oped for use with tight gas reservoirs and that's obviously
21 the major application, since rarely does an operator attempt
22 to develop an oil reservoir with the kinds of permeabilities
23 that are addressed here, but that correlation is neverthe-
24 less strictly applicable and can be applied to oil reser-
25 voirs. There's just no difference in principal.

1 And that equation when applied to oil re-
2 servoires with tight rock, I've stated at the top of the next
3 page of my exhibit, and I need to make sure that this equa-
4 tion is clear in form and I'll refer you to the section of
5 the paper to assure this, but my restatement of the cor-
6 relating equations for oil reservoirs is that the oil per-
7 meability corrected to reservoir conditions can be found by
8 taking the permeability from routine laboratory analysis,
9 which we denote by the symbol K. K should be raised to the
10 1.9 power.

11 That result, then, should be divided by
12 7.5

13 That equation can be found in the refer-
14 ence paper, it's (9) in the paper and notice that there are
15 page numbers in the paper, that's found on page 1639 of the
16 paper.

17 The equation there, in terms of gas, is
18 gas permeability is equal to a constant a times permeabil-
19 ity, which is dry gas permeability raised to a power c.
20 That equation is applicable for air permeabilities or gas
21 permeabilities in the range of .02 millidarcies to .55 mil-
22 lidarcies, which is the range that we're talking about here,
23 and constants a and c are given for various conditions, de-
24 pending on whether the effects of stress and water are mini-
25 mum, moderate, great, or very great.

1 The authors say that when you are unsure
2 you should choose the moderate case and that's what I've
3 chosen here.

4 In reviewing this formation with geolo-
5 gists, though, I've found that in the formations that are
6 mentioned here below that equation, the rock type that's
7 most comparable to the Mancos formation is probably the
8 Frontier sands, which actually, according to the authors of
9 the paper, experienced large effects due to stress and con-
10 nate water saturation, but nevertheless, I've chose the
11 average value to use in this equation, a value of a of
12 $1/7.5$, a value of c of 1.9.

13 Now, when I apply those factors to the
14 average permeability, .018 milidarcy, the result is a cor-
15 rected permeability of .0000646 millidarcies. We've now cor-
16 rected for both confining pressure and connate water satura-
17 tion, and I immediately, when I see a number like that, I
18 conclude that that is too low to be of practical importance
19 in the reservoir.

20 Now, --

21 Q What is the significance of the dif-
22 ference in the average matrix permeability you have calcu-
23 lated for the reservoir and what Mr. Hueni has calculated?

24 A Well, the significance is that I have
25 corrected for connate water saturation, whereas he has not,

1 and the adjustment is that the permeability that he has cor-
2 rected for confining pressure has gone from .000268 milli-
3 darcies to .0000646 millidarcies, about a factor of 5, or
4 so, lower permeability to correct properly for the effect of
5 connate water saturation in this matrix.

6 Now, there's an alternative way to make
7 this adjustment for water saturation. It will lead to the
8 same conclusion.

9 The reference paper that I've presented
10 here cites a study by Thomas and Ward, who were with the De-
11 partment of Energy, and they found that the effect of con-
12 nate water saturation alone reduces the non-wetting phase
13 permeability, which is oil in this case, to 10 to 20 percent
14 of the dry core value.

15 So if we conservatively apply the 20 per-
16 cent factor to Mr. Hueni's permeability estimate, our adjus-
17 ted permeability, we take his reported number of .000268
18 millidarcies and multiply it by .2 and the result is

19 Now because we're working with correla-
20 tions, I won't argue that there's any practical difference
21 between these two results. The -- as a practical matter,
22 the result is the same, even before adjusting for relative
23 permeability to oil in the presence of gas, which is another
24 factor that needs to be taken into account in looking at the
25 permeability in the matrix.

1 The average matrix permeability is too
2 small to be of practical importance.

3 That's my major conclusion. I must note,
4 though, that I am disturbed by the reported adjustment of
5 permeability upward to .002 millidarcies in Mr. Hueni's
6 notebook and the data entry into his reservoir simulator of
7 an even higher number, .00253 millidarcies.

8 Q What does that cause, if a higher perme-
9 ability is applied to the matrix in the simulation?

10 A If a higher permeability is applied to
11 the matrix, that makes the matrix much more productive in
12 the model than it would be if a lower permeability were used
13 in the simulator.

14 Q Let me direct your attention now, Dr.
15 Lee, to the third conclusion you have identified on the
16 first page under the Basic Block and Fluid Properties, and
17 have you discuss for us your analysis of the interference
18 tests, whether or not those interference tests are a valid
19 source of reservoir description data.

20 A My conclusion in interference test analy-
21 sis is that, first, petroleum engineers do routinely analyze
22 interference tests using the EI-function, which is some-
23 times called the line source solution, and I'll present evi-
24 dence that they do.

25 These applications are reported in the

1 petroleum literature.

2 The second part of my conclusion is that
3 properties determined from these interference tests charac-
4 terize an area much larger than just a narrow line in be-
5 tween the two wells involved in the test.

6 Q Would you take a moment, Dr. Lee, and
7 crystallize for us what the difference is between what Mr
8 Hueni has said and what you have now concluded?

9 A Well, Mr. Hueni has said, and this was
10 specifically in the August hearing, that interference tests
11 are not to be trusted, and I'm paraphrasing, but he placed
12 little confidence in the results of an interference test be-
13 cause they reflected properties essentially on a line or in
14 the immediate area between two wells, and I propose that
15 they sample reservoir properties over a much larger area,
16 just as do individual well pressure build-up tests.

17 Q Show us the basis upon which you've
18 reached your conclusion on that question.

19 A Well, the basis on which I've reached my
20 conclusion is based on some attachments which I've provided
21 in this section of my exhibit, and this conclusion about the
22 area covered by the build-up test might seem to be circular
23 logic because I have provided first here a quote from a
24 textbook which I wrote, which I guess arguably might be said
25 to prove nothing, but I'd like to refer to that, anyhow, be-

1 caue I've stated the argument there about as well as I can,
2 and I'll actually say that the point has been made in the
3 literature, not in my textbook.

4 Immediately following this page of
5 Description of Attachments I have the title page from the
6 book to show you where it came from, and then two pages from
7 the chapter of this book which deal with interference test
8 analysis.

9 I would focus your attention particularly
10 to the second of these two pages from the chapter of this
11 book which deals with interference test analysis.

12 I would focus your attention particularly
13 to the second of these two pages and to Figure 6.2, which is
14 a schematic diagram of the region investigated in an inter-
15 ference test, and what we see here, based on a citation from
16 the petroleum (not clearly understood), that the region in
17 which we have determined essentially an average set of for-
18 mation properties and interference tests, can be modeled
19 schematically as a rectangle, and that rectangle has a
20 length which is equal to twice the radius of investigation
21 which has been reached during the, say, production or injec-
22 tion from, say, one of the wells in this interference test,
23 how far out that -- that well has drawn down reservoir pres-
24 sure, it's equal to twice that radius plus the distance be-
25 tween the two wells. Of course those radii of influence

1 will overlap but still the fact remains that the region
2 investigated will be a rectangle which has a length twice
3 the radius of investigation achieved by what has been done
4 at the active well which we're producing or injecting into
5 in an interference test, and the width of that rectangle
6 will be twice that radius of investigation.

7 The properties we report from the inter-
8 ference test will be some sort of average from that rec-
9 tangle.

10 The other item that I would cite from
11 this first attachment is that engineers do frequently use
12 the exponential integral, or EI-function solution, or line
13 source solution, to analyze interference tests. I have sim-
14 ply stated on the first page of the copy of material from my
15 textbook equation 6.1, which is that line source solution.

16 To apply that solution in practice to
17 test analysis, it's convenient to use what we call type
18 curves and an example type curve is shown in Figure 6.3,
19 which is on the second page of my handout.

20 When we -- the way we use a type curve,
21 what I mean is we take actual data from a test, the pressure
22 change in a responding well in an interference test, and we
23 plot that pressure change versus time elapsed since we
24 changed the production pattern in an active well, such as,
25 for example, beginning to produce a well which was shut in.

1 We make that plot of pressure change ver-
2 sus time. A particularly convenient method of test analysis
3 is to compare that plot of pressure change versus time to a
4 so-called type curve on which we basically just plotted this
5 line source solution, and we slide the data around until we
6 find the best fit of our data on the type curve, and from
7 that position of best fit we deduce what the formation pro-
8 perties were which led to this kind of response as observed
9 in this interference test.

10 All right, that's basic background and
11 the basis for my statement that we do sample a significant
12 area of size and shape that I've described in an interfer-
13 ence test.

14 The second attachment is back up for the
15 fact that petroleum engineers do apply this sort of techno-
16 logy in practice and in fact have applied this sort of tech-
17 nology in practice to a reservoir which has a number of sim-
18 ilarities to the pools under consideration in this hearing.

19 The second attachment is a paper entitled
20 Reservoir Performance and Well Spacing, Spraberry Trend Area
21 Field of West Texas, and I won't go into detail in this
22 paper but to summarize the major point to be drawn from that
23 paper at this point, this illustrates the successful appli-
24 cation of EI-function solutions to treat interference type
25 data from this important field in West Texas.

1 Now in the paper, to assure that I've
2 properly represented what it says there, I would note that
3 in the paper on page 184 of the paper, and in the reproduc-
4 tion the page numbers may have been cut off, but equation 1
5 in that paper, which is some several pages into the paper,
6 equation 1 is simply the exponential integral or line source
7 solution.

8 It's on the same page on which Figure 8
9 occurs.

10 This particular reservoir is a dual poro-
11 sity reservoir without question. It has a matrix which does
12 contribute. It is a naturally fractured reservoir. I raise
13 this point because another of Mr. Hueni's opinions is that
14 in dual porosity reservoirs the line source solution is not
15 applicable. I would agree with Mr. Hueni that there is a
16 study reported in the literature which states that if you
17 apply the line source solution to a dual porosity reservoir,
18 that will lead to an over estimate of permeability thickness
19 product. That is true; however, the amount of error is rel-
20 atively small and becomes smaller as the contribution by the
21 matrix becomes less important.

22 Now, let me tie that back to the paper
23 that we're reviewing here.

24 In which this paper in which the line
25 source solution was applied to this clearly dual porosity,

1 natural fractured reservoir, formation properties were
2 determined and these properties were compared to results in
3 pressure build-up tests and also from productivity tests or
4 productivity index tests. From those we can determine per-
5 meability thickness in properties. Mr. Greer has done that
6 in his testimony earlier.

7 The conclusion in this paper, and this is
8 also, this is found on page 186, where our equation 1 was
9 found. I've underlined on page 186 in this paper a few sen-
10 tences from a very important paragraph.

11 The underlined words in this paper are,
12 "Average effective permeability in this area was approxi-
13 mately 16 millidarcies for the 31-foot gross section as de-
14 termined by this analysis..." and this analysis means this
15 analysis of -- of well interference data using the EI-func-
16 tion solution.

17 That corresponds to a productivity index
18 of .48 barrels per day per psi and to an initial individual
19 well potential of 520 barrels per day. Actual productivity
20 indices range from about .1 to 2.5 initially and initial po-
21 tentials range from 31 to 960 barrels per day in this area.

22 This effective permeability in millidarcy
23 feet is also of the same order of magnitude as that deter-
24 mined by build-up curve analysis in an adjacent area.

25 The implication is that the author of

1 this paper, who is a very prominent petroleum engineer, has
2 concluded that you can get reliable properties, or reliable
3 reservoir description, by applying an EI-function solution
4 to analysis of interference test data even in this naturally
5 fractured dual porosity reservoir.

6 The third attachment, which I allude to
7 back on my page Description of attachments, is a more recent
8 paper. This paper is entitled Interference Test Analysis
9 for Anistropic Reservoirs -- A Case History.

10 This paper is authored by Dr. H. J.
11 Ramey, Jr., of Stanford University, whom many people
12 consider to be the -- the intellectual leader in the area of
13 pressure transient test analysis in the world.

14 In this paper Dr. Ramey illustrates the
15 application of the EI-Function solution to interference
16 test analysis in a complex reservoir and he's presented a
17 more sophisticated analysis in this case.

18 He suggested a possible way to apply the
19 EI-Function solution to a reservoir which has different per-
20 meabilities in different directions. That we term an aniso-
21 tropic reservoir.

22 Even though he's done that in a reservoir
23 in which there are different permeabilities in different
24 directions, he has -- he has found that individual well
25 tests which can't sense difference in direction permeabil-

1 ity, the average permeabilities in all directions, those in-
2 dividual well tests and the interference test still come up
3 with comparable permeability thickness values.

4 On the page that I refer to which docu-
5 ments that, the quality of the reproduction is very poor and
6 should anyone wish, I've made a copy of another page of ana-
7 lyses of the same data on which Ramey's results have been
8 summarized and I will make this available to anyone who
9 wishes, but the statement is made in the paper and the in-
10 ference in Dr. Ramey's paper is clear that even in this
11 anisotropic reservoir the values of the permeability in --
12 from the individual well build-up test and from the inter-
13 ference test, looking at data in different directions, lead
14 to comparable values of permeability thickness product.

15 Now the implication of that is once again
16 basically that the EI-Function solution is a valid way of
17 analyzing interference tests in reservoirs.

18 In fact, in this paper on page 123, Dr.
19 Ramey concludes that his -- his method is likely applicable
20 to naturally fractured reservoirs, even in the extreme case
21 in which there are fractures only in one direction, where
22 there's a vast difference in permeability in one direction,
23 which would reflect fracture permeability and in the perpen-
24 dicular direction, which would reflect largely matrix per-
25 meability.

1 The implication is the EI-Function solu-
2 tion when properly modified to account for anistropic per-
3 meabilities would be applicable even in that extreme case,
4 and Dr. Ramey so states on page 128 of this paper.

5 Q Let's turn now, Dr. Lee, to the next
6 basic conclusion you have under the Basic Rock and Fluid
7 Properties, which I believe is number 4 on the summary. It
8 talks about the permeability thickness product values.

9 Would you first of all refresh our
10 recollection of your understanding of Mr. Hueni's position
11 on this question and tell us whether or not you agree or
12 disagree?

13 A My recollection of Mr. Hueni's position
14 is that we can characterize the reservoir with a permeabil-
15 ity thickness product in the range of, let's say, 400 milli-
16 darcy feet, something of that order, 200 to 400 millidarcy
17 feet.

18 Q Do you agree or disagree with that con-
19 clusion?

20 A I disagree in part but the thrust of my
21 conclusion is disagreement significantly as it affects the
22 performance of this reservoir.

23 What I found is, first, that permeability
24 thickness products vary significantly from area to area in
25 the reservoir, and I think we're all agreed on that.

11 Q Would you identify and describe for us
12 the basis upon which you have reached your conclusions on
13 this question?

14 A Yes, I will. The information on which
15 I've based this conclusion is summarized on a sequence of
16 pages, which begins on the page immediately following the
17 conclusion page, and on this first page I've summarized well
18 test analysis results, and here I've summarized the results
19 of interference test analysis, pressure build-up test analy-
20 sis, for the wells noted on this page, and particularly
21 noteworthy, I think, is the effective permeability thickness
22 value that I have determined from these various test ana-
23 lyses.

24 Now I want to make some observations.

25 One, you will note that there are data

1 from only two wells in the Gavilan Mancos Pool on this
2 table, and those wells are the Native Son No. 1, on which we
3 have two different pressure build-up tests, and the Rucker
4 Lake No. 2, on which we've reported one build-up test. That
5 bias towards data, or that apparent bias, really reflects
6 the general lack of test data in the Gavilan area.

7 Al Greer, in this testimony on Monday, in
8 Section S tried to fill this gap of test data in the Gavilan
9 area by determining permeability thickness product from
10 productivity tests, and that's all we can do in absence of
11 test data, but I would note that in the Spraberry paper
12 which I've just cited, the author, Mr. Lincoln Elkins,
13 showed that the results from productivity test analysis and
14 build-up test analysis and interference test analysis should
15 be expected to be comparable.

16 So we have to fill the gap somehow in the
17 Gavilan area.

18 The second point that I would like to
19 note is that we examined every build-up test analysis and
20 interference test run in both Gavilan and West Puerto Chi-
21 quito. I have not presented results here from all those
22 tests but as we will see in a moment, for the tests to which
23 we do not refer on this table we concluded that the test da-
24 ta were uninterpretable because the test, for the most part,
25 was run incorrectly and no conclusion at all should be at-

1 tempted from those test data from those other tests, and
2 we'll -- we'll look at those specific tests later.

3 All right, following this summary page,
4 you should have in your exhibit booklet a map inserted on
5 which we have plotted the position of the permeability
6 thickness values determined from the interference tests
7 and individual well pressure build-up tests, and this shows
8 the areal distribution and, as I've already noted, we have
9 permeability thickness values from only two wells or two
10 tests clearly in the Gavilan area. There is an interference
11 test between the Gavilan and West Puerto Chiquito, which
12 could be inferred to have some properties getting into the
13 Gavilan area, but there are just two build-up tests
14 completely in the Gavilan area.

15 All right, on the next few pages I
16 present graphs in which we plot the data from these tests
17 and show the basis for the conclusions that we've reached
18 from the permeability thickness products.

19 Q I notice in the exhibit book there is a
20 loose page that came out of Mr. Greer's exhibit book that
21 you've inserted at about this point. May we use this as
22 simply an index to keep track of where you are with regards
23 to well locations --

24 A Yes.

25 Q -- in the tests?

1 A Yes, and in particular this summarizes
2 the results from the analyses of the various tests, and I
3 think it's even more valuable for that purpose.

4 Q I notice in looking on this map there are
5 certain numbers written on the display. What are those num-
6 bers?

7 A Those numbers written on the display are
8 the permeability thickness product values which have been
9 determined for wells or areas between wells from all the
10 tests that I've summarized in tabular form on the page that
11 we've just been discussing.

12 Q When we look at the Kh values in the Gav-
13 ilan, they appear to be higher than those Kh values -- I'm
14 sorry, they're lower, in fact, than the Kh values in the
15 West Puerto Chiquito Mancos Pool. Is that not true?

16 A That's true.

17 Q Would you care to comment on that differ-
18 ence?

19 A Well, again, as I've -- as I've said ear-
20 lier in other words, that reflects lack of information as
21 much as anything else. We only have data from two indivi-
22 dual build-up tests in the Gavilan area, and that's where
23 the gap, where Mr. Greer has attempted to fill the gap from
24 lack of data in the Gavilan area by analyzing productivity
25 tests.

1 Q Let's go through those interference test
2 results and have you comment on them.

3 A All right. We have now a sequence of
4 diagrams starting with the interference tests in which we've
5 shown observed pressure change at individual wells in the
6 interference test plotted as a function of time and we've
7 shown the type curve, the EI-Function type curve which best
8 fit those data and from which we derived our estimate of
9 formation properties for the area in the general area of the
10 tested wells.

11 I have no particular comment but I wish
12 each one to look at these and observe the quality of fit.

13 The first is the response at A-14 due to
14 production at L-11 and P-11, two wells production affected
15 the response at one observation well.

16 The second of these pages is response at
17 Well A-23 due to production at L-11 and P-11, and those fit-
18 ted curves led to our estimates of formation properties.

19 The third of these graphs, the response
20 at A-23 due to gas injection at K-13.

21 The next one is different, notably dif-
22 ferent, and I need to explain this.

23 This is the analysis of a 1986 inter-
24 ference test in the Canada Ojitos Unit in which there were a
25 number of wells produced with the response being observed at

1 Well E-6. Now, that situation where there are a large num-
2 ber of wells being produced and the response observed in on-
3 ly one well can't be matched or can't be modeled simply by
4 an EI-Function solution for one active, one responding well.

5 What we had to do here is do some -- some
6 modeling or computer history matching of these test data,
7 and what we have on this graph on the vertical scale is the
8 observed pressure drop at well E-6 expressed in psi plotted
9 as a function to time in hours, and the solid line is the
10 calculated response; that is, what the response should have
11 been with a particular set of formation properties and not-
12 ably important here is the permeability thickness product
13 and the storage or porosity compressibility thickness pro-
14 duct.

15 The solid dotted lines here are the ac-
16 tual observed test data, and notice that the observations
17 begin long after production was started in this area. At
18 the time this test started the reservoir pressure was uni-
19 form. There had been a general lack of production and then
20 as wells began to produce they began to affect the overall
21 pressure in this area, and finally, long after individual
22 wells began to produce observations began to be made and the
23 comparison of actual and observed pressures are noted on this
24 graph, and particularly noteworthy is the overall pressure
25 level and general trend in the curve.

1 As one varies the permeability thickness
2 product, the factor that's particularly changed is the pre-
3 dicted pressure drop at the observation well and with the
4 permeability thickness product which, as I recall, was
5 10,300 millidarcy feet in this particular area, we found the
6 best match that we could find in this area, which is the
7 match shown here.

8 For larger permeability thickness pro-
9 ducts this generally predicts too little pressure change;
10 for smaller permeability thickness product it predicts,
11 again, a pressure change which does not agree as well with
12 the calculated trend.

13 All right, following this graph we move
14 into a sequence of graphs for pressure build-up tests.

15 Before we begin to look at these
16 individual tests, I want to make the comment that what we
17 want to look for here is any apparent dual porosity behavior
18 in these tests.

19 Mr. Hueni presented to us a pressure
20 build-up test yesterday which he suggested might have a
21 shape characteristic of dual porosity reservoirs and if you
22 might recall that testimony, he indicated that that
23 characteristic shape was that a build-up test might have a
24 characteristic straight line and then a deviation from that
25 straight line followed by another straight line with slope

1 parallel to the first. Please keep that shape in mind as we
2 go through this tab. I think we'll find in fact that --
3 that that was a unique curve shape and I'll have further
4 comments on that particular test when we look at it later.

5 All right, the first of these tests in
6 this section is a semi-log plot, or so-called Horner graph
7 of pressure versus a Horner time ratio.

8 What we're looking for on the Horner
9 graph is a straight line whose slope we infer to be related
10 to the permeability thickness product for the tested well.

11 It's not a straightforward matter to iden-
12 tify the most probable straight line. To assist in that and
13 what was done in the case of this first well, was to use in
14 addition a so-called type curve plot of test data.

15 A type curve plot is log-log graph of
16 pressure change during a test versus what we call effective
17 time in that test. That's shut-in time but modified to take
18 into account the influence of production period prior to
19 shut-in.

20 That log-log graph is compared to a type
21 curve and on the type curve we're able to deduce when the
22 most probable start of that straight line, whose slope re-
23 flects formation property begins.

24 The next graph is a little bit busy, but
25 it does show the type curve which best fit the actual

1 pressure data or actual pressure change. That's shown with
2 the square line and the best fitting type curve is shown
3 with the top curve here.

4 In addition it has become very popular in
5 the industry in recent years to also look at a so-called
6 derivative curve plot and I'm not going to elaborate that
7 any further except to say that that can help us even further
8 to determine when we have found the correct straight line on
9 a semi-log graph, and the characteristic that we're looking
10 for in the so-called derivative flat curve plot is that
11 which is shown with the X's in this particular case. When
12 that curve goes through a peak and then comes back and flat-
13 tens out. As we note at later times in this particular
14 test, toward the right the X's fall on essentially a flat
15 line and that gives us a pretty good assurance that in that
16 time region we found the correct straight line on the semi-
17 log graph.

18 So we always put together the semi-log
19 graph and the log-log graph, which includes the derivative
20 factor. But what we're hunting for is that correct semi-log
21 straight line. That's what the thrust of the effort is
22 about.

23 Well, we've seen that on Native Son No.
24 1. The next -- that was for 7-84 test.

25 The next pair of graphs is for a build-up

1 test on Native Son No. 1, an 11-84 test, and again note that
2 we have identified a semi-log straight line and have found
3 that we're aided by the type curves in being assured that
4 that is the correct semi-log straight line.

5 We will also note an absence of this test
6 shape indicative of dual porosity reservoir behavior. It
7 appears to be behaving as a single porosity system.

8 The next semi-log plot indicated is for
9 COU B-29, a test run in August of 1986, and I need to com-
10 ment on this test in a little bit special way.

11 This Horner graph that's shown here basi-
12 cally plots observed data in the test going from small days
13 of build-up time on the right towards large days of build-up
14 time on the left. In other words, time is increasing as we
15 go from right to left.

16 We've identified a fitting straight line
17 through these data but we note that at late times there's a
18 deviation from this fitting straight line. That is without
19 doubt interference effects in this particular test. Mr.
20 Lyon mentioned the problem of wells interfering with each
21 other in these tests and -- and noted that it's wise to --
22 to watch for this and try to take it into account when it
23 occurs. This well is being interfered with, so there is
24 some drawdown in pressure in the area of this well caused by
25 offset production. This complicates test analysis.

1 What we've done to take this into account
2 is note the rate at which pressure is changing early in this
3 test and the rate at which the deviation from the early
4 trend is occurring at late times and from this we can -- we
5 can deduce an apparent affect of interference from offset
6 wells, and we've tried to do that here and basically we
7 found that the straight line that we've drawn, we believe
8 gives a valid estimate of formation permeability thickness,
9 interference affects and all, but we're -- we're particular-
10 ly fortunate in the case of this particular build-up test
11 that this was followed by an interference test between this
12 well and an offset well and the permeability thickness
13 values determined from that interference test confirm the
14 permeability thickness values determined from the build-up
15 test.

16 I realize that this is beginning to be a
17 rather complicated argument but the long and short of it is
18 that interference effects and all, we believe we can still
19 determine a valid estimate of permeability thickness product
20 from this build-up test and that permeability thickness
21 value can be confirmed with interference test data from the
22 same well.

23 The next plot, and note that there's an
24 absence of a log-log plot for Well B-29 and the reason is
25 simply that no value of bottom hole pressure at the time a

1 shut-in was reported and that is required to make a valid
2 log-log plot, so we don't have a log-log plot for that well,
3 so we haven't hidden anything, it 's just that the data re-
4 quired to make that plot are not available.

5 The next plot is a semi-log plot form COU
6 B-32, and again remembering that the data from long shut-in
7 times are found on the left, we'll note a deviation due to
8 interference effects. In fact this is even clearer because
9 the pressure after reaching a maximum actually begins to
10 climb.

11 But once again we have confirming
12 interference test analysis which says that using the semi-
13 log straight line is placed where we have and analyzing the
14 rate at which pressure was changing due to interference
15 effects here, we -- we believe that this straight line again
16 leads to a reasonably valid estimate of permeability
17 thickness product (unclear.)

18 We notice on the log-log graph on the
19 next page that the derivative type curve which I would
20 remind you is shown by the big X's, reaches a flat value
21 indicative of a proper semi-log straight line, and then that
22 derivative, those X's, begin to go lower and lower,
23 indicating a deviation from the fitting trend and, of
24 course, that's reflecting the interference effects from the
25 offset well.

1 The next graph is a semi-log plot from
2 Rucker Lake No. 2. This is the well which Mr. Hueni identi-
3 fied as having a possible interpretation of dual porosity
4 reservoir behavior.

5 I've presented an alternative interpreta-
6 tion here. I would agree that -- that different interpreta-
7 tions are possible for a given set of build-up test data,
8 but I want to explain the reason why I have developed the
9 interpretation that I have here.

10 You'll note a semi-log straight line has
11 been identified here and on the type curve graph on the next
12 page you'll note that those later time data, which reflect
13 the data through which the semi-log straight line has been
14 drawn, also are fitting a type curve, and in that area
15 there's a lot of scatter and this derivative type curve is,
16 these X's, they generally trend around a flat area there.

17 Data before that semi-log straight line,
18 although they do show a minimum in this derivative, they --
19 we find that they simply do not fit dual porosity reservoir
20 type curves and certainly data on semi-log straight line, if
21 we were to try to draw two parallel semi-log straight lines
22 through those test data, they simply cannot, those -- those
23 data, those times simply cannot be confirmed by a type curve
24 analysis of data at those identical times.

25 And again I realize that this is becoming

1 a complex argument. The long and the short of it is that we
2 cannot reconcile semi-log analysis and type curve analyze
3 for the same data in the same time region on this test, we
4 simply cannot reconcile a dual porosity reservoir character-
5 ization for these particular test data.

6 But in any event, even if that were pos-
7 sible, this is the only one of the tests of all that we've
8 reviewed which have this particular shape which could by a
9 competent analyst, such as Mr. Hueni, be considered to pos-
10 sibly reflect dual porosity behavior.

11 The other well tests simply don't have
12 that characteristic.

13 Next graph, and proceeding faster, hope-
14 fully, the build-up test data from COU E-6, the semi-log
15 straight line is shown. The log-log graph match is shown
16 there.

17 Now, I indicated earlier that we had at-
18 tempted to review every build-up test, every interference
19 test, which have been run in the field and that in some
20 cases we were not able to do so. We felt that the test data
21 could not and should not be interpreted. We should not in-
22 fer permeability thickness products from those test data.

23 On the next page we have summarized the
24 other tests for which data was available to us and I would
25 like to identify for these wells what the problem was.

1 The Gavilan Howard No. 1, which had a
2 build-up test run in August of 1986, this well was in com-
3 munication with the Dakota prior to the test. It was worked
4 over and produced for only one day in the Mancos prior to
5 shut-in. We do not know and have not been able to determine
6 the rate history or cumulative production for the Mancos but
7 in any event, a build-up test following one day or less of
8 production is likely, in fact with high probability, will be
9 an uninterpretable build-up test. We must produce a well
10 prior to the build-up test for long enough to get out of
11 what we call wellbore storage during production period, and
12 stated simply that means you've got to produce the well long
13 enough so that the rate of oil from the surface is equal to
14 the rate at which oil is flowing into the well from down-
15 hole. At early times you unload the wellbore. There's oil
16 in that wellbore, you unload it, and the downhole rate is
17 less than the surface rate, and if you shut-in a well which
18 is still in that condition for a build-up test, you get an
19 improper test interpretation and that would be what would
20 happen if one attempted to analyze these particular test da-
21 ta with less than one day of production time.

22 The Hawk Federal No. 2, this had a very
23 inconsistent rate history prior to shut-in. Our review of
24 the test behavior indicated the well kept dying. Continued
25 flow, shut-in, flow, shut-in, one should not attempt a

1 build-up test analysis, certainly using this Horner type ap-
2 proach, which assumes a constant production period prior to
3 shut in, for a well with such data.

4 Bearcat Federal No. 1, this well was al-
5 ready shut-in when the testers arrived on location. Fur-
6 ther, the exact rate history prior to shut-in is not known.

7 The Invader Federal No. 1, this well pro-
8 duced for only 21-1/2 hours and here we had this problem
9 with wellbore storage. We checked the required duration of
10 production prior to shut-in to get out of this wellbore un-
11 loading problem and found that we still had a wellbore un-
12 loading problem at the time the build-up test began, and
13 therefore we conclude that one should not attempt to analyze
14 these test data.

15 And finally, the Loddy No. 1, this well
16 produced for only two days. The duration of wellbore stor-
17 age was not exceeded during the production period; didn't
18 produce long enough to get out of wellbore storage.

19 The next page in this section of the ex-
20 hibit is a copy or an excerpt from Mr. Hueni's exhibit book,
21 Figure 33, and here he has summarized his test interpreta-
22 tions. I didn't superimpose on this our test interpreta-
23 tions. I think you'll find if you check that you'll find
24 generally that Mr. Hueni and I basically agreed on those
25 test which we felt to be interpretable. There -- there are

1 differences in detail but not significant differences in
2 principal in most cases.

3 But I do want to point out that of the
4 test interpretations reporteds here in my opinion four of
5 these are interpretations of bad test data for reasons that
6 I've just cited, and the bad tests are those in the Hawk
7 Federal No. 2, the Bearcat Federal 1, Gavilan Howard No. 1,
8 and the Invader Federal No. 1.

9 The next page in this section of the ex-
10 hibit is also a reproduction of a plot from Mr. Hueni's Ex-
11 hibit 10, and this is the test in which he has drawn two
12 parallel straight lines; these lines have different position
13 form the straight line that I drew from these same test da-
14 ta, obviously, since we do have these two parallel straight
15 lines, but I've show the curve that he had.

16 The point I want to make is that the pos-
17 ition of the straight lines on the semi-log graph, the early
18 and late straight lines, are not consistent with Mr. Hueni's
19 type curve analysis and I've given a copy on the next page
20 of the type curve analysis which he has performed of his
21 test data, and this type curve analysis he didn't present in
22 his Exhibit Ten in this hearing but he did present the type
23 curve analysis of these same test data in the August, 1986,
24 hearing on this case.

25 Now, here's the point. The first straight

1 line should reflect the contribution of the fracture system
2 alone, the high porosity feature in the type curve, and no-
3 tice that that spans a very considerable time period.

4 On the type curve on the next page that
5 fracture contribution is reflected in that first matching
6 type curve, which is indicated there, the solid line drawn
7 through the observed data points, and notice that a -- that
8 data from a totally different time range had been matched
9 with the early type curve than those matched with a straight
10 line on the Horner plot.

11 And that's an inconsistent analysis.
12 Those are not the same data.

13 And then the late data, which reflects
14 the combined contribution of fracture and matrix system in
15 this sort of analysis, notice that that matching type curve
16 begins at an intermediate value of time and begins to match
17 the data, counting squares here, shortly after the beginning
18 of the second square, continuing through much of the data
19 but then beginning to move above the late data, and notice
20 the reproduction quality here is not as good as we might
21 wish, but the fitting solid line begins above the data in
22 the middle of the second square from the right.

23 Now going back to the semi-log graph that
24 second straight line has been drawn basically through all
25 the final data on the semi-log graph and by no means could

1 be argued to begin so early in time as illustrated on the
2 type curve analysis.

3 My point is this. I don't believe that
4 the type curve analysis that Mr. Hueni performed and the
5 semi-log analysis for these test data are consistent.

6 Q Having completed your presentation on the
7 interference information, would you refer back to the plot
8 we've looked at earlier.

9 On the E-6 Well there is handwritten and
10 as the top entry that says 10,300, and then there's a 12,860
11 below that.

12 A That's correct.

13 Q Why is there a difference in those two
14 numbers? What is it?

15 A The top number is the result of interfer-
16 ence test analysis between the E-6 and the offset well indi-
17 cated in the diagram. That Kh value characterizes the rec-
18 tangular shaped area in the vicinity of the test well and
19 the offset well.

20 The pressure build-up test analysis was
21 the source of the 13,860 millidarcy foot estimate and that
22 value characterizes a circular shaped area centered at that
23 wellbore. In other words, we're looking at slightly differ-
24 ent areas characterized by interference test on one hand and
25 build-up test in the other. Even so, those values are real-

1 ly rather comparable.

2 Q Let me direct your attention now, Dr.
3 Lee, to the summary on reservoir performance and have you
4 first of all identify for us the point in issue that is des-
5 cribed in Item Number Five, and contrast your recollection
6 of Mr. Hueni's conclusion on that point with what you have
7 concluded.

8 A All right. In summary, Mr. Hueni con-
9 cluded from an application of the material balance equation
10 that the original oil in place in this reservoir was approx-
11 imately 55-million stock tank barrels.

12 My conclusion is that the solution gas --
13 the solution gas drive material balance model, which Mr.
14 Hueni applied to analyze these test data did not provide a
15 reasonable match of observed data and therefore did not and
16 could not lead to a reliable estimate of original oil in
17 place.

18 And the implication is that the proposed
19 original oil in place estimate of 55-million stock tank bar-
20 rels is not reliable.

21 Q Let's turn to that section of your exhi-
22 bit book that is captioned Application of Material Balance
23 Equation and have you go through with us your conclusion,
24 the implication, and the basis upon which you've reached
25 that conclusion.

1 A Well, the conclusion and implication I've
2 just stated, so let's look at the -- the reasoning behind
3 this conclusion.

4 First, I'd like to look with you. and
5 this is summarized on the next page, at the general require-
6 ments for application of a material balance equation.

7 To apply the material balance equation,
8 first we must have identified the proper drive mechanism for
9 the field. There are different forms of the material
10 balance equation depending on what the drive mechanism is.

11 As an example, if we wish to use a solu-
12 tion gas drive material balance equation, then the field
13 must be behaving in a solution gas drive fashion. We've got
14 to apply the right equation to the right kind of field be-
15 havior.

16 Secondly, all production and injection
17 into the reservoir, and by reservoir in this case I want to
18 be sure we understand I mean all the pore space that's in
19 pressure communication. That needs to be taken into ac-
20 count.

21 The third requirement for material
22 balance, which is just basically a tank type approach, it
23 assumes that the reservoir is one big tank with all the
24 fluids in it at constant pressure or at least reasonably un-
25 iform pressure, or at least it can be characterized with a

1 single pressure number throughout.

2 A material balance equation is a model of
3 the reservoir, just as a reservoir simulator is a model of
4 the reservoir, except the material balance equation is what
5 we call a zero dimensional model. It assumes everything is
6 the same throughout the reservoir.

7 So it assumes uniform pressure. It as-
8 sumes uniform saturations in the oil zone and if we have a
9 solution gas drive model, it would assume uniformity in the
10 gas cap, and particularly important in this uniformity is an
11 absence of saturation gradients.

12 And finally, application of the solution
13 gas drive material balance equation specifically assumes
14 that the oil is either totally above the bubble point or to-
15 tally below the bubble point.

16 Well, the special requirements to apply
17 the material balance equation to determine original oil in
18 place are that to validate a particular tank type material
19 balance model, solution gas drive as an example, a good
20 technique is to calculate original oil in place from the ma-
21 terial balance equation at several different times, which
22 Mr. Hueni has done. That's a good approach to the problem.

23 The inference is, then, if with that as-
24 sumed material balance equation, which assumes a reservoir
25 drive mechanism, if the original oil in place is constant,

1 then the model may be considered to be verified. That's
2 history matching with a material balance equation, just as
3 with a simulator. We history match by trying to reproduce
4 observed pressure or gas/oil ratio performance. Our history
5 match here is do we continue to reproduce the same original
6 oil in place estimate.

7 Now, when we take that approach we also
8 have to be willing to accept the fact that if our calculated
9 original oil in place varies with time, if it is not the
10 same calculated from time to time and time, then either our
11 assumed drive mechanism is incorrect, we've got the wrong
12 model, or that other conditions which are required for the
13 material balance equation to apply, have not been satisfied.

14 For example, we might have the correct
15 drive mechanism identified but we might have significant
16 non-uniformities and pressure in the drainage area of a
17 well, or we might have significant saturation drainage with-
18 in the reservoir, but even then the tank type material bal-
19 ance model is not applicable with these large and important
20 (not understood.)

21 Now, in this particular application of
22 the material balance equation, the Gavilan Mancos Pool, I've
23 noted some significant inconsistencies.

24 I need to refer to a reproduction of Mr.
25 Hueni's Figure 50, which is found two pages in the exhibit

1 from the point that I'm discussing now, and here Mr. Hueni
2 shows his apparent original oil in place calculated at each
3 different observation point and plotted as a function of
4 time.

5 Mr. Hueni drew a straight line through
6 those data with a value of 55,000,000 stock tank barrels and
7 he concluded that the observations, the calculated original
8 oil in place points continued to reproduce this 55,000,000
9 stock tank barrel number observation after observation after
10 observation.

11 I don't agree with this. In fact, I have
12 fit the test data in that time frame in which we ought to be
13 attempting the material balance equation and I've agreed
14 with Mr. Hueni that we certainly ought to exclude that time
15 period during which part of the reservoir is above the bub-
16 ble point and part below, and that's indicated with the area
17 I've separated by the line with arrows. Excluding that, I
18 would still conclude that a better fit of the calculated oil
19 in place is shown with the schematic curve that I've indi-
20 cated there in darker line than the other type on that page.

21 The essential point is this. The calcu-
22 lated original oil in place number is changing from obser-
23 vation to observation to observation and there therefore
24 either we have the wrong model or there are significant
25 pressure or saturation gradients in that reservoir which

1 make the solution gas drive model inapplicable for that
2 reason alone.

3 The second point is that notably absent
4 from Mr. Hueni's model was the Niobrara C in Gavilan and
5 most of the West Puerto Chiquito production.

6 Now, given the demonstrated pressure com-
7 munication of these parts of the Mancos Pool, however
8 limited that communication might be perceived to be, it
9 still, it has been demonstrated that there is at least some
10 communication, and because there's at least some communica-
11 tion, the complete reservoir model should include the other
12 parts of this reservoir and the model has not.

13 The third inconsistency that I've noted
14 is that material balance equations led to the claim that
15 55,000,000 barrels of stock tank oil was identified. Now
16 the claim is also made later in Mr. Hueni's testimony that
17 of this 55,000,000 stock tank barrels, 90 percent is in the
18 matrix.

19 Now, that's really difficult for me to
20 believe. A tight matrix would feed oil very slowly to a
21 well's drainage area and would have a minor impact only on
22 the pressure that we would observe from that well in a pres-
23 sure survey, and so really what a material balance equation
24 approach, or material balance analysis of a reservoir would
25 -- would really look at, would be predominantly the oil in

1 place in the fracture system. The effect of the matrix
2 would be very minor, particularly early in the life of a re-
3 servoir, and so what I'm -- what I'm getting to is this:
4 Application of a material balance equation in a presumed
5 dual porosity reservoir in which specifically the -- the low
6 permeability part of the system is a very tight matrix, to
7 me that, attempting to model that kind of reservoir with a
8 material balance equation would simply lead to an estimate
9 which would reflect approximately the oil in place in the
10 fracture. And yet Mr. Hueni has characterized his result
11 from the material balance equation as reflecting the oil in
12 place in the fracture plus the matrix with in fact 90 per-
13 cent of the oil being in place in the matrix.

14 Now, my major point is that the condi-
15 tions required for applicability of a tank type material
16 balance, they're just not satisfied in a dual porosity sys-
17 tem with the tight matrix blocks because that sort of system
18 necessarily has large, significant pressure and saturation
19 gradients within the system. There are large differences
20 between pressure in the matrix and pressure in the fracture
21 system in a dual porosity reservoir, and Mr. Hueni has tes-
22 tified to those large pressure differences. He has projec-
23 ted performance which shows those large pressure differences
24 and saturation differences in parts of that system.

25 The fourth point really is sort of a sum-

1 mary conclusion and that is that the solution gas drive
2 material balance equation has been misapplied in this appli-
3 cation and thus the original oil in place estimate of
4 55,000,000 stock tank barrels is not reliable.

5 Q In examining Mr. Hueni's reservoir analy-
6 sis to determine reservoir performance, have you made an in-
7 vestigation and studied the information by which he has de-
8 monstrated the effects of multiphase flow?

9 A Yes, I have.

10 Q Do you have a separate tab or a portion
11 of the exhibit book that reflects the effect of multiphase
12 flow on a matrix contribution?

13 A Yes, I do.

14 Q Would you again summarize your understand-
15 ing of Mr. Hueni's position on that point, then describe
16 for us your conclusion and the implication of your conclu-
17 sion?

18 A Yes, I will. My conclusion, its implica-
19 tions, and the basis for those, are summarized on the page
20 entitled Effect of Multiphase Flow on Matrix Contribution.

21 The conclusion is in my analysis of two-
22 phase flows in matrices that two-phase, in this case gas-
23 /oil, flow effects, they -- they dramatically reduce the
24 ability of a low permeability matrix to produce oil into a
25 high permeability fracture system.

1 And there are two major reasons for this.
2 One is the permeability of the oil and the presence of gas
3 in the matrix is reduced significantly because of gas satu-
4 ration increases within that matrix. That's handled with
5 relative permeability curves.

6 But secondly, and really much more impor-
7 tantly, capillary forces, this is the so-called capillary
8 end effect, this tends to retain the oil in the matrix at
9 the fracture face and causes gas to be produced selectively
10 from a matrix block in which both oil and gas are present,
11 and it's this latter effect that wasn't taken into account
12 in the simulation that was performed by Mr. Hueni. In fact,
13 the simulator itself that he used does not model capillary
14 end effects, and to compound the problem he put zero capil-
15 lary pressure into the matrix. He said there's no differ-
16 ence between the pressure in the gas and oil phases in this
17 very tight matrix blocks, and in general the lower the per-
18 meability in the system, the greater the capillary pressure;
19 that is, the greater the difference in pressure between the
20 oil and the gas phases.

21 The implication of this is that the prob-
22 ability of a significant matrix contribution to reservoir
23 reserves is reduced virtually to zero in this specific case
24 if we take into account properly the effects of two-phase
25 flow, and further, the dual porosity simulator which was

1 used in this study is an inappropriate means for reaching
2 any conclusions about the possible contribution of tight
3 blocks which deplete by solution gas drive because it does
4 not properly model and makes no attempt to model capillary
5 end effects.

6 Now, I've provided some attachments which
7 provide the basis for some of the conclusions that I've
8 reached, and I'd like to identify for you the attachments
9 and the important statements in those attachments.

10 The first, following three typed pages
11 which summarize some of my arguments, the first attachment
12 is a paper entitled Determination of Fracture Orientation
13 from Pressure Interference, and that might seem far removed
14 from the issue under discussion here. This is another ana-
15 lysis of the performance of the Spraberry trend field by Mr.
16 Linc Elkins, who was the author of an earlier paper that we
17 noted on the Spraberry Field, but the reason why I selected
18 this paper here is because it was written several years af-
19 ter the paper that we reviewed earlier, and after that per-
20 iod of time, and incidentally, in this paper Mr. Elkins con-
21 tinued to imply that the EI-Function solution, although now
22 modified to take into account differences in directional
23 permeability, he implied that's still a good way to analyze
24 formation properties. But the point in this discussion is
25 this: He states very clearly in his introduction, and I've

1 underlined four or five lines in that introduction, he
2 states very clearly this: "The Spraberry Field covering
3 400,000 acres is a tight sand of less than one millidarcy
4 permeability..." that's the matrix, "...cut by an extensive
5 system of vertical fractures. Primary recovery dominated by
6 capillary retention of oil in the fractured sand matrix
7 blocks is less than 10 percent of the oil in place."

8 He's singling out the vast importance of
9 these capillary retention forces which tend to keep the oil
10 within the matrix.

11 In general, the lower the permeability
12 reservoir rock the stronger the capillary retention forces,
13 and in the Gavilan Mancos with its extremely low matrix per-
14 meability, as demonstrated from core analysis in that forma-
15 tion, capillary retention will -- should be even more domi-
16 nant than it is in Spraberry, which has matrix permeabili-
17 ties which even approach the one millidarcy level.

18 Now, the second attachment that I have is
19 a paper entitled Laboratory Determination of Relative Per-
20 meability.

21 In that second paper we're not really in-
22 terested here in how one determines relative permeabilities
23 in the lab, but this is the best discussion in the litera-
24 ture of the capillary end effect in fundamental form as op-
25 posed to application to specific fields, and I would like to

1 refer you in that paper to -- on page 189 to Figures 4, 5,
2 and 6, and my reason for doing this is to give insight into
3 the capillary retention phenomenon.

4 Let's look at Figure 6, for example, it's
5 at the bottom of the page and it's a little easier to fol-
6 low, we'll all know what we're talking about here.

7 Page 189, Figure 6, in the bottom right-
8 hand corner of the page.

9 What's plotted here is oil saturation in
10 a core as a function of distance from the outflow face of
11 that core. The outflow face is zero on the horizontal axis
12 and in this laboratory experiment what's being studied is
13 the displacement of oil from a core by gas. And what we
14 note is that as we approach the outflow face of this core,
15 that the oil saturation builds up to a high value. This is
16 the so-called capillary end effect and the application of
17 that to the field under consideration here today is that
18 this capillary end effect occurs in tight blocks such as the
19 matrix blocks within this particular field. There are dif-
20 ferences in pressure in the oil and gas phases in the frac-
21 ture system just outside the matrix and within the matrix
22 itself, and this difference in capillary pressures and pres-
23 sures within the two phases causes the pressure -- causes
24 the saturation of oil to build up on the face of the matrix
25 and tends to let the core or the matrix produce gas selec-

1 tively.

2 Now, taking that as insight into what
3 this end effect phenomenon is all about, as I've noted, this
4 same capillary pressure discontinuity as studied in the core
5 analysis here, that exists at the point of matrix/fracture
6 intersection in the Gavilan Mancos and therefore, the oil
7 saturation in a typical matrix block will appear, as I've
8 indicated back on my next page of typed testimony, in which
9 I plotted oil saturation in the matrix versus distance from
10 the face of the fracture. Any time we have intersection be-
11 tween a matrix block and a fracture part of the system, be
12 it a microfracture, be it a huge fracture there's going to
13 be discontinuity. The oil is basically in the matrix. The
14 smaller fractures, the larger fractures, all serve as con-
15 duits for that oil but the oil must get from the matrix to
16 these fractures in order to contribute to production, and
17 yet this capillary end effect, as observed in field perfor-
18 mance in the Spraberry, tends to keep the oil trapped within
19 the matrix.

20 Now, in Mr. Hueni's model, because of the
21 way that the matrix flow equations are formulated, that
22 model assumes a uniform oil phase saturation and a uniform
23 gas phase saturation throughout an entire matrix block. So
24 in the diagram that I've illustrated here, I've shown the
25 saturation profile which is used within that particular

1 reservoir simulator model.

2 There is no opportunity in that model to
3 have saturation varying with position within the model. The
4 model assumes a single saturation throughout the entire
5 model. So there's no way within that model that the capil-
6 lary retention forces could be modeled.

7 Now that modeling technique is used par-
8 ticularly for computational efficiency. It leads to more
9 efficient simulator to characterize a matrix block as having
10 a single pressure throughout the block and have a single
11 saturation within that block at a given period of time.

12 That method of modeling naturally frac-
13 tured reservoirs has been proposed in the petroleum litera-
14 ture by Warren and Rupe (sic) and basically that approach
15 said that to model flow rate from the matrix the flow rate
16 from the matrix, which we'll call Q_m in an equation that
17 I've cited here in the testimony is proportional to the mat-
18 rix permeability, the relative permeability to oil for that
19 matrix rock, reducing for the effect of gas saturation,
20 times the difference in that single pressure characterizing
21 the entire matrix and the pressure in the fracture system
22 just outside that matrix.

23 That model is also called the psuedo
24 steady state model for modeling dual porosity systems. It
25 leads to computational simplicity but the correct way to

1 model flow from a matrix to a fracture in a dual porosity
2 system, and the only correct way in cases such as this in
3 which we have the possibility of capillary retention forces
4 because the permeability of the matrix is so low, the only
5 correct way to model that is to use the so-called unsteady
6 state matrix flow model and in brief that method of modeling
7 behavior allows for saturation gradients and pressure gra-
8 dients within the matrix itself, so that we can model un-
9 steady state flow within the matrix. That takes a lot more
10 computer time to do. It's a lot more complex model but in
11 cases in which those saturation pressure gradients are im-
12 portant, that's the only proper way to model a reservoir,
13 and that method of modeling was not used in Mr. Hueni's
14 model. In fact, not only was that not used, Mr. Hueni set
15 capillary pressure forces equal to zero both in the fracture
16 and in the matrix.

17 In the fracture that's correct. There's
18 very little difference in pressure in the oil and gas
19 phases.

20 In the matrix, that's incorrect. There
21 will be substantial differences in oil and gas phases, phase
22 pressures.

23 Well, based on this analysis I've con-
24 cluded that the reservoir simulator model used by Mr. Hueni
25 does not properly model the mechanics of the Gavilan Mancos

1 Pool. The input of zero capillary pressure in the matrix,
2 that alone invalidates the model.

3 Even had capillary pressure been input,
4 the use of the psuedo steady state model for matrix perfor-
5 mance would still have invalidated the model in my judgment.

6 As another point on the model, although
7 not related to capillary end effects, I would note also that
8 that model included no dip, even though it had been demon-
9 strated that in the Gavilan area the dip averages approxi-
10 mately 100 feet per mile, and that dip is required to assess
11 the importance or lack of importance of up-structure gravity
12 drainage.

13 Q Dr. Lee, would you turn now to the sum-
14 mary page, which is the last page of your exhibit book, and
15 summarize for us your two principal conclusions?

16 A My two principal conclusions are stated
17 on the summary page, and when we cut through all the work
18 that I've done, I think there are two essential points to be
19 made and the first is that conclusions based on the results
20 derived using the dual porosity model are at best risky be-
21 cause the foundation on which that model is based is highly
22 questionable in my opinion.

23 The second conclusion is that any conclu-
24 sions that we as engineers reach based on the oil in place
25 estimate of 55,000,000 stock tank barrels derived from the

1 material balance equation and its application to this reser-
2 voir, those conclusions are also risky.

3 Q Based upon your study, Dr. Lee, do you
4 have an opinion as to whether or not the Commission can rely
5 with confidence on Mr. Hueni's analysis of the reservoir to
6 set production rates for the Gavilan Mancos and West Puerto
7 Chiquito Mancos Pools?

8 A Yes, I do have an opinion.

9 Q And what is that opinion?

10 A And my opinion is that it can place very
11 little confidence in conclusions derived from that analysis.

12 Q Let me ask you a hypothetical, Dr. Lee.
13 Let's assume that the Mancos reservoir, and by Mancos reser-
14 voir I mean both the Gavilan area and the West Puerto Chi-
15 quito Mancos area, if we produce the Mancos reservoir at top
16 allowable for this pool, which is the 702 barrels a day,
17 320-acre spacing, 2000-to-1 gas/oil ratio, which is the re-
18 quest of the opposition, and over a period of time, assume
19 two or three years from now, actual reservoir performance
20 and data proves that that producing rate was wrong, can we
21 still obtain a comparable ultimate recovery for the pool
22 equivalent to the amount we would have ultimately recovered
23 if production had been restricted originally?

24 A No, in my opinion we can't. You take ad-
25 vantage of gravity drainage from an early time or you're not

1 able to take advantage of it later, or perhaps saying it
2 more simply, in more simple terms, it's like Humpty Dumpty,
3 once he's fallen apart you can't put him back together
4 again.

5 MR. KELLAHIN: That concludes
6 my examination of Dr. Lee.

7 We move the introduction of his
8 Exhibit Number One.

9 MR. LEMAY: Without objection
10 Exhibit One will be entered into evidence.

11 I think before the cross exam-
12 ination we might take a little break now.

13 MR. PEARCE: Mr. Chairman, we
14 may want to off the record, but I think --

15 MR. LEMAY: Sure, let's go off
16 the record.

17

18 (Thereupon a discussion was had off the record.)

19 (Thereafter a seven minute break was taken.)

20

21 MR. LEMAY: We're going to con-
22 vene and then go off the record for a time schedule so that
23 we can have an extended break, a two-hour lunch break, which
24 will prepare the MMM group, give them time for preparation
25 for their rebuttal witness. There again our time schedule,

1 which we hope might take a couple hours, we're talking about
2 maybe 3:30, at that time we have that concluding cross exam-
3 ination, hopefully, but if it extends on further, we want to
4 hear it all, at that time we'll have statements and closing
5 arguments which I have been told will be brief, but we are
6 going to stay around this afternoon till we finish this up.
7 We're not going to take a break and come back Saturday or
8 Monday.

9 So if that's agreeable, we'll
10 continue with that, with that schedule.

11 MR. LOPEZ: Even if we have to
12 go to 6:00, Mr. Chairman?

13 MR. LEMAY: Even if we have to
14 go to 6:00 or 7:00.

15 MR. LOPEZ: Okay.

16 MR. LEMAY: We're not going to
17 take any break so we can wind this thing up today.

18 We'll take breaks, we're not
19 going to break permanently.

20 I understand that Mr. Mark
21 Adams of Phelps Dodge wants to make a -- or Phelps Dodge
22 wants to make a statement.

23 I understand Mr. Robert Mock
24 would like to say something because he has to catch a plane
25 this afternnon.

1 MR. MOCK: Mr. Chairman, Com-
2 missioners and Staff, Phelps Dodge appreciates the opportu-
3 nity to speak here today and we -- I particularly appreciate
4 the consideration on allowing me to make this presentation
5 out of time.

6 My name is Robert Mock. I'm
7 Director of Materials Management for Phelps Dodge Corpora-
8 tion. Among my responsibilities is the management of the
9 acquisition function of our acquisition of energy for Phelps
10 Dodge Corporation.

11 As an aside, I'm a graduate of,
12 or attended a New Mexico high school and graduated from New
13 Mexico State University, so I am a New Mexican.

14 Phelps Dodge is the largest do-
15 mestic producer of copper. In 1986 we produced about one-
16 third of the copper mined in this country. Nearly all of
17 our production is either mined or processed in New Mexico.

18 Phelps Dodge has invested ap-
19 proximately One and a Quarter Billion Dollars in equivalent
20 facilities and resources in New Mexico. We are proud to be
21 a part of New Mexico's business community. We have been a
22 part of this state for a long time and we will continue to
23 be a part of this state in the future.

24 In New Mexico Phelps Dodge is
25 number one among users and expenditures of utilities,

1 \$50,000,000 a year; number two among employers in total pay-
2 roll, over \$70,000,000 a year. We're number three among
3 taxpayers in this -- in the state, paying over \$10,000,000 a
4 year, and we are number four among customers of New Mexico
5 businesses, spending approximately \$20,000,000 a year. Our
6 average annual expenditure for new construction in this
7 state over the past three years is nearly \$70,000,000.

8 As you can clearly see, Phelps
9 Dodge is in New Mexico for the long haul.

10 Today Phelps Dodge is a heal-
11 thy, growing company in what has been a relatively anemic
12 industry. We reported net income of \$61.4 million in 1986,
13 remarkedly improved from 1984's record loss of \$268,000,000.

14 This recovery occurred at a
15 time when copper prices remained near all time low levels.

16 We pursue a competitive
17 strategy of being the lowest cost domestic copper producer
18 and among the lowest cost producers in the world. This is
19 not in-stage condition; it's a goal that we pursue constant-
20 ly.

21 In 1986 our unit production
22 costs per pound of copper produced were a third lower than
23 in 1981, before adjustment for inflation. After inflation
24 adjustment our '86 costs were 40 percent lower than they
25 were in '81. These cost reductions are achieved through a

1 combination of efforts. Directed by the vision of our
2 senior management dramatic improvements were made in effec-
3 tiveness and efficiency of our labor, equipment and facili-
4 ties utilization, and the effectiveness of our expenditures
5 for materials and service.

6 Also very significant in our
7 efforts to lower our costs is our willingness to invest
8 money in new technology. We are by no means experts in the
9 oil and gas industry. I'm here as a representative of
10 Phelps Dodge, a New Mexico taxpayer, a New Mexico employer,
11 and a New Mexico consumer of fuels and natural gas.

12 With the emergence of open ac-
13 cess to interstate pipelines for the transportation of third
14 party natural gas in 1985, we began to develop an understand-
15 ing of the natural gas and pipeline business. We believe
16 there's a significant value to be derived by the producers
17 and by the end users by moving up-stream of our traditional
18 pipeline supplies for natural gas. Our gas consumption in
19 the southwest, principally New Mexico, is approximately
20 25,000,000 cubic feet per day and our largest uses for
21 natural gas are in our smelters located in Hidalgo County
22 and Grant County, New Mexico, also a significant use for
23 natural gas is in our electrolytic refining facility in El
24 Paso, Texas. All of these facilities are positioned to be a
25 logical market for New Mexico's gas resource.

1 Phelps Dodge is interested in
2 obtaining at least a portion of its natural gas requirements
3 from within the State of New Mexico. In late 1986 we pur-
4 chased a small 4,000,000 cubic feet per day gas processing
5 plant in the San Juan Basin located in Rio Arriba County.
6 Today the plant is fed by seven wells owned by Mallon Oil
7 Company associated with the Gavilan Mancos Pool. The plant
8 currently is operating at between 30 and 40 percent of its
9 capacity. Residue gas from the plant is delivered to Gas
10 Company of New Mexico at their Cedar Mountain delivery point
11 and then on to market. We are presently seeking connections
12 with the El Paso Natural Gas Company's gathering system and
13 the gathering system of Northwest Pipeline.

14 Our ability to realize our ex-
15 pectations from this processing plant will be significantly
16 affected by the outcome of this proceeding. Phelps Dodge is
17 not in a position to present technical evidence which might
18 be helpful to the Commission in deliberating the issues.
19 I'm sure there will be adequate supplies of technical data
20 presented, that's already been presented and will continue
21 to be presented today.

22 I would, however, like to pre-
23 sent a businessman's point of view. I'm sure this Commis-
24 sion will be guided by what is in the best interest of the
25 state, its industry, and its people. We believe that any-

1 thing this Commission can do to enhance the attractiveness
2 of the business environment in New Mexico will in the long
3 run serve the public interest. Actions which make the oil
4 and gas business environment in New Mexico more attractive
5 for investment will translate into an improved availability
6 of New Mexico produced oil and gas and larger sales revenues
7 for the producers and tax revenues for the state.

8 We believe that a policy of en-
9 couraging well production at as high a level as possible
10 consistent with responsible (not clearly understood) of the
11 resource, will help to encourage investors to further
12 explore and develop New Mexico's resources.

13 Ultimately this philosophy will
14 translate into enhanced state revenues by encouraging new
15 markets to look to New Mexico for reliable long-term
16 solutions to their energy needs. Markets that traditionally
17 looked elsewhere for their energy needs can now access
18 through interstate and intrastate pipelines gas supplies in
19 New Mexico. Making this state's energy resource available
20 and accessible will benefit all New Mexicans.

21 In general, I would like to say
22 that in order to enhance the business environment in New
23 Mexico in this industry, there has to be, as in any
24 industry, there has to be predictability if an investor,
25 Phelps Dodge, or any investor, invests money under a certain

1 set of beliefs and understandings finds that the assumptions
2 that they made in that investment are changed, there's been
3 enough uncertainty exists in that business environment and
4 along with it an unwillingness to -- to make that investment
5 or to make further investments. I think it is the respons-
6 ibility of every state regulatory body to communicate con-
7 sistency and predictability in their rulings so that poten-
8 tial investors will view the state as an opportunity and not
9 an inordinate risk.

10 That concludes my remarks.

11 MR. LEMAY: Thank you very much,
12 Mr. Mock. I appreciate your comments.

13 We shall recall back Dr. Lee to
14 the stand for cross examination.

15
16 DR. JOHN D. LEE,
17 being recalled and remaining under oath, testified as fol-
18 lows, to-wit:

19
20 CROSS EXAMINATION

21 BY MR. PEARCE:

22 Q Before I begin asking questions I think I
23 need to warn you and everybody else in the room, although
24 they may already know, in listening to my questions and an-
25 swering them, I think you need to think of me as freshman

1 engineering student who, when he was in high school liked
2 English and football. That puts you at a severe disadvan-
3 tage but I hope that we are early enough in the course so
4 that your object will not be to flunk me out but to bring me
5 along. I'd appreciate that consideration, I really mean it.

6 You spent a good deal of your time this
7 morning discussing the modeling effort which Greg Hueni and
8 Bergeson and Associates had done.

9 Have you done, I gather from your creden-
10 tials, extensive modeling yourself?

11 A Most of my modeling has been supervising
12 modeling done by others in my company, but early in my
13 career I have done extensive modeling myself and I have de-
14 veloped very simple simulators as part of my teaching acti-
15 vities in school.

16 Q Have you ever used the model that Mr.
17 Hueni used the Ellipse model?

18 A No, I haven't.

19 Q Would it be fair to state that a model is
20 intended to reflect and predict reality? Is that what we're
21 trying to do? We're trying to take historical data, find a
22 model that it will fit, and use that to predict what's going
23 to going to work in the future?

24 A That's a perfect definition in my
25 opinion.

1 Q In your preparation for this case have
2 you discussed the modeling of this reservoir that Mr. Dillon
3 did with him?

4 A I asked him to consider modeling the re-
5 servoir using appropriate reservoir properties. That is the
6 extent of my input.

7 Q When you say you asked him to consider
8 modeling the reservoir using appropriate reservoir charac-
9 teristics, did you have any input into what those character-
10 istics should be?

11 A No, I didn't.

12 Q Did you have any input into which model
13 he should use?

14 A No, I didn't.

15 Q Could you give me an indication of
16 whether or not you have verified the parameters that Mr.
17 Dillon did use in his modeling effort?

18 A No, I haven't.

19 Q Thank you, sir. When did you first begin
20 to study this area?

21 A In late January of 1987.

22 Q And you indicated that you had reviewed
23 previous records, exhibits, and testimony, I assume, in
24 cases before the Division. What other information did you
25 review?

1 A It's difficult to be complete and accu-
2 rate so please excuse me if I ramble.

3 On the individual wells for which we ana-
4 lyzed pressure build-up tests, I have asked for those data
5 which were required to analyze the build-up and the inter-
6 ference test. These would include fluid property data, pro-
7 duction data from the wells, test and production data from
8 offset wells. Generally the information required to analyze
9 those tests.

10 I've asked for core data from which I
11 could deduce at least approximate values of reservoir pro-
12 perties. That sort of thing.

13 Q If we look at the second page of your
14 exhibit, Item Number 4, you conclude that permeability
15 thickness values equal or exceed 10 Darcy feet in much of
16 the reservoir. Can you give me an indication of -- well,
17 what do you mean by reservoir? What area are we talking
18 about?

19 A I'm talking about the area in which data
20 are available.

21 Q Okay, is that the West Puerto Chiquito
22 Mancos Pool and the Gavilan Mancos Pool?

23 A Most of the data that are available are
24 in West Puerto Chiquito.

25 Q All right, and that leads to my question,

1 when you say that your conclusion relates to much of the re-
2 servoir, I'm interested in the relationship of your conclu-
3 sion as between West Puerto Chiquito and the Gavilan Mancos
4 Pool.

5 A Well, I can only state as a fact a char-
6 acterization in the area in which I have reviewed data. We
7 must infer from geological reasoning, from analysis of pro-
8 duction tests, that there are similarities between some
9 parts of the two different areas.

10 Q And the interference tests on which you
11 relied were reflected in your exhibit. The one is the four
12 well test in, I suppose, central Puerto Chiauito Pool and
13 the other that northern test between the L-6 and the Gav
14 Howard Well, are those the two interference tests on which
15 you relied?

16 A There were three interference tests, one
17 1965 test, one 1968 test, and the 1986 test.

18 Q Okay.

19 A To characterize those tests more com-
20 pletely, the 1965 test involved the P-11, the L-11, and in-
21 terference was observed in A-23 and A-14.

22 In the 1968 interference test, that was
23 the test that involved production from a number of wells.
24 We included production from O-33, A-16, A-11, L-11, C-11, B-
25 10, and observed production in an observation well there.

1 And then the '86 test, that was -- that
2 was the one where there was deliberate control or where we
3 observed production from six wells offsetting the observa-
4 tion well.

5 Q In order to properly analyze the results
6 of an interference test is it necessary to know total com-
7 pressibility in order to analyze the results?

8 A It is not necessary to know total com-
9 pressibility in order to be able to determine Kh. It is ab-
10 solutely independent of total compressibility.

11 Q I'm asked to ask you about Phi H. I'll
12 say those words --

13 A No, only if I try to interpret a so-
14 called time match point in the test do I need to know Phi H.
15 I can determine Kh without making any commitment as to Phi
16 H.

17 Q All right, sir, let's look, if we can, at
18 the structure map which was included loose in your exhibit,
19 and I want to look at the lower lefthand portion of that. I
20 find the handwritten number 241. Would you tell me what
21 that number represents again, please?

22 A That number represents Kh from a build-up
23 test for the well there and I'll need to refer to my tabula-
24 tion of build-up test results to identify the well unless
25 you wish to have me confirm a certain well name.

1 Q All right, I think that is the Rucker
2 Lake Well.

3 A Yes. Okay.

4 Q And as I understand it, you did use that
5 value in your exhibit and in your consideration of this mat-
6 ter, did you not?

7 A Unless there's a typographical error, I
8 did.

9 Q Similarly to the southeast of that loca-
10 tion at another well I find a handwritten annotation,
11 203/ -- and mine got blurred out and I can't read it.

12 A Looks 268 on the original. We could con-
13 firm that with the tabulation of final results.

14 Yes, that's 268 from the Native Son No.
15 1.

16 Q Do you have any information available to
17 you about the productivity of those two wells?

18 A Yes. The Native Son No. 1, a representa-
19 tive test on that well, according to records available to
20 me, is 435 barrels of oil per day at a producing gas/oil ra-
21 tio of 462 cubic feet per barrel. Current status is that
22 that well is producing.

23 Let's see, the other well was Rucker
24 Lake, is that correct? My information indicates that a rep-
25 resentative test on that well is 193 barrels per day at a

1 producing gas/oil ratio of 667 cubic feet per barrel and the
2 current status of that well is that it is producing and has
3 produced to 1/1/87, 148,000 barrels of oil.

4 Q Okay. You indicated, I believe, that
5 your information indicated that the Native Son No. 1 Well, a
6 representative test would be about 435 barrels. Do you know
7 at what level that well is producing now?

8 A No, I don't.

9 Q Now, as I understand it from what is on
10 the exhibit and what you've just told me, you find 203 mil-
11 lidarcy feet in the Native Son No. 1 Well and 435 barrels,
12 is that what --

13 A Yes.

14 Q -- what I just found out?

15 A Yes.

16 Q Do you have information about the produc-
17 tivity of the wells surrounding that Native Son Well?

18 A Not -- not here now.

19 Q Do you know if generally they are -- is
20 the Native Son Well one of the better wells in the Gavilan
21 Pool? Or do you know?

22 A I don't know.

23 Q Similarly, do you have information about
24 the wells in the general vicinity of the Rucker Lake Well
25 and the productivity of those wells?

1 A Again, no.

2 Q Let's turn, if you would, please, sir, to
3 that section of your exhibit headed bubble point pressure,
4 and I'm looking at the second, the page right behind that,
5 the tabular display of information.

6 A Yes, sir.

7 Q You've corrected to a separator pressure
8 of 160 psia.

9 A That's correct.

10 Q How did you select that number?

11 A By checking with the operators and trying
12 to identify a number which might have characterized a signi-
13 ficant fraction of the wells whose pressure test data we
14 were trying to analyze in this study.

15 Q Could you indicate to me which operators
16 you checked with?

17 A Specifically with Mr. John Roe with Dugan
18 to give an opinion as to what might be typical of the area.

19 Q Do you know if a significant portion of
20 the operators in the Gavilan Mancos Pool have separator
21 pressures of between 25 and 50 pounds?

22 A I don't know. The purpose of these data
23 is simply to have fluid properties with which to analyze a
24 transient test analysis and the analysis varies only slight-
25 ly depending upon these values. It really makes no differ-

1 ence.

2 Q Let's look, if we could, to the next page
3 after the tabular summary. At the top it's headed Summary
4 of Sample Results.

5 Is it fair for me to summarize your tes-
6 timony to be that you believe the properties found in the L-
7 11 Well are generally applicable to the combined Gavilan
8 Mancos - West Puerto Chiquito Pools?

9 A No, I am not implying that. In fact
10 that's not true, because the Gavilan Mancos Pool is at a
11 lower elevation and I have made no such application.

12 Q Have you made the conversion? I mean
13 isn't it possible to do a mathematical conversion and see
14 whether or not those properties, if they were at similar
15 elevations?

16 A One can adjust fluid property data for
17 differences in elevation.

18 Q And have you done that?

19 A No, I haven't.

20 Q Reflected on that is a test for the Loddy
21 No. 1 Well. Do you know what sampling procedure was used in
22 taking the Loddy sample?

23 A A not very good one. Specifically it's
24 outlined in the page Detail of Fluid Sample Analyses. That
25 sample is viewed as -- that sampling is generally viewed by

1 the operators or their representatives, specifically Mr.
2 John Roe and Mr. Al Greer, as being a well in which the well
3 was not properly conditioned prior to sampling; therefore we
4 have less confidence in that sample analysis than in the
5 others.

6 Q Do you have any information -- I notice
7 that the indication here on your exhibit shows shut-in since
8 September 10th of 1985 and the test date was February 26 of
9 '86.

10 When you mention conditioning, do you
11 know what was done to that well before they went out and
12 tried to sample it?

13 A No, I don't.

14 Q Are you aware of fields or areas of oil
15 production where fluid properties vary areally or vertically
16 within a pool?

17 A Yes, I am.

18 Q If you will turn, please, sir, to a
19 section headed Matrix Contribution, Explanation of
20 Attachments, how do you define matrix as you use it in your
21 exhibit?

22 A The lower permeability system part of our
23 system which is -- whose permeability is characterized by
24 the .018 millidarcy permeability average that Mr. Hueni
25 reported to us.

1 Q And I believe you testified in response
2 to one of Mr. Kellahin's questions that you had been in
3 attendance throughout the hearing of this matter the last
4 several days?

5 A That's correct.

6 Q And I assume -- well, I won't assume.
7 Have you reviewed Mr. Greer's exhibits in this matter?

8 A Not closely enough to say that. I have
9 fingertip familiarity with them.

10 Q Are you aware of a term which he uses, I
11 believe, of tight fracture blocks?

12 A Yes.

13 Q In your understanding, how is a tight
14 fracture block related to the matrix?

15 A Well, with the term tight fracture block,
16 what Mr. Greer perceives as a model of the reservoir is that
17 there -- there may be blocks of significant size surrounded
18 by natural fractures, and by significant size I mean 20, 40,
19 60 acres.

20 And then when one drills a well, the odds
21 are it will not encounter a large major fracture, but in-
22 stead be some distance from it and therefore to get in pres-
23 sure communication with that natural fracture system which
24 dominates the production performance of the well, we have to
25 hydraulically fracture the wells. In fact, I'm told that of

1 all the wells in the field, the only natural or prestimula-
2 tion -- there's only one prestimulation producer, which --
3 which supports this idea. In other words, we have to hy-
4 draulically fracture the well and establish communication
5 with a major fracture system.

6 Now I'm being responsive, to get back to
7 your question.

8 Mr. Greer -- Mr. Greer's model of the re-
9 servoir is that these tight blocks are this block into which
10 a well is drilled and through which we must fracture to in-
11 tersect with a natural fracture system.

12 Q And -- and this conceptual model, as I
13 understand it, with major fractures over that -- an area
14 that large in acreage is defined as a highly fractured
15 reservoir?

16 A That's -- that's a matter of semantics.
17 You know, it's a fractured reservoir from which from
18 reservoir analysis Mr. Greer feels that he can deduce a
19 certain amount of oil in place within the fracture system.

20 Q Did you agree with Mr. Greer in his
21 conception of at least the West Puerto Chiquito Pool?

22 A I've -- I've not reviewed any direct evi-
23 dence but it certainly sounds like a plausible idea to me,
24 based on well performance, this idea of having to hydraul-
25 ically fracture the well to communicate with a fracture sys-

1 tem.

2 Q If that conceptual model were accurate,
3 is everything between those major fractures defined as mat-
4 rix under your model, your conception here that we're talk-
5 ing about?

6 A Oh, I think that's conceivable.

7 Q Is there a third type in your analysis in
8 which we have major fractures, a less major fracture system
9 and matrix?

10 A In my analysis. What do you mean by in
11 my analysis? I --

12 Q Well, I'm -- you indicated that it was
13 conceivable that major fractures, one to every 60 or 80 ac-
14 res, and matrix, it was conceivable that that's all you had.

15 A Yeah, yes.

16 Q Is it also conceivable that there is a
17 third type of operative mechanism which might be called mic-
18 rofractures?

19 A There are microfractures. We have seen
20 evidence of microfractures. I don't know about the term
21 operative mechanism, but certainly we have seen evidence
22 that there are microfractures in cores when they've gotten
23 to the surface.

24 Q I would ask you now, sir, to please turn
25 toward the end of your report where you discuss the material

1 balance equation.

2 Have you calculated original oil in place
3 in this reservoir?

4 A No, sir, I haven't.

5 Q Have you attempted to do that?

6 A No.

7 Q If you had attempted that do you believe
8 you have the information available to you which would have
9 allowed you to perform that calculation?

10 A The information may be available but I'm
11 afraid this reservoir is so complex that, A, a simple
12 material balance is not an adequate model for reasons that I
13 stated in my testimony, and therefore, I'm required to turn
14 to some alternative method and the method that first comes
15 to mind is a total field reservoir simulation, and that
16 would be prohibitively expensive.

17 Q Outside of that prohibitively expensive
18 tool, is there, in your opinion, no reliable way to estimate
19 original oil in place?

20 A Well, at least in areas. There are re-
21 liable ways to characterize areas, one -- one of which Mr.
22 Greer has used extensively and that is to interpret inter-
23 ference tests which can lead to values of the product of
24 porosity, total compressibility, and thickness, and from
25 that interpretation of the test, one can infer the oil in

1 place within the tested area, and in that way, at least,
2 there's potential for characterizing individual areas and
3 their oil in place.

4 Q And in order to make that calculation de-
5 pendent upon the interference test applicable to the pool as
6 a whole, you need to feel some confidence that the interfer-
7 ence tests reflect the pool as a whole, do you not?

8 A I -- I confined my comments to individual
9 areas and I wouldn't extrapolate to the field as a whole.

10 Q But -- thank you. If you said that, I
11 missed (not clearly understood) awhile ago.

12 Okay, in the materials you've looked at,
13 the interference tests, what Phi H number was used in making
14 those calculations?

15 A I made no calculations like that so I
16 used no number.

17 Q If I may, Doctor, I'm going to hand you a
18 copy of the exhibit which Mr. Greer testified to, if you
19 don't have a copy with you.

20 A I don't have a copy.

21 Q I would ask you initially, sir, to please
22 turn to the first orange sheet behind Tab S, as in Susan.
23 That is a tab -- that's a sheet headed Semi-log Plot and ap-
24 parently refers to the E-29 Well.

25 I'd ask you to --

1 MR. KELLAHIN: Excuse me, I
2 don't mean to interrupt counsel, but may we ascertain that
3 we are intending to stay within the scope of the rebuttal
4 testimony of Dr. Lee? I assume that's where we're headed.

5 MR. LEMAY: I think we're in
6 that scope right now.

7 Q I would ask you first of all, sir, if
8 this exhibit is based upon the same data that you relied on
9 in constructing your Horner plot that you discussed this
10 morning?

11 A It appears to be at a quick glance.

12 Q And I would prefer to use this one be-
13 cause it does not have the Horner scale, which I have diffi-
14 culty explaining to the witness.

15 Have you studied and performed a complete
16 analysis of this well test?

17 A Yes.

18 Q Would you have some confidence in the re-
19 sults of that test and the way it was performed?

20 A Yes.

21 Q And the results of that test, as calcu-
22 lated?

23 A The results that I calculated, which may
24 or may not be the same as Mr. Greer's. I don't know what
25 he's calculated.

1 Q All right. I notice on this exhibit that
2 Mr. Greer has calculated 49 Darcy feet transmissibility for
3 this well. Did you calculate transmissibility?

4 A Yes. Do you want to know what number I
5 got?

6 Q Yes, sir, I would, please.

7 A Yes, I got about the same answer.

8 Q Okay, do you know, sir, what zones this
9 well is completed in ?

10 A No, I don't.

11 Q If this zone was -- if this well were
12 completed of zones of differing pressure would that have an
13 effect on the results of the test?

14 A It might.

15 Q Can you tell me what pressure range was
16 used in determining this transmissibility?

17 MR. KELLAHIN: Excuse me, on
18 which exhibit? On Mr. Greer's exhibit?

19 MR. PEARCE: Yeah, I'm still
20 referring to Mr. Greer's exhibit.

21 A It appears that the pressure's in the
22 range 1373 psia to about 1375 psia were used in his deter-
23 mination.

24 Q Okay, it appears to me looking at that
25 that the data represented by the set of dots begins at the

1 lower center of the page and comes up almost vertically to a
2 point of 374.

3 A That's correct.

4 Q So there's about a one psi pressure
5 change in analyzing this data.

6 A That's correct.

7 Q And that occurred -- can you tell me over
8 what period of time that one pound pressure change occurred?

9 A You'll have to refresh me as to the time
10 scale Mr. Greer said he used.

11 Q It's in hours.

12 A Hours. That occurred within about the
13 first 20 hours of the test.

14 Q And over what period of the test?

15 A The first 20 hours, sir, as I understand
16 the question.

17 Q Well, I -- it -- it seems to me that the
18 data on this test doesn't begin until after more than 10
19 hours. Perhaps I don't understand this scale, either, but I
20 mean it -- I find the first data point reflected on my exhi-
21 bit to be beyond the center of the log Delta T scale.

22 A That's correct.

23 Q And how many hours is represented at one
24 log Delta T?

25 A I assume that's 10 hours.

1 Q What I thought.

2 A Yes, and therefore my conclusion that the
3 data coming up almost vertically was at a log Delta T of 2.
4 I think it's about 20 hours.

5 Q Okay, and what was the time interval from
6 zero to 20 hour time period that was used in constructing
7 (not clearly understood.)

8 A I'm sorry, sir, I don't understand the
9 question.

10 Q And what time interval was used in con-
11 structing the line on the -- the straight line is an inter-
12 polation from a set of data points, it appears.

13 THE REPORTER: I'm sorry, I
14 didn't hear all of your question, Mr. Pearce.

15 Q The straight line appears to be an inter-
16 polation from a set of data points on part of that scale.

17 A Yes, sir, that 's correct.

18 Q Do you know, sir, what the gauge measure-
19 ment depth was in this test?

20 A I have that in my notes. I don't have it
21 here.

22 Q Okay, I notice on Mr. Greer's exhibit an
23 annotation 6200 GL. Is that reflective of the gauge depth?

24 A Apparently. I'm not familiar with all
25 his abbreviations, so I don't know.

1 Q Have you -- what pressure did you use in
2 the reservoir if the gauge was at 6200? Did you make a con-
3 version?

4 A Yes, we -- in my analysis I attempted to
5 correct in every test from where the gauge was to the mid-
6 point of perfs as a datum for the individual well.

7 Q Do you -- what pressure did you use in
8 regard to this test after conversion?

9 A I really don't understand what you mean
10 by what pressure.

11 Q How did you make the conversion to adjust
12 for depth of gauge versus depth to the midpoint of the per-
13 forations in a well?

14 A Taking into account the substances in the
15 wellbore, hopefully, and in most cases there was liquid in
16 the wellbore in which case we could use a liquid gradient
17 from the gauge to the midpoint of the perfs for that pres-
18 sure correction. In some cases, perhaps this is one, there
19 may be gas in the wellbore at the location of the gauge, in
20 which case one must use a gas gradient down to a proceived
21 fluid level to make a correction and then in a fluid level
22 down to the midpoint of the perfs.

23 Q And do you know where the fluid level was
24 perceived to be in this well when this test was tested?

25 A If this is that well in which that sort

1 of correction was made, I had to inquire of Mr. Greer and
2 accepted his opinion as to where that fluid level was.

3 Q When you received the information from
4 Mr. Greer, there was a fluid column or only a partial fluid
5 column -- I'm not -- let me try again -- a gas-oil interface
6 in the tubing, how did you know whether or not you needed to
7 inquire of Mr. Greer for that information?

8 A We always want to have the pressures at
9 midpoint of the perfs to make sense.

10 Q Yes, sir.

11 A And, and if you have -- if you have gas
12 in the wellbore and assume it's liquid, you may extrapolate
13 up to a pressure level that makes no sense at all, in which
14 case you inquire, was there -- is there a possibility of gas
15 in the wellbore in this case.

16 Q If there was a gas/oil interface in the
17 well, did you measure that with time?

18 A Did I measure that with time? I don't
19 know whether Mr. Greer measured that with time or not. I
20 didn't.

21 Q Okay. Can you indicate to me, sir, if an
22 interface moved by 20 feet during the test, what impact
23 would that have on the results shown?

24 A That's a wellbore storage phenomenon
25 which affects early time data and transient tests.

1 Fluid gas/liquid interfaces move much
2 more than that in tests and they are perfectly interpret-
3 able.

4 Q Would that not affect the reported bottom
5 hole pressure during the test?

6 A It -- the position of the gas/oil contact
7 affects the bottom hole pressure. If you're saying is there
8 shift in gradient during the test would that affect the bot-
9 tom hole pressure, yes.

10 Q And 20 feet of movement times the .3
11 psi gradient is about 6 pounds of pressure difference?

12 A It seems correct.

13 Q That is substantially greater than the one
14 psi test gradient, is it not?

15 A Yes.

16 Q If I may, sir, let me try to ask a hypo-
17 thetical question.

18 If a pressure test is taken on a well
19 completed in two zones, the upper zone has a pressure of
20 about 1700 pounds and is a low producing zone, the lower
21 zone has a pressure of about 1300 pounds, and is a highly
22 productive zone, what impact will that have on a pressure
23 test of that well if those zones are not segregated during
24 the pressure test?

25 A Well, that's a layered reservoir system
and the response in a pressure build-up test in such a sys

1 tem that the early data, after funny things in the wellbore
2 are over, reflects the total permeability thickness product
3 of both layers together, and if the higher permeability sys-
4 tem is at lower pressure, it will dominate the test response
5 and the lower permeability part of the system will have very
6 little impact early. It's impact will be felt later, in
7 which case it will cross flow, because it's at higher pres-
8 sure, into the higher permeability part of the system, but
9 in the range of data such as we have here, the higher per-
10 meability part of the system, regardless of its pressure,
11 predominates the test behavior.

12 Q Can you give me some idea of how long
13 that cross flow, given the 1700 and 1300 pound pressure dif-
14 ferences might be expected to last?

15 A I can't even speculate. I'd need to look
16 at a specific situation, sit down and make calculations on
17 it.

18 Q Could that have affected the test on the
19 B-29 Well?

20 A It's not inconceivable, but as I say, if
21 there's a high permeability layer, that's going to dominate
22 the test behavior during the time in which we get that --
23 that straight line on the semi-log graph which tells us for-
24 mation characteristics, in my opinion.

25 MR. PEARCE: Nothing else.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Thank you, sir.

MR. LEMAY: Are there additional questions of Dr. Lee?

Mr. Chavez.

QUESTIONS BY MR. CHAVEZ:

Q Dr. Lee, at a reservoir permeability of an average of 10 millidarcy feet, would you expect there to be a pressure differential that would exist at around 400 psi when the wells are about four miles apart?

A I think you meant to ask me 10 Darcy feet and I'm going to respond to that.

Q Yes, that's right. Yes.

A Not if there is continuous communication at that transmissibility level, but we need to -- we need to compare permeabilities within communicating strata, and I need to qualify my answer to that extent.

Specifically, we don't want to compare a pressure measurement in the C to a pressure measurement in the A some distance away, if we believe that the A and C are basically in very poor communication.

Q In that sense, then, also would the bubble points between the C and the A and B Zones, would those be expected to be different, also?

A Conceivably they could be. I mean, be

1 expected to be, you know, I can't say that they would be ex-
2 pected to be. I'd simply say that it's possible.

3 Q So in your experience have you come
4 across stratified reservoirs where they were very similar or
5 very different, or what has your experience been?

6 A I've run into both types. I've run into
7 situations in which the fluid characteristics seem to be the
8 same throughout a reservoir.

9 I've run into cases in which there was
10 noticeable variation of fluid properties from, say, high on
11 structure in a reservoir with large closure, down to lower
12 on the structure.

13 Q Then in making an analysis of the fluid
14 properties of the reservoir characteristics, when you have a
15 stratified reservoir wouldn't it be more appropriate to take
16 the fluid properties from each of the zones?

17 A If it could be established that those
18 properties varied that -- that would be appropriate, but as
19 to whether it's appropriate to spend a lot of time with
20 that, that depends on what you want to do with those pro-
21 perties, and if you're just looking, probably, say to ana-
22 lyze a transient test, there's rarely enough variation for
23 that to affect a test analysis.

24 Q In your -- oh, I'm sorry. In your Exhi-
25 bit One of your well test analysis results --

1 A Yes, sir.

2 Q Okay, you'd made a comment that with only
3 three tests in the Gavilan Mancos area you didn't feel that
4 the permeabilities were reliable or --

5 A No.

6 Q -- maybe I misunderstood.

7 A No, no. I'm saying we have not sampled
8 that area thoroughly if we only have three tests and really
9 only two wells.

10 Q Okay, even though there's only three
11 tests, one well having two tests which are similar, doesn't
12 that kind of reinforce that that's a good measurement of
13 permeability?

14 A Oh, I don't question the measurement of
15 permeability in the testing of the tested well. I'm simply
16 saying we have not characterized that entire reservoir by
17 just looking at the properties of two wells, and so to char-
18 acterize the rest of the reservoir we need to go to other
19 kinds of calculations and use the data available to us, and
20 that's why Mr. Greer has chosen to characterize the rest
21 with productivity tests.

22 Q Okay. Well, Mr. Lee, aren't you trying
23 to characterize the West Puerto Chiquito Mancos with only,
24 let's see, one, two, three, three build-up tests and inter-
25 pretations from interference tests?

1 A Yes, I am, because that's a much more re-
2 presentative sample. You know, again we have no absolute
3 assurance that the properties outside those tested areas are
4 comparable to those inside but at least we have much wider
5 sampling procedure; much higher probability that that's a
6 good characterization.

7 Q Are you basing that on, say, the areal
8 extent of the reservoir versus how many wells within it were
9 tested?

10 A Yes, sir, I am.

11 Q When you're talking about matrix perme-
12 ability calculations in the West Puerto Chiquito Mancos
13 Field, are you talking mostly about matrix within the C zone
14 as you talk about no matrix contribution or very little?

15 A I have to -- I have to preface my answer
16 with this: Mr. Hueni has -- has chosen to characterize the
17 matrix with some core data and I'm simply commenting on
18 those core data, you know, if -- if that's characteristic,
19 then this is the sort of permeability level that we have.
20 So I really can't go beyond saying I've used Mr. Hueni's da-
21 ta for characterization.

22 Q You made a comment in your analysis of
23 Mr. Hueni's Figure 34, which is the build-up test in the
24 Rucker Lake No. 2.

25 A Yes, sir.

1 Q That the second portion of the build-up
2 test could be interpreted as matrix contribution to pres-
3 sure, is that correct?

4 A What do you mean by second portion of the
5 test, sir?

6 Q Excuse me. We have -- Mr. Hueni inter-
7 preted one straight line portion, then a pressure anomaly,
8 then a second line portion towards the upper part of the
9 graph.

10 A Yes, sir.

11 Q He said that the upper portion could be a
12 contribution of the pressure by the matrix. Is that cor-
13 rect?

14 A The upper portion would be the combined
15 contribution of the matrix plus fracture in a dual porosity
16 system.

17 The lower portion would be the contribu-
18 tion just from the fracture itself, which would dominate
19 early behavior, just as I illustrated earlier in the layered
20 reservoir situation.

21 The higher permeabilty part of the system
22 dominates early response and then the lower part comes into
23 play later and you see that total combined effect later in
24 the life of the test.

25 Q Dr. Lee, in your analyses and calcula-

1 tions of material balance equations, is it not common en-
2 gineering practice to take a graph or a chart or figures and
3 average them, deleting those portions which are -- you feel
4 are not representative?

5 A Sure it is, but that -- but when you say
6 you're going to average them, what you're -- what you're
7 really trying to do is validate a model. You're trying to
8 say, let's suppose this is the kind of reservoir. Let's
9 suppose it's a solution gas drive reservoir and that from
10 pressures and production at different observation points I
11 can calculate an oil in place.

12 Then I plot that calculated oil in place
13 versus, say, cumulative production or time or whatever I
14 chose to plot, and if I see random variations around a mean
15 value, then I'm justified in finding that mean value or fin-
16 ding a reasonable straight line fit. Okay, I'm saying
17 that's the oil in place determined from that method, but if
18 I see a systematic trend which is not fit by a straight line
19 with points scattered on either side, I say I have selected
20 the wrong model and therefore I shouldn't attempt to deduct
21 any -- deduce any reservoir properties from that model.

22 Q In your comments on his -- Mr. Hueni's
23 oil in place calculation, you said he'd left out the
24 Niobrara C and most of the West Puerto Chiquito production
25 and injection.

1 If an engineer felt that an offsetting
2 pool had very little to do with their reservoir, could he in
3 his interpretation leave out what he considered might be an
4 insignificant contribution of factors?

5 A The term "very little" is a fuzzy term.
6 If it has no effect, certainly he would be justified . It
7 it had, you know, tiny, again which is another qualitative
8 term, he would be justified, but, you know, how little is
9 little? We must consider the possible impact of this in our
10 model. If there's some pressure communication, we need to
11 consider that possibility and see if we need to include that
12 in our model.

13 Q In an interpretation of the Greer inter-
14 ference test you said that it wouldn't be appropriate to ex-
15 trapolate oil in place from those tests to the entire reser-
16 voir, is that correct?

17 A That's correct.

18 Q Is it improper to extrapolate perme-
19 ability of those tests to the entire reservoir?

20 A It is. It is equally improper, you know,
21 until we have sampled enough wells to see that we really
22 have a representative average.

23 Q Thank you, that's all I have.

24 MR. LEMAY: Thank you, Mr.
25 Chavez.

1 Additional questions of the
2 witness?

3
4 QUESTIONS BY MR. HUMPHRIES:

5 Q I apologize, Dr. Lee, this morning I
6 wasn't able to completely clear my calendar, but I have one
7 question in your -- what would be the third page of your
8 report.

9 To quote from it, it says, "Especially
10 important is the need to consider the so-called capillary
11 end effect caused by large differences in matrix and frac-
12 ture permeability. This effect tends to prevent the flow of
13 oil from the matrix to the fracture and instead to collect
14 at the fracture face."

15 We've heard a lot of testimony about two
16 different concepts as to whether we have a tight matrix or a
17 tight block. If this collection builds up on the fracture
18 face, what, in your experience, is the best method to remove
19 that collected fluid or collected oil from the fracture
20 face?

21 A The technique that's been applied most
22 successfully in practice is to consider waterflooding a re-
23 servoir like that, because capillary forces can work for a
24 waterflood. Water will tend to go into those tight matrix
25 blocks because of capillary forces and displace the oil out,

1 so that's the way to deal with that problem.

2 It's not effective unless there's enough
3 permeability in the matrix for that imbibition to occur at a
4 reasonable rate and for the oil in imbibe back out at a
5 reasonable rate, and that's why in addition to worrying
6 about capillary to oil, I need to worry about what is the
7 permeability of that matrix.

8 MR. HUMPHRIES: Mr. Chairman,
9 may I ask some questions about sort of generalized things
10 that have to do with his educational background?

11 MR. LEMAY: Please do.

12 Q I served on the Board of Regents of a
13 State University for about thirteen years so I have some
14 concept of what it takes to be a person who's received a
15 chair nomination. I assume the Noble Chair is the chair
16 that's been in existence at A & M for awhile, is that cor-
17 rect?

18 A It's a fairly new chair. It's been in
19 existence for only two or three years.

20 Q And do you do research associated with
21 the chair or was all your research done, I didn't have a
22 chance to look document by document through the research and
23 publications --

24 A Yes, I did.

25 Q -- you did. Would it be fair to say that

1 when you do a publication you've done some research prior to
2 that?

3 A That's correct, sir.

4 Q When -- when you do research I assume
5 that one of the things you look for is repeatability of pre-
6 dictions --

7 A Yes, it is.

8 Q -- you determine that?

9 A Yes.

10 Q We've been asked to give a great deal of
11 credibility to two models that seem to be very diverse.
12 They don't necessarily conclude the same things. I think
13 they conclude some similarities.

14 Do you subject your results and your re-
15 search to further scrutiny after your first hypothesis?

16 A Yes, I think that's proper research prac-
17 tice and I try to follow that practice.

18 Q Do results change?

19 A Yes.

20 Q Would they change as a function of per-
21 haps more information about some of the variable inputs into
22 the model?

23 A They do indeed.

24 Q We've asked a lot of questions of expert
25 witnesses back and forth about the variables that were input

1 into this model, and we have two separate models. How do you
2 increase repeatability?

3 A Try to match -- try to match more obser-
4 vations.

5 Q And to match observations to actual re-
6 sults?

7 A To actual results, right, remembering,
8 though, that one must abide by the physical measurements in
9 hand. In other words, let's don't try to match a model for
10 which we just don't have any basis to observe data, because
11 in the modeling process where there are a large number of
12 variables to play with, you can probably match a given set
13 of data with the wrong model.

14 Q I'm not asking you to draw a conclusion
15 from either model at this point. I'm just saying that how
16 would you -- if these two models in fact are different, how
17 would you determine which model is most accurate?

18 A By -- by trying to see which model has
19 basic characteristics which fit with the observations that
20 we've made and then -- then, if we include those character-
21 istics which fit our observed basic characteristics, then
22 trying to see which could most faithfully reproduce what's
23 going on in the field, all different kinds of observations.

24 Q So both models are a prediction of the
25 future if you subject both models to what's actually hap-

1 pened for real results. It's going to take a little bit of
2 time and then ultimately one model or the other will prove
3 to be most correct or the two may in fact find something in
4 the middle.

5 A I think that's a good analysis.

6 Q Thank you.

7 MR. LEMAY: Thank you, Commis-
8 sioner.

9
10 QUESTIONS BY MR. LEMAY:

11 Q Dr. Lee, I have maybe one question. In
12 terms of your study I assume you could say that you did
13 study the reservoir, would you consider this reservoir with
14 your assumptions to be rate sensitive?

15 A Yes, I do.

16 MR. LEMAY: Any additional
17 questions of Dr. Lee?

18 If not, he may be excused.
19 Thank you.

20 MR. LEMAY: Off the record for
21 a minute.

22

23 (Thereupon a discussion was had off the record.)

24 (Thereupon the noon recess was taken.)

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. LEMAY: The hearing will
come to order.

Mr. Dillon, are you in the
audience?

MR. DILLON: Right here.

MR. LEMAY: Oh, yes. Could we
recall you just for a short period of time? We'd appreciate
that it's within our policy of just asking a couple
questions.

Thank you, Mr. Dillon, we've
previously sworn you in. Mr. Brostuen would just like to
ask you a couple questions, if you don't mind.

MR. DILLON: Okay.

RICHARD G. DILLON,
being recalled as a witness and remaining under oath,
testified as follows, to-wit:

QUESTIONS BY MR. BROSTUEN:

Q Mr. Dillon, this is your study, is it
not?

A Yes.

Q I asked you some questions the other day
and I made some notes here and it appears that maybe I wrote

1 down the wrong thing or misunderstood you.

2 Do you have a copy of your --

3 A Yes, I do.

4 Q -- exhibit before you? Okay, from the
5 Exhibit Two, your assumptions, and I asked you how you ar-
6 rived at the one percent porosity figure.

7 A Yes.

8 Q And I believe you said you worked -- you
9 derived that from the original oil in place calculation
10 backing out of the equation, is that correct, or am I assum-
11 ing that?

12 A That's correct.

13 Q And so what then is the source of the
14 3000 barrels per acre original oil in place?

15 A That number has been calculated and it's
16 been presented in previous testimony or a number similar to
17 that, numbers that -- within which this number is in that
18 range of; principally calculations done by BMG.

19 I myself didn't make calculations to come
20 up with this. This is a number that appears to be a valid
21 assumption for the area we're looking at.

22 Q I've (not understood) problems finding
23 the source of that number. I've reviewed or attempted to
24 review in a very brief fashion the exhibits presented by Mr.
25 Greer and I've been unable to find that calculation in

1 there. If it's in there, can you tell me where to find it,
2 if it is?

3 A I don't believe he presented that in this
4 hearing. It was in a previous hearing.

5 Q So that has not been presented at this
6 hearing.

7 A Not at this hearing.

8 Q Do you know if the 3000 stock tank bar-
9 rels per acre, what -- how many acres are we talking about?
10 Are we talking about the entire approximately 2-1/2 or it
11 appears to be 2-1/2 townships in the East Puerto Chiquito
12 Pool?

13 A The East Puerto Chiquito?

14 Q Pardon me, west, pardon me.

15 A This is a number that we felt was repre-
16 sentative of the pool that we're looking at. The number, I
17 don't think, can be construed to represent any particular
18 area or is necessarily indicative of perhaps the entire
19 boundary of the pools as they exist.

20 It's a number that has been arrived at
21 from analysis of producing area, from a test thereof.

22 Q So you don't know whether it was derived
23 by material balance equation or by --

24 A No.

25 Q -- (not understood clearly).

1 A It was primarily from pressure work.

2 Q Pressure work?

3 A Yes.

4 Q Would I be correct then in multiplying
5 that 3000 stock tank barrels by the acreage that's presented
6 on the -- on the exhibit here for -- for the West Puerto
7 Chiquito Pool or are we talking about the entire area, the
8 entire area that's under consideration today? Do you have
9 any idea about that?

10 A This is a representative number for the
11 entire area. I think you'd be misled if you were to take
12 the number of sections we're looking at and multiply it by
13 that number. Again the reservoir is somewhat heterogeneous;
14 it will change from point to point.

15 I would be hesitant to apply this number
16 pool-wide.

17 Q Do you -- I guess I perhaps -- I'm prob-
18 ably asking the wrong person, but then you have no -- no
19 knowledge as to how the 3000 stock tank barrels per acre was
20 derived.

21 A No. The 3000 stock tank barrels has come
22 from principally results of interference tests and which, as
23 testified before, one of the results of that test is a Phi H
24 number or a capacity of the rock, if you will, and from that
25 making assumptions of the area that was investigated, you
can calculate a (not understood) and again, you know, this
number is not a direct measurement but it's a result of an-

1 other test of actual field data.

2 Q Do you know if we're talking about --
3 we've talked about original oil in place and we've talked
4 about 3000 stock tank barrels per acre, I hate to keep on
5 repeating myself, but are we talking about that as represen-
6 tative for the entire area?

7 That's an average, you might say, for
8 the entire area?

9 A That is representative of the area that
10 has been tested by interference tests. I think we can make
11 that assumption.

12 Q So we're talking about just this limited
13 area here in the central portion of -- of the West Puerto
14 Chiquito Field?

15 A That's -- that is one conclusion. Any
16 further, I guess, any more detailed questions as far as
17 where that number exactly came from might be better directed
18 to someone else who actually had done the calculations, but
19 that's probably a fair assessment, I think that -- that it's
20 a direct measurement from those specific areas.

21 Q And so they extrapolated that to repre-
22 sent the entire field. That's the number upon which you --
23 one of the numbers upon which you based your calculations.

24 A That's correct.

25 Q Thank you, that's all I have.

MR. LEMAY: Thank you, Mr. Dil-
lon. We appreciate that.

1 Mr. Lopez, are you ready with
2 your rebuttal rebuttal witness?

3 MR. LOPEZ: We hope we are. If
4 you'll give us just a second to get organized.

5
6 GREGORY D. HUENI,
7 being recalled as a witness and remaining under oath, testi-
8 fied as follows, to-wit:

9
10 REDIRECT EXAMINATION

11 BY MR. LOPEZ:

12 Q Okay, Mr. Hueni, I think the first thing
13 that Dr. Lee testified to this morning was that the reser-
14 voir oil was under saturated at discovery and that the bub-
15 ble point pressure was 1534 psia.

16 Would you please comment and in this con-
17 nection I'll give you what's been marked Exhibit Eleven?

18 A Yes, I would like to comment on that.

19 The fluid properties that have been as-
20 signed to the Canada Ojitos Unit, we do not necessarily dis-
21 agree with. That really wasn't part of the review that we
22 did.

23 The review that we did concerned the Gav-
24 ilan Mancos Pool and in performing that study we wanted to
25 be sure that we had properties that were consistent with the

1 performance of the Gavilan Mancos Pool.

2 So we realize from the prior hearing the
3 difficulties we have with respect to -- to the bubble point
4 pressure and so we had determined in our study several
5 things, and we've noted this on Exhibit Eleven, and I might
6 just review very quickly a couple of the conclusions.

7 Conclusion 1 that we recognized, which is
8 down in the middle of the page, we recognize that the bubble
9 point pressure in the Gavilan Mancos Pool was 1660. That
10 pressure was required to obtain a reasonable duplication of
11 gas/oil ratio versus peressure peformance for the total
12 field, as well as for individual wells, and we testified to
13 that earlier.

14 We have studied that result extensively
15 and that conclusion is true regardless of whether we're
16 dealing with a fracture system or a dual porosity system.
17 It is not dependent on either of those two.

18 One comment that sometimes -- that has
19 been made previously is that higher gas production observed
20 early in the life of the field is a result of near wellbore
21 pressure drawdowns. We studied using a voidage model the
22 amount of voidage associated with near wellbore pressure
23 drawdowns the amount of free gas that would come out of sol-
24 ution. We concluded the amount of gas that was produced in
25 the early years of Gavilan could not have come out of oil

1 that was drawn down below the bubble point pressure in the
2 vicinity of the well, were the bubble point pressure a value
3 of only 1500 psi.

4 So by necessity we arrived at the conclu-
5 sion that in the Gavilan Mancos Pool the bubble point pres-
6 sure had to be greater than that.

7 We recognize that that may be different
8 than in the Canada Ojitos Unit and we would like to state
9 that that's not unusual. We have worked many different
10 areas where we have areal and vertical variations with fluid
11 properties, and we cite an example in the Denver Julesberg
12 Basin of the Codell formation and the Niobrara formation,
13 where we have significantly different gas/oil ratios on
14 wells located within just a few miles of each other. That's
15 shown in Figure 2.

16 Now one of the statements was that if the
17 fluid composition varies a bit, then the -- then the bubble
18 point pressure would be expected to vary, and on page two
19 we've shown you the Mole Percent of both the methane content
20 and the heptanes content for the Loddy Well as well as for
21 the Canada Ojitos Unit 12-11.

22 The component that has the greatest ef-
23 fect on the bubble point pressure is the heptanes + fraction
24 and what we note is that the Loddy sample recorded a hep-
25 tanes + mole percent of 44 percent compared to Canada Ojitos

1 Unit 12-11, which recorded 46 percent.

2 The lower amount of heptanes + tends to
3 make the Loddy sample a bit more volatile and that is one of
4 the reasons we associate the higher bubble point pressure
5 with -- with the Loddy sample. So we believe that there is
6 a difference in the actual composition of the two oils, and
7 that is one of the reasonable explanations for why the sam-
8 ples are different.

9 We also noted that this -- at the time
10 the Loddy sample was taken, the reservoir pressure was noted
11 to be 1648 psi. That would be a pressure very close, in
12 fact a little bit below the 1660 value that we're noting, so
13 any kind of flow into the wellbore by necessity would have
14 had to drop the oil to a pressure below the 1660 number,
15 liberating gas out of the oil, and resulting in a sample
16 that is not characteristic of the Gavilan Mancos Pool.

17 We note under Item 3 that it's not un-
18 usual for wells to be improperly conditioned or for the oil
19 to be so close to the initial bubble point pressure that a
20 representative sample is not obtained and the result of that
21 is an understated bubble point pressure.

22 In support of that we have some, I think,
23 green pages attached, which we won't go through. They are
24 just taken from a Core Laboratories report. It's actually
25 from a course covering phase behavior, and it just discusses

1 this problem to let you know that it is not an unusual prob
2 lem in the field of reservoir engineering.

3 That's really all I'd like to say about
4 the fluid properties.

5 Q Okay. I think the second point which Dr.
6 Lee made this morning was that the matrix will not contri-
7 bute to reservoir oil reserves. I'd like you to comment on
8 this point and in that connection refer to what's been mar-
9 ked Exhibit Twelve.

10 A I'm not sure Exhibit Twelve goes with
11 that, Mr. Lopez.

12 Q No, I think you're right. I just will
13 ask you to comment.

14 A Okay. Yes, I would like to comment on
15 that. The -- I think the real problem here is that once
16 again we started this hearing in our initial testimony by
17 stating what our conception of the dual porosity system was
18 and what the matrix was, and we said the matrix consisted of
19 low capacity fractures, microfractures, and then some sort
20 of intergranular porosity. We have never claimed that it
21 was strictly intergranular porosity.

22 We recognize that we're dealing with low
23 permeabilities. We've recognized that from the very begin-
24 ning, and we think that once again the focus may have been
25 taken off of the way we've really defined the matrix in our

1 analysis. The values that we used for permeability were low
2 values. That was the point that we made. They were not as
3 low as necessarily the core data would suggest because we
4 believe we have other components to what we're terming as
5 the low capacity matrix system than simply intergranular
6 porosity.

7 Now one of the things I might state with
8 respect to the -- even the lowest permeability portion that
9 Dr. Lee described, is that in -- when we do these, these
10 studies and attempt to match actual historical performance,
11 the important -- the relationship of the matrix to the frac-
12 ture is described not only by the permeability of the matrix
13 but it's also described by another factor that is multiplied
14 by the permeability that relates to the dimensionality of
15 the -- of the matrix blocks that we're dealing with.

16 In this case we used a permeability that
17 he claims is too high, or is too -- yes, is too high. If we
18 were to look at the numbers, we could actually revise our
19 interpretation of the matrix block size and use a lower per-
20 meability and end with the same number.

21 In other words, if you have a large mat-
22 rix block size, then you have to -- and this is all rela-
23 tive, too -- large matrix block size, then you have to have
24 -- you can have -- you need a high relative permeability be-
25 cause the oil has to move a distance, a certain distance.

1 On the other hand, if you want to asso-
2 ciate it with a very low, very low permeability, then you
3 need a small value of this dimensionality parameter in order
4 to produce successfully from the matrix, and we believe that
5 we also have that because we have a very tight fracture
6 spacing.

7 So once again we believe it was mischar-
8 acterization of what we're calling matrix and second off,
9 that the matrix in and of itself has to be considered in
10 conjunction with the path that is required for the oil to
11 move from the matrix into the fracture itself, and that is
12 also a factor that unfortunately we can't go down in the re-
13 servoir and necessarily look at. It's not a factor that is
14 going to be constant throughout the reservoir. There is
15 going to be an awful lot of matrix oil that's going to be
16 extremely close to fractures that isn't going to have to
17 move very far.

18 So we are not offended by the low perme-
19 ability numbers that are in the model. We would be able to
20 use a lower permeability number adjusting our dimensionality
21 number, as well, and we once again do not feel, none of our
22 group feels that that is unreasonable in terms of the en-
23 gineering, engineering approach.

24 Q Okay, now I think we're going to get to
25 Exhibit Twelve.

1 Dr. Lee's third comment this morning was
2 that interference tests are a valid source of reservoir data
3 and that you don't feel that way.

4 Would you comment with respect to that
5 statement and in this connection I would now like you to --
6 I would like you to comment on his point that the permeabil-
7 ity thickness values equal or exceed 10 Darcy feet in the
8 reservoir, and in this connection I'm going to refer you to
9 Exhibits Twelve and Thirteen.

10 Mr. Chairman, we also have an Exhibit
11 Thirteen-A that goes with this set but it's not quite ready,
12 but I think we could start talking about Twelve and Thirteen
13 and by the time we're done with that we will (not clearly
14 audible.)

15 A Exhibit Twelve has several comments that
16 we made related to this calculation of transmissibility for
17 the Gavilan Mancos Pool, and I don't know why, I guess maybe
18 in my own mind I feel like I occasionally get misstated, but
19 maybe it's I just don't speak clearly enough on the subject
20 that we're talking about.

21 I -- my statements with respect to inter-
22 ference testing has never been that it's not been valid but
23 it's valid only when the proper conditions are met during
24 the analysis phase of that interference test.

25 And we've always had great concern that

1 just because of the difficulties in interference test analy-
2 sis that it would very easily -- it would be very easy for
3 it to be misinterpreted.

4 As a consequence of that we have looked
5 toward actual well productivities as a demonstration of
6 transmissibility as well as the pressure build-up surveys
7 and I believe, hopefully not misstating Dr. Lee, that you
8 would like to see some agreement between the interference
9 tests and the pressure build-up or drawdown derived from
10 this transmissibility value, so that is something that you
11 -- you always look for, so you try and make maximum
12 information out of the different types of tests that you
13 have available to you.

14 The points that we would like to make
15 with respect to the transmissibility value are made in this
16 -- in this document that's included as Exhibit Twelve.

17 On the second page, Page 2, Item 1, we've
18 noted first that it's been our opinion that Gavilan Mancos
19 Pool is producing from a dual porosity system. There are
20 some consequences from that that would seem to us that would
21 need to be -- be honored if a valid analysis is to be
22 performed on -- on the individual well tests that are -- are
23 obtained in the pool.

24 If we move to the Page 3, Item 3, we
25 would like to point out that the demonstrated well flow

1 capacity values at Gavilan. we're not talking about Canada
2 Ojitos, we're talking about Gavilan, that range from 10 to
3 upwards of 700+ barrels of oil per day, that the values that
4 are necessary to obtain those kinds of flow rates from wells
5 are in the range of 10 to 400 millidarcy feet.

6 I'd like to note that that is consistent
7 with the Native Son No. 1 analysis which turned out a value
8 in the order of 200 millidarcy feet to obtain a 400-barrel a
9 day -- 400-barrel a day rate.

10 Once again we believe the variability of
11 wells in the Gavilan Mancos Pool, a 400-barrel a day well is
12 one of the better wells out there, so we think that the 200
13 millidarcy feet is certainly the value that's more represen-
14 tative of Gavilan Mancos area.

15 We'd like to turn to Item 4 on Page 4, we
16 are referencing one of the well testing books, it's a book
17 by Earlougher title Advances in Well Test Analysis, pub-
18 lished by the Society of Petroleum Engineers, which we've --
19 to which we've attached a couple sections out of that re-
20 port, titled Interference Test Analysis and also Naturally
21 Fractured Reservoirs.

22 And a couple of the points that are made
23 in the analysis, at least in one type of analysis, which we
24 think -- which oftentimes is done in an interference test,
25 is that in determining -- in using a homogeneous system, to

1 analyze that -- that type of system you arrive at a value
2 for the porosity compressibility product. In other words,
3 you don't arrive immediately at porosity. You arrive at a
4 product and then you take your compressibility values and
5 you use that to come back to the porosity number.

6 Now I would call your attention to the
7 fact that traditionally in the -- in this area of the San
8 Juan Basin, we've heard a number of operators testify that
9 the types of compressibilities they are using for a rock
10 compressibility are in the order of 10, and I think you will
11 recall our testimony was that the rock compressibility from
12 laboratory measurements was more on the order of 50 to 100.

13 The effect of that is if we have 5 times
14 the compressibility in the system that we're analyzing, is
15 that the porosity that we would calculate should really be a
16 fifth of what we would calculate if we were using the wrong
17 compressibility values.

18 In other words, it's very important to
19 know the right compressibility if you want to determine from
20 an interference test the magnitude of oil in place per acre
21 and unless we know accurately the compressibility we may
22 have some difficulties with that calculation.

23 One of the other points that we make Item
24 4, it's on the very last paragraph, is that significantly
25 different answers can be obtained in an interference test

1 analysis if we use a fractured i.e., dual porosity model and
2 a homogeneous i.e, well, just a homogeneous type model for
3 short time periods, where they define short time periods by
4 some dimensionless times and radiuses.

5 And what we've done is we've put down
6 that equation 9.6 for the period of time that needs to
7 elapse, at least in a dual porosity system, if that's what
8 we have, before the resulting -- resulting homomgeneous ana-
9 lysis would be applicable to that particular system.

10 And what we've done is we've put down
11 values that we think then are reasonable for the area that
12 we're dealing with, 40 millidarcy feet, although I think we
13 need to preface this with the fact that we think in the Can-
14 ada Ojitos Unit area there are wells that have considerably
15 higher than 400 millidarcy feet transmissibility.

16 We don't agree with 49 Darcy feet but
17 certainly we can see 2, 3, 4, 5 Darcy feet in some wells in
18 the Canada Ojitos Unit area, but 400 millidarcy feet would
19 be typical for perhaps the Gavilan Mancos area.

20 We've put in these parameters. We've
21 calculated out this rato and we've calculated out a value of
22 a valid analysis to occur that that time should be greater
23 than a value of 5, and it's not.

24 So we have difficulties just accepting on
25 blind faith a 10 Darcy foot transmissibility value resulting

1 from an analysis unless we know the conditions of the -- the
2 application of that analysis have been properly honored.

3 We have attached some other papers that
4 describe the difficulties of obtaining good tests in frac-
5 tured or dual porosity reservoirs, one by Kazemi and the
6 other by Streitsova, and we have some points related to that
7 which we won't go through.

8 What we would like to state is again in
9 Item 8, that as we see it, the purpose of pressure build-up
10 tests is generally to determine the average permeability
11 thickness product in the region of the reservoir from which
12 the well is draining fluid.

13 We see interference testing, not that it
14 measures just the properties between the wells, but as Dr.
15 Lee points out, it does measure additional reservoir volume,
16 but normally the purpose of that is to identify anisotropies
17 or directional properties between selected wells, and cer-
18 tainly it is a useful tool in that -- in that sense, and
19 it's also a useful tool in determining the permeability
20 thickness between wells and -- and the storage capacities
21 between wells.

22 So we see -- but we see that both of
23 those analyses should yield us similar results, particularly
24 if we're dealing in a homogeneous system.

25 Now if we're dealing in an anisotropic

1 system when we calculate 10 Darcy feet of transmissibility
2 in one direction, then we must have a very small transmis-
3 sibility in the other direction to yield, then, as an over-
4 all result the average transmissibility resulting from rad-
5 ial flow. That's what we state in Item 8.

6 So we don't, we wouldn't really wouldn't
7 have any problem with saying 10 Darcy feet could occur if it
8 was anisotropic, but it would have to imply, then, that
9 there was very low permeability in a different direction, in
10 a direction normal to that, such that the transmissibilities
11 would agree with the build-up transmissibilities, which we
12 see as being much lower than that, values that are in the
13 neighborhood of 200 + or - for the Gavilan area.

14 And then we attached the figure also on
15 here that we used in our -- in our previous presentation.

16 That is all I wanted to say about Figure
17 12.

18 Figure 13, we've collected several test
19 analyses. Different people have analyzed these tests and I
20 think it becomes apparent that the different investigators
21 analyzed tests a little bit differently, that they picked
22 different portions of the pressure build-up curves to ana-
23 lyze, and the first, first figure is the result -- is one of
24 the figures we had in our study that shows the analysis that
25 we arrived at for several wells in the Gavilan Mancos Pool,

1 which, some of which Dr. Lee agreed with and some of which
2 he felt were not valid tests.

3 Following that I'd like to include an ex-
4 hibit taken from Benson-Montin-Greer Case Number 3455,
5 December 17th, 1969, which had as an appendix individual
6 well transmissibilities.

7 And we show for several of the Canada
8 Ojitos Unit wells, L-11, showing the tests that Mr. Greer
9 carried out and the resulting analyses that -- that he ar-
10 rived at for these individual wells.

11 For well number one, the Canada Ojitos
12 Unit L-11, the transmissibility was .45 Darcy feet.

13 For the Canada Ojitos Unit A-23 the value
14 was -- the transmissibility, well, he has first
15 transmissibility of .025 Darcy feet and a second
16 transmissibility of .206 Darcy feet.

17 And then the Canada Ojitos Unit K-13
18 Well, talks about a .025 Darcy feet transmissibility, and
19 then we could continue on through that, but Mr. Greer
20 several years ago, at least, in certain wells was not
21 necessarily seeing as high a transmissibilities as he
22 obtained in some of his -- his interference tests.

23 I think on the second page there is a
24 well, the Unit K-10, where he has a transmissibility of 1.5
25 Darcy feet. Certainly 1.5 Darcy feet is enough to make a

1 very, very good well, and I guess the next well, the P-11,
2 has a transmissibility of 1 Darcy.

3 Following that are several pressure
4 build-up analyses prepared by various members of the Gavilan
5 Technical Study Committee. The name of the individual
6 performing the analysis is contained in the upper righthand
7 corner.

8 Included in these analyses are analyses
9 by Mesa Grande, by Mr. Blanford; by Meridian by Mr. Fraley;
10 by Koch by Mr. Pomeroy; by Mallon, Mr. McCord; by Dugan, Mr.
11 Roe; and I believe that's all of the individual
12 investigators that did these -- no, I'm sorry, there's also
13 Mr. Sweet participated in this, Mesa Grande.

14 And if we would look on these analyses,
15 and certainly several of them may not be valid, but if we
16 were to look at the individual analyses, under Part I there
17 is calculation of Kh or transmissibility, and the Kh equals
18 value down along the page, and then we have a sheet for each
19 of the individual wells, and we see what other authors have
20 come up with as well for transmissibility values.

21 For example, the first well, the Bearcat,
22 292 millidarcy feet; the Invader, 13 millidarcy feet; the
23 Gavilan No. 1 I believe is 70, et cetera, and we have then
24 additional authors that have investigated this problem
25 coming up with similar low, lower than some operators have

1 reported, transmissibility values.

2 The final comment that I would have with
3 respect to Exhibit Number Thirteen is contained in the last
4 page. We were told that we -- we represented the dual poro-
5 sity behavior as we presented it in our testimony, we showed
6 the dual porosity behavior occurring at the wrong time in-
7 terval.

8 What I'd like to -- what I wanted to in-
9 clude was out of our report that was done in conjunction
10 with these tests, the actual write-up that was included.

11 This is the final page of that exhibit.
12 It deals with the Rucker Lake No. 2, and in this case we
13 show that we very well recognizes that there was nonhomo-
14 geneous behavior occurring, that really, instead of a double
15 straight line that we really had three -- we had three
16 breaks in the build-up curve and -- and what they're repre-
17 senting is that we didn't put the dual porosity point at the
18 right point in time, is not really what we did.

19 Q Okay, I think we're ready to have that
20 Exhibit Thirteen-A now.

21 A Exhibit Thirteen-A is an analysis we pre-
22 pared or that we looked at, one of the analyses that was
23 presented in this hearing, to try and detail out for you
24 some of the problems we see in pressure transient testing
25 analysis in this particular area. The net result of this

1 analysis, I think, it that we don't believe in general that
2 wells are 10 Darcy feet. We don't believe the area is 10
3 Darcy feet.

4 We believe that it's more on the order of
5 400 millidarcy feet, but this is an example of how well test
6 analysis can be not consistently interpreted, resulting in a
7 misinterpretation.

8 We have a write-up here ad to go through
9 the figures, what we try and do in a properly evaluated well
10 test is to be sure that all of the aspects of the test ana-
11 lysis are consistent and we try and look at early time res-
12 ponses, middle, and later pressure responses as well and
13 make sure that that's consistent with the rest of the reser-
14 voir information that we have on the well.

15 The example that we'd like to use is an
16 analysis presented by Mr. Greer and supported by the test
17 analysis presented by Dr. Lee. This particular well is the
18 Canada Ojitos Unit Well E No. 6, and on this particular
19 well, which we've shown the pressure plot for, pressure ver-
20 sus time plot as Figure 1, we show then the build-up curve.
21 You see all those little dots going very close together, and
22 they're plotted versus the log of Delta T where T is
23 measured in hours, and you see then the analysis that was
24 done on this scrap took calculated Kh and it used the slope
25 as measured by lines A or B, and we notice that slope is

1 over very short period of time. We note on the pressure
2 scale that we're dealing with these pressure increments in
3 terms of 2 psi per increment.

4 And once again, there are lots of things
5 that can affect that small a pressure measurement, but at
6 any rate, Line A results in a calculated 17.3 Darcy feet.
7 Line B results in a calculated 13 Darcy feet, and then we
8 also, one of the reasons we selected this well is that Mr.
9 Greer told us what the well flowing pressure is. The well
10 flowing pressure was 1063 psi when it was flowing 680 bar-
11 rels a day, resulting in a productivity index of 1.53.

12 Now the 1063 psi value you can see is
13 far, far below the lefthand Y axis, which ends at 1490 psi.

14 The data that was used to analyze the --
15 or the slope that was used, is based on, it looks like,
16 times from about, oh, maybe 30 hours out beyond that point.

17 Now what we'd like to do is the homo-
18 geneous solution is based on sort of an infinite, well it's
19 an infinitely acting system, and so we would like to show
20 you on the second page what the pressure profile looks like
21 for one well producing in an infinite homogeneous reservoir
22 with a specified value of 13 Darcy feet transmissibility.

23 Now what we would expect if we shut in
24 this well, that in the times that we show along the bottom
25 axis we would see the pressure build-up and we have it

1 building up from about 1488 psi up to on the righthand side
2 of the scale, up to about 1500 psi, and it forms a straight
3 line on the semi-log plot.

4 Now, if we're truly dealing with a homo-
5 geneous reservoir with extremely high transmissibilities, as
6 we've had represented to us, then interference from these
7 other wells -- other wells in the area, are going to be felt
8 relatively quickly and what we can do is we can take this --
9 this infinite reservoir model and include by superposition a
10 well one mile away from our example well to see what kind of
11 pressure response occurs at our well as a result of
12 producing the second well.

13 Now, we have in Figure 3 the response,
14 the pressure measured at well one if well two starts produc-
15 ing when well one shuts in. Well, we can imagine all var-
16 iety of different circumstances coming up, but basically
17 what we're trying to show is interference and what we see is
18 that in one hour through about 10 hours the pressure curve
19 is very similar to what we have in the preceding figure and
20 then in subsequent hours, 10 to 100 hours, the pressure is
21 not rising as quickly as it was in the -- in the subsequent
22 curve.

23 Now, what we'd like to do is go to Figure
24 4, I guess that's the next one. Figure 4 is the overlay of
25 those two curves.

1 Now, the straight line segment from the
2 lefthand side to the righthand side is indicative of 13 Darcy
3 permeability rock, so we should, if we had, well, if we had
4 13 Darcy rock, we would -- and no wells around us, we would
5 have had the upper curve, but if we have a second well in
6 the vicinity of our well, we would have the lower curve, and
7 what we tried to show here is a cross-hatched area that
8 shows the effects of interference of the second well.

9 Now if you'll look and see where the in-
10 terference effects are most severe, is in the time frame of
11 10 hours to 100 hours. The interference effects are not so
12 severe in the time frame of one hour to 10 hours. We're not
13 as likely to not pick the right straight line to use in our
14 evaluation if we use the early time data as opposed to the
15 late time data.

16 Of course this assumes there are no early
17 time effects that obscured that straight line, such as well-
18 bore storage or skin effects.

19 Now the other thing we've done is we put
20 -- in this case we've put in three wells and this is on Fig-
21 ure 5, and what we've shown is that the response in Figure 1
22 when we shut it in, when there's just that one well out
23 there, there was a straight line that went up from the left-
24 hand side to the righthand side, and it was a constant
25 slope, but now we see the effect of interference not of just

1 one well but two wells. We see that as the well, the first
2 well shut-in, its pressure begins to build-up, but then be-
3 cause of interference effects it starts dropping off quite
4 rapidly.

5 Now what we're suggesting and what we're
6 certainly convinced of is that interference effects are ob-
7 scuring many things in this field. They're causing slopes
8 to be calculated that are way, way too shallow, and the re-
9 sulting effect is that we're calculating permeabilities that
10 are way, way too too high.

11 Now one of the things that we've done is
12 we have gone to the early time analysis in Figure 6, we've
13 gone back to the plot that Mr. Greer presented, and we've
14 looked at this early time region that's, hopefully, less ob-
15 scured by wellbore storage and skin effects, and what we've
16 done is we've drawn a line through the first, I believe it's
17 four hours of data, or so, and you can see it's a very
18 steeply increasing curve.

19 Now, it maybe looks like it's so steeply
20 increasing that it's unreasonable, but when we extend it, we
21 see it's really only 48 psi per cycle, and so if we use that
22 48 psi per cycle value, we would calculate instead of a
23 transmissibility of 13 Darcy feet, we would calculate a
24 transmissibility of 1520 millidarcy feet. This is a good
25 well. We think that's -- that's representative of the

1 transmissibility of a good well.

2 Now we can do a check against that
3 because we know what the productivity index of this well
4 was. Mr. Greer provided us with the well flowing pressure
5 from which we calculated a value of 1.5. We can use that
6 1.5 value and we can plug it into a psuedo-steady state flow
7 equation, as we do in Figure 7, and you can see first the
8 build-up value for Kh as we have on Figure 7, it turns out
9 to be, I guess, really 1610 millidarcy feet, and then we
10 went through the productivity comparison and we calculated,
11 we substituted in all the values we knew and then we
12 calculated transmissibility. Instead of calculating 13
13 Darcy feet we calculated out about 2500 millidarcy feet.

14 Now these are kinds of numbers that
15 you're going to see. You're going to see ranges between,
16 well, in this case 1600 and 2600, but these are the types of
17 numbers that we believe are representative for this
18 particular well.

19 We think also if we look back at the
20 individual well performance, we just don't see Darcy -- 10
21 Darcy feet wells out there in most cases.

22 Q I think you've also arrived at a
23 different interpretation of the pressure test analysis
24 presented by Dr. Lee, on one well. The results you've
25 presented are substantiall lower, but in line with actual

1 well productivity.

2 Could you comment on the effect this
3 over-estimation of permeability has on results presented by
4 Mr. Greer and Sun? In this connection would you refer to
5 Mr. Greer's pink sheet I think under Exhibit S?

6 A One of the results of overstating the
7 transmissibility and the value of K_h , then the problem is
8 compounded by coming in and using the K_h value and the PI
9 value, as Mr. Greer has done, to calculate some term he
10 calls relative permeability, a relative permeability ratio,
11 and he comes up with a value -- on the upper righthand side
12 of that value he calculates K_{ROR} over K_{ROW} and he comes up
13 with an average of 10, and then he substitutes that into his
14 equation that relates productivity index to K_h and then the
15 next thing we do is we go in and, as I understand his exhibit,
16 he uses assumed productivity index values for several
17 wells and in some cases he adds actual data, but he, I don't
18 think, has actual factual data on the Howard 1-11, but he
19 uses those PI values and takes his equation, which has this
20 relative permeability factor in it that's a value of 10, and
21 calculates K_h based on productivity information values and
22 he calculates out permeability thickness values that are un-
23 iformly 2.5 to I don't know, it looks like the highest num-
24 ber is about 18 Darcy feet, and once again, these are higher
25 than we obtained from the analysis. The real problem is the

1 fact that we come up with this relative permeability ratio
2 that is based on transmissibility measurements that are not
3 -- not accurate.

4 So what we've done, or what's been done
5 here is to overstate the transmissibility, not only in the
6 Canada Ojitos Unit area but then extending it over into the
7 Gavilan Mancos Pool, as well.

8 Q In connection with the pressure analysis
9 performed on the B-29 and the B-32 Wells, which are Canada
10 Ojitos Unit wells, would you please comment on the results
11 of that analysis as it pertains to reservoir performance,
12 and in this connection I'll refer you to what's been marked
13 as Exhibit Fourteen.

14 A Okay. The analysis that Dr. Lee referred
15 to indicated that there was a great deal of transmissibi-
16 lity in the vicinity of the Canada Ojitos Unit Wells, I be-
17 lieve B-32 and B-29, and I believe there has been testimony
18 that these wells are interconnected and in pressure communi-
19 cation with wells on the other -- in the other, other A-B
20 wells in the Gavilan Mancos Pool, and one of the exhibits
21 that Mr. Roe presented was this plot of pressure versus time
22 for various wells in the pool.

23 What I'd like to do is to show you the
24 pressures for the B-32 Well and for the B-29 Well when they
25 were first discovered. You can see the pressure for the B-

1 32 is about 1720 psi; for the B-29 Well I believe it's prob-
2 ably around 1660 psi.

3 The data we have on the B-32 Well is at-
4 tached, that leads us to the conclusion that it's -- why it
5 was 1704 psi, is attached to this -- this large graph.

6 What we'd like to draw the Commission's
7 attention to is the fact that the gas injection area pres-
8 sure, we have previously observed the decline in pressure
9 that occurred in the gas injection area. We knew that by
10 1970 it had been drawn down by, I believe, 340 psi, and then
11 Mr. Roe testified that it had continued to decline perhaps
12 on the order of 11 psi per year.

13 Now if that's true, the CU gas injection
14 area pressure is down at the bottom of the page about some-
15 thing under 1400 psi, as shown by the heavy line in the per-
16 iod 1985, 1984/1985 when these two wells were discovered.

17 Dr. Lee testified earlier that if we have
18 wells in a -- in a reservoir that has more than one produc-
19 tive interval open in it and the higher productivity inter-
20 val is at lower pressure, then that would be the pressure
21 that the -- that the well pressure would tend to fall to-
22 ward, the measured pressure. Well, the measured pressure
23 isn't toward the C Zone interval. The measured pressure is
24 up at the AB interval as the Gavilan Mancos Pool.

25 And what we feel that this proves and

1 feel it proves quite conclusively, is that those two wells
2 are not C Zone wells; that they are producing A and B oil
3 out of the Gavilan Mancos Pool and that they bear very lit-
4 tle relationship to the C Zone gas injection area project.

5 Q So it is your conclusion -- yeah, I think
6 it might be helpful to have Kevin point out where those two
7 wells are.

8 A Right. Okay, yes. That would be -- I
9 would appreciate that.

10 The Well B-32 and the Well B-29 are just
11 on the east side of the trough area, what we've referred to
12 as the syncline area.

13 Q And so as I understand it, it is your
14 conclusion now that communication across the syncline is
15 only in the A and B Zones and not in the C Zone, as repre-
16 sented by Mr. Greer under his Exhibit O and yellow sheets
17 following, as well as a white sheet following.

18 A That is correct. I'd like to look at --
19 at Exhibit O, the first two yellow sheets. The second yel-
20 low sheet is a map of the area.

21 The area shown by the green -- by the
22 green highlighted areas, I believe these are areas that Mr.
23 Greer indicated communication was indicated by his inter-
24 ference testing or, yes, by his interference testing. I be-
25 lieve he also indicated proof of communication along the

1 orange areas, which are connected to his C Zone gas injection
2 program.

3 The problem we have is that little pink
4 dot that's dashed in between the green and the gas injection
5 area, and from this exhibit we do not believe that that exists.
6

7 Further down the page or further down in
8 the exhibit, there is a sheet, there are two white sheets.
9 The two white sheets indicate they have on them a blue
10 colored area, a brown colored area, and a green colored
11 area, and I believe it's the minimum area being drained by
12 wells B-32 and B-29.

13 The area that we show here, it shows
14 drainage occurring from the West Puerto Chiquito area toward
15 the B-32 and the B-29. We would like to take exception to
16 that. We do not believe that those wells are draining from
17 that area. We believe they're in pressure communication
18 with the Gavilan Mancos AB area, and that the actual direction
19 of drainage is -- is in association with the Gavilan
20 Mancos Pool.

21 Q Are you sure everyone was with you?

22 A Possibly not.

23 Q This was the exhibit? Okay.

24 This morning Dr. Lee, I think, under his
25 sixth point, stated that the -- your application of the

1 material balance equation could not lead to a reliable esti-
2 mate of original oil in place.

3 I'd like you to comment and in this con-
4 nection refer to what's been marked Exhibit Fifteen.

5 A Exhibit Number --

6 Q Fifteen.

7 A -- Fifteen is taken from Dr. Lee's testi-
8 mony, Exhibit Number 10, which is taken in turn from our re-
9 port Figure Number 50, and this was our plot of the material
10 balance calculated oil in place plotted versus time, and we
11 had drawn the conclusion that the oil in place was
12 55,000,000 barrels and Dr. Lee drew the conclusion that we
13 couldn't apply a material balance analysis to the reservoir
14 for several reasons.

15 He indicated the general requirements
16 were that a proper drive mechanism identified. I think we
17 have identified that drive mechanism. It was under-satur-
18 ated reservoir performance before the bubble point was
19 reached. There was solution gas performance after the
20 reservoir finished being a partially under-saturated reser-
21 voir. So we, I believe, have met that requirement.

22 All production and injection into the re-
23 servoir taken into account, I'll talk about that in a se-
24 cond.

25 Uniform pressure throughout the reser-

1 voir. Well, I think our pressure versus cumulative produc-
2 tion plot shows a fairly uniform pressure through there.

3 Uniform saturations in the oil zone and
4 in the gas cap, well, what's most important is to be able to
5 identify the relative volume of oil and free gas in the re-
6 servoir, and initially we had no free gas in the reservoir.
7 Because we're dealing with the Mancos A-B Pool, we're deal-
8 ing with a strictly oil system, so the oil in place we cal-
9 culate is a calculated oil in place. We don't have to try
10 and simultaneously calculate an oil zone volume and a gas
11 zone volume, so that is not really a problem in this parti-
12 cular case.

13 Oil either totally above the bubble point
14 or totally below the bubble point. Well, we recognize that
15 problem. We identified the region where that would not be
16 likely to occur.

17 Dr. Lee decided that it was perhaps more
18 appropriate to describe our trends and points by drawing a
19 concave downward line through all of our points. I think
20 most reservoir engineers commonly recognize that material
21 balance equations can be most inaccurate in the early life
22 of a field because material balance depends on a measured
23 pressure drawdown and in the early life of a field measured
24 pressure drawdown is -- is the smallest and you can have the
25 greatest error in calculation at that point in time, so when

1 I presented this figure it certainly didn't disturb me that
2 the early calculated apprent oil in place values were not as
3 high as subsequent ones. What really encouraged me was the
4 fact that they leveled off.

5 I have to admit, and I related to the
6 Commission, I was disturbed by the fact that the pressures
7 had been declining in 1986, the end of 1986, more than I
8 would have expected, and I said that in part, that I thought
9 this was due to perhaps dual porosity system behavior.

10 What we now know is that the B-29 and the
11 B-32 are not part of the Canada Ojitos Unit gas injection
12 area. They are part of the Mancos AB Pool, and it is neces-
13 sary, as Dr. Lee points out in Item 2 that all production
14 and injection into the reservoir be taken into account.

15 We have taken those additional -- the
16 production from B-29 and B-32 into account and I think from
17 the dots you can see that what that does is it moves the
18 calculated oil in place up more in the direction of the
19 55,000,000 barrels.

20 Once again, it's not an exact number. I
21 think it would be very foolish for anyone to expect that it
22 would be an exact number. I think it's a very reasonable
23 number. It's based on a number of factors determined in the
24 laboratory and tested in the field, and we believe that the
25 material balance calculation is correct. We believe it's

1 55,000,000 barrels and we believe the B-29 and B-32 are part
2 of the Gavilan Mancos AB Pool.

3 Q Dr. Lee has indicated taht you should
4 have included capillary pressure characteristics in the
5 model. Would you comment on that and indicate why you
6 didn't?

7 A We didn't include capillary pressure
8 characteristics in the model for a variety of different
9 reasons. One, we didn't have any available. We have a 3-
10 phase system here that we're dealing with. There is prob-
11 ably interstitial water to some extent in the system, as
12 well as oil and gas.

13 Second, once again we didn't want to --
14 and we don't want anybody to misstate what our matrix is.
15 We are once again convinced that the matrix cannot be simply
16 described and if somebody wants to simply describe it, then
17 everybody's got a problem.

18 Q Can we take just a second?

19 A We didn't want it to be confused with the
20 matrix that -- that we are describing. We believe that the
21 matrix that we have is a more permeable system. It's a very
22 complex flow geometry comprised of fractures, microfrac-
23 tures, and true matrix.

24 We didn't include that because part of
25 our effort is really a matching effort. There are certain

1 things that introduce an additional variable into the model,
2 whcih we would then have to -- to adjust and we'd just have
3 more parameters to adjust. We feel that we have enough par-
4 ameters to adjust, we matched performace very accurately,
5 and we came up with a, we believe, a reasonable representa-
6 tion of actual field performance.

7 Finally, with respect to the comments
8 that the -- that we did not include capillary pressure into
9 -- in the model, and we were suffering considerably from end
10 effects, we've also discussed that matter with Mobil Re-
11 search and Development Corporation, their Dallas Research
12 Laboratory. I have from them a reference to oil production
13 from tight matrix fractured reservoirs, as represented by
14 the Gallup B -- Lindrith B-38 Well core, stating, one, "Oil
15 production from this type reservoir is characterized by oil
16 feeding from the fracture system due to the change in the
17 formation..." "... feeding the fracture system due to the
18 change in the formation volume factor because of pressure
19 decline. The fractured Asmari resrvoirs in Iran are an
20 example of this mechanism.

21 2. Capillary pressure, end effects, and three-
22 phase flow information generated from viscous displacement
23 tests should not be confused with this type displacement.

24 3. Normally, in excess of 70 percent of the oil in
25 place is found in the tight matrix part of this type of

1 reservoir and can support efficient recovery."

2 Which is signed by P. M. Wilson and B. F.
3 Marek of Mobil Research and Development Corporation.

4 Q Dr. Lee ended up with the conclusion that
5 the reservoir is rate sensitive, presumably on the basis of
6 his work and that of Sun.

7 Would you comment about this and I ask
8 you now to refer to what's been marked as Exhibit Sixteen.

9 MR. LOPEZ: Mr. Chairman, with
10 respect to the letter from Mobil Research that Mr. Hueni
11 just read, it just arrived and I'd like to introduce it as
12 an exhibit. We haven't marked it but let's call it Exhibit
13 Sixteen-A, and we'll hand it out.

14 Now I'll hand Sixteen. They
15 will be out of sequence as a result but we've run out of
16 numbers.

17 A Would you like me to comment on rate sen-
18 sitivity now?

19 Q Yeah, would you, please?

20 A Yes. We are still of the opinion that
21 this is a system that is not going to be particularly rate
22 sensitive. We had been accused, I guess, of running our
23 model at zero degree dip and I think Dr. Lee referred to the
24 fact that there is up to 100 feet, or 100 feet per mile is
25 the average dip in the Gavilan Mancos Pool. That's actually

1 a one degree dip in the Gavilan Mancos Pool and a half a
2 degree dip, and so we -- we have run other cases. We've run
3 cases with -- with dip included in our model and we've re-
4 ferred to those as run names Gav 7 and Gav 8. They do have
5 transmissibilities. The first one is 400 millidarcy feet.
6 The second one is 10,000 millidarcy feet. The dip in de-
7 grees is one degree. The maximum oil rate we're taking oil
8 out of the pool is 200 barrels a day, which correspondes to
9 7,200 barrels a day.

10 And we have for comparison purposes a
11 similar evaluation run at zero degree dip, which we note as
12 Gav 3. That's one of the ones we've previously presented.

13 If we look at oil recovery at specified
14 average pressures, and look at the very last of the pres-
15 sures, 300 psi, we see that under the 400 millidarcy case
16 for this particular situation, we arrive at a 15.4 percent
17 recovery; the same recovery whether we have zero dip or one
18 degree dip in the model.

19 Second, when we put 10,000 millidarcy
20 feet in the model and run it, we arrive at a slightly higher
21 value, 15.8 percent, so we wouldn't consider that terribly
22 significant.

23 We believe our analysis of the model is
24 valid, that our rate sensitivity conclusions can be relied
25 upon. We've shown on Figures B and C our model run under a

1 single porosity system mode, simulating a fracture system.

2 We've plotted gas/oil ratio versus pres-
3 sure on Figure B as output from the model compared to actual
4 Gavilan, and what we have in the computed run is a model us-
5 ing a Kh of 10,000 millidarcy feet, one degree dip, 400 bar-
6 rels of oil per day, a gas/oil -- or a bubble point pressure
7 of around 1500 psi, in fact I'm not sure but I think that --
8 well, it's reasonably close representation of the model that
9 Mobil or that Sun has -- has indicated, or the characteris-
10 tics that Sun has used in their model.

11 And I think we can see that actual Gavi-
12 lan performance on the GOR versus pressure plot is a bit
13 different than what is computed. We have higher GOR's ear-
14 lier than in actuality in what occurred.

15 If we turn to -- to the next figure,
16 Figure C, we have the results presented as a pressure and
17 gas/oil ratio versus fraction oil in place produced. You
18 can see the computed model results and what we report for
19 actual Gavilan is shown off on the left and I should note
20 here that when we got to a 1500 psi bubble point pressure,
21 one of the effects that has is that has the impact of
22 increasing the calculated oil in place to a value of about
23 110,000,000 barrels.

24 So that's one of the reasons we say you
25 can't divorce the characteristics from field performance.

1 You've got to use the field characteristics and be sure that
2 they give you reasonable values in light of what you've
3 actually observed in the field. You've got to use that in
4 your model, or you're going to end up with models that give
5 you answers that don't represent what's -- what's actually
6 transpired.

7 Q Does this conclude your direct, your re-
8 buttal testimony?

9 A Yes, it does.

10 MR. LOPEZ: At this point we've
11 concluded our rebuttal testimony.

12 MR. LEMAY: Would you like to
13 move the exhibits be --

14 MR. LOPEZ: Oh, yeah, sorry.

15 Q Were Exhibits Eleven through Sixteen-A
16 prepared by you or under your supervision?

17 A Yes they were.

18 MR. LOPEZ: I'd like to offer
19 Exhibits Eleven through Sixteen-A.

20 MR. LEMAY: Without objection
21 those exhibits will be entered into the record.

22 Mr. Kellahin.

23 MR. KELLAHIN: Mr. Chairman,
24 all good things must someday come to an end.

25 In an effort to do that, and

1 because we as the proponents have the burden of going
2 forward under the rules of procedure, we also have the
3 privilege of having the last "me too" or "no, we don't
4 agree".

5 Rather than engage Mr. Hueni in
6 cross examination at this point, I think I can complete an
7 examination of what we want to do and finish in just a few
8 minutes if you'll allow me to call Dr. Lee and ask him five
9 questions, and then we will be done.

10 MR. LEMAY: Is that acceptable,
11 Mr. Lopez?

12 MR. LOPEZ: Well, Mr. Chairman,
13 it's highly unusual but I've never heard a sur-surrebuttal,
14 but in the spirit of the proceedings and knowing that we all
15 want to ascertain the truth, we'll be more than willing to
16 go along with this suggestion.

17 MR. LEMAY: Would you like a
18 little break before you did that or are you ready to slip
19 right into it?

20 MR. KELLAHIN: Not necessary,
21 let's do it.

22 MR. LEMAY: Okay, let's do it.

23 MR. KELLAHIN: I would recall
24 Dr. John Lee.

25 MR. LEMAY: Please continue,
Mr. Kellahin.

MR. KELLAHIN: Thank you, Mr.

Chairman.

1 DR. JOHN D. LEE,
2 being recalled and remaining under oath, testified as
3 follows, to-wit:
4

5 REDIRECT EXAMINATION

6 BY MR. KELLAHIN:

7 Q Dr. Lee, has Mr. Hueni satisfied your
8 disagreements with his analysis with any of his explanations
9 to you this afternoon in his surrebuttal testimony?

10 A No, sir, he hasn't.

11 Q Has anything Mr. Hueni has commented on
12 explained, clarified, or contained in any of his exhibits,
13 caused you to change any of your opinions?

14 A No, sir.

15 Q Did Mr. Hueni's explanations and comments
16 cause you to change any of your conclusions?

17 A No, sir.

18 Q Has any of Mr. Hueni's explanations,
19 exhibits, comments, or conclusions caused you to want to
20 alter or correct any of your answers or opinions that you
21 expressed earlier?

22 A No, sir.

23 Q In your opinion, Mr. Lee, is it still
24 fair to characterize Mr. Hueni as having used the wrong
25 model to model this reservoir?

1 A That's still my opinion, sir.

2 MR. KELLAHIN: Nothing further.

3 MR. LEMAY: Are there any
4 questions and rebuttal?

5 I have none, Dr. Lee. If there
6 are no questions, you may be excused.

7 At this point I think we
8 possibly should call Mr. Hueni back so that there can be
9 additional questions. If that's acceptable, from the
10 audience, I mean.

11 MR. LOPEZ: As I understand the
12 proponents have waived cross examination. We certainly want
13 to open Mr. Hueni to cross examination by any other
14 interested party.

15 MR. LEMAY It was my impression
16 that Dr. Lee's quick testimony was in the place of cross
17 examination, but after that we usually, it's customary to
18 have the witness submit their testimony to open questions.

19 Are there any questions from
20 the audience of Mr. Hueni?

21 That was a quick one. I think
22 we'll excuse him.

23 Mr. Lopez.

24 MR. LOPEZ: I guess we should
25 break or maybe we should have a little informal discussion

1 about where we go from here.

2 MR. LEMAY: I think so. Let's
3 go off the record just for a few minutes.

4
5 (Thereupon a discussion was had off the record.)
6

7 MR. LEMAY; This is the
8 beginning of the end and with that in mind are there any
9 statements at this time from anyone in the audience you'd
10 like to get into the record?

11 Yes, sir, Mr. Jordan.

12 MR. JORDAN: I'm William O.
13 "Oscar" Jordan, and my address is 28 Old Arroyo Chamisa,
14 Santa Fe, New Mexico, 87505, phone number 505-982-5689.

15 Originally I, when I appeared
16 the other day I appeared for one client which was a
17 landowner in the Gavilan Mancos area. This morning I -- and
18 I figured there might be some more and this morning, why we
19 turned up with 57 people who are royalty owners in Townships
20 24, 25, 26 North, and Range 1 and 2 West.

21 As I said, they're the original
22 owners of this land and the natural resources under there
23 and they leased those with the expectation of receiving
24 remuneration for their fair share of the oil and gas
25 underneath the lands. They want to make sure that maximum

1 production is had and therefore their revenues will be as
2 high as possible.

3 I was only called into this
4 case last week, possibly from the -- because of the lack of
5 formal notice to my clients. Naturally I was unable to pre-
6 pare cases or prepare for cross examination or to get wit-
7 nesses together to testify, so I elected here to go ahead
8 and monitor these hearings and with the understanding that
9 we might make a statement and participate, but I'll get into
10 that a little bit further here to the extent that also we
11 weren't furnished copies of any of the exhibits.

12 I point that out in this con-
13 nection, lack of formal individual notice to royalty owners
14 has bothered me for the past some thirty years, or better
15 than thirty years. I was attorney for the Land Commissioner
16 for many years and the Land Commissioner was on this
17 board. I don't think there was a -- this Commission. I
18 don't think there is a conflict there because he was an
19 elected official and if it's so, then the governor is in
20 conflict every day because he has different interests. He
21 can have the trust on one hand and the conservation on the
22 other, but I don't think those are problems, and we got no-
23 tice so I didn't think about it, so I didn't think about
24 it, but I always wondered about the private people that
25 would come in. Some say, well, they should have their wor-

1 king interest would represent them, but that's not always
2 so. Sometimes that is not true.

3 I realize there's no OCD rule
4 requiring formal notice to royalty owners and that there is
5 publication of the notice, but in the usual course of law,
6 these type of people, royalty owners, would be indispensable
7 parties and the court would jurisdiction -- the court would
8 not have jurisdiction unless they were before the court with
9 proper notice.

10 To point this out here, you
11 probably, some of you were here the other day when Mr. Kel-
12 lahin complained, and rightfully so, that he had not seen a
13 certain exhibit, so in order to discuss it with his petro-
14 leum engineers, geologists, et cetera, his expert witnesses,
15 and therefore he couldn't cross examine properly.

16 Well to show you the position
17 that we're in, we have had no copies of any of the exhibits
18 and had no opportunity to consult with anybody and that's
19 probably because of lack of notice.

20 So I think this is something --
21 that I mentioned this because I think it's something the
22 Commission should be thinking about. I realize it's a real
23 problem determining who all these owners are. Royalty own-
24 ers can be very diverse, overrides, and so forth. You might
25 have many people to cover but it might set some limit on in-

1 terest there.

2 For this reason I have to pre-
3 serve the point that they have not had due process and
4 opportunity. Now that's not to say that I could get up here
5 after getting hold of a witness, expert witness, and cross
6 examine and change this case around, but the possibility is
7 there and unless you have that opportunity you never know.

8 In monitoring this case I tried
9 to get enough information here to discuss with my people
10 this morning at very short notice as to what position would
11 be in their best interest and some of them have heard the --
12 some of the testimony here, and they are primarily inter-
13 ested in maximumizing the production and resulting income to
14 themselves.

15 In this regard, as I sat back
16 and listened, and I've had some experience, not a lot of ex-
17 perience, but I've appeared before this Commission on behalf
18 of the Commissioner on numerous occasions. I sat in on here
19 on a few occasions. Through the years there's a lot of
20 them, but there was many years, so it was very sporadic that
21 I came here. Also, representing the Land Office as a roy-
22 alty owner, we were all kind of lawsuits regarding produc-
23 tion and offset wells and et cetera. But listening to the
24 testimony here this morning and some of it is pretty deep
25 and I think probably only geologists and petroleum engineers

1 can fully understand that, we -- I was quite amused at com-
2 plaints that you're leading the expert witness up here.
3 It's been my experience through the years the expert witness
4 gives the lawyer the questions in the first place.

5 So you can hardly help lead him
6 when he's given them those questions.

7 In this regard I feel that the
8 -- it's my understanding that the burden of proof in such a
9 proceeding to vary the standed statewide pool rules, the
10 burden of proof is on the proponent here, and as I sat here
11 and listened to this, I do not think that that has been met,
12 that burden has been met.

13 It is our position that very
14 much in line with the people over in the Gavilan Mancos area
15 that the spacing of -- going back to the statewide spacing
16 of 320 acres with an allowable of 702, and the oil/gas ratio
17 as set by the statewide rules would be the proper way to do
18 it, and I don't think that that would prejudice or reduce
19 the ultimate recovery or prejudice the prejudice the people
20 over in the West Puerco (sic) Chiquito area.

21 I heard the testimony, there is
22 some communication between the two pools but that with pro-
23 per well alignment, and so forth, there wouldn't be any pre-
24 judice in that case and it also took in account that there
25 was testimony that there was somewhat of a barrier in be-

1 tween, but not an absolute barrier like a (not understood)
2 fault.

3 So our people would take that
4 position. Now, assuming, however, that there is, that the
5 West Puerco (sic) Chiquito people were correct and that this
6 is all one pool, and that there is communication between the
7 two and that wells on one side will drain the others, I'd
8 point out here from our people's standpoint, the way they
9 look at it, they're ranchers and farmers primarily and some
10 of them have been around the oilfield for some time, but
11 they're ranchers and they feel that this -- the testimony
12 was that there was, I believe one witness said 8,000,000 and
13 another one said 10,000,000 produced out of the West Puerco
14 (sic) whereas there's been 3 -- over 23 years, and there's
15 3,000,000 produced on the other and that there's approxi-
16 mately 55,000,000 there. If that be the case, and that the
17 drainage would occur both ways there, it would appear to our
18 people that the people over in the West Puerco (sic) have
19 already taken a larger bite of the pie than they should have
20 and they should be allowed to catch up at least. They
21 shouldn't share their part now, that same part with these
22 other people.

23 We also paid attention to the 7
24 sections there and the testimony from the Gavilan Mancos
25 Pool people are correct. There were seven sections in the

1 shaded area there between the two. Possibly they should be
2 put over into the Gavilan Mancos -- Mancos Pool from our
3 standpoint.

4 As I pointed out here, this due
5 process question, I'm kind of in a bind here because the
6 first day I was unable to specify just exactly what our po-
7 sition would be, but as it developed here we could see that
8 I cannot recommend to my people in good conscience that they
9 waive any objection to that.

10 I also would point out one fun-
11 ny instance here, the -- as far as economic waste, if you go
12 to 640 the well drilled -- wells on the Gavilan area are al-
13 ready on 320 generally and those wells some of them don't
14 produce a full allowable and it wouldn't affect it, but
15 where those strong wells are, if you've got two strong wells
16 together you're going to shut one of them in, you have was-
17 ted the drilling, the expense of drilling that well.

18 So we ask that they go back to
19 the statewide standard rule, that the burden has not been
20 met to show that we should go to a 640, and should just stay
21 in the same position we were.

22 I realize here when you get up
23 here first to lead off you're subject to being shot at, but
24 I notice that this Commission here is very liberal in gran-
25 ting people a response and rebuttal and surrebuttal, and I

1 do thank you for your attention.

2 MR. LEMAY; Thank you, Mr. Jor-
3 dan.

4 Are there any other statements?
5 Mr. Padilla?

6 MR. PADILLA: Mr. Chairman,
7 Members of the Committee, I represent Floyd and Emma Edwards.
8 My comments will be directed to the testimony and evidence
9 that has been presented here.

10 Mr. Gentry will also speak for
11 the Edwards regarding questions of notice.

12 First of all, in advising roy-
13 alty owners in a case of this nature, it's far different from
14 advising working interest owners who regularly appear in
15 these hearings.

16 When I was first approached in
17 this case, about two, two weeks prior to the hearing, my in-
18 itial reaction was to advise them to do absolutely nothing
19 and stay away from here simply because they could not com-
20 pete with the testimony and with the working interest owners
21 on either side of this proceeding. The kind of technical
22 evidence and the nature of the testimony is far too complex
23 for a royalty owner, not to understand, but from the stand-
24 point to prepare for a hearing of this nature in the time
25 allotted.

The Edwards did hire expert
testimony to advise them as to whether or not to get invol-

1 ved in this hearing and to present a case here. Upon inves-
2 tigation and contact to some of the parties involved in the
3 Mesa Grande-Mallon side, it was decided that they could not
4 do anything at that point. A lot of their material had al-
5 ready been covered and was going to be covered in this hear-
6 ing, or had already been prepared.

7 To the extent that we have to
8 side with someone, we obviously have to side with the
9 Mallon-Mesa Grande group. The greatest fear that royalty
10 owners in this area have is that we perceive that this area
11 would be eventually unitized or at least that is what ap-
12 pears to be coming despite any decision that is made regar-
13 ding this hearing.

14 To say that we fear a unit is
15 an understatement. Potentially we would found in a partici-
16 pating area that would not be -- come into participation un-
17 til sometime in the 21st century. I think that a lot of the
18 wells currently producing out of the Gavilan Mancos area
19 would have to be shut-in and for that reason royalty owners
20 would not receive any kind of a participation from the unit
21 depending on how the unit is eventually formed.

22 The Commission cannot in this
23 case ignore the development historically that has occurred
24 in both of these pools.

25 Mr. Greer has developed his

1 side of the fence in a far different manner and unquestion-
2 ably in a very prudent way. On the Gavilan side it has --
3 development has occurred on a competitive basis and is com-
4 pletely different than Mr. Greer's side.

5 To change the spacing, to
6 change allocation formulas as this point it would create
7 inequities not only to working interest owners that have in-
8 vested a considerable amount of money in there, but it would
9 also adversely compare and affect royalty owners.

10 In Rio Arriba County alone
11 there are a number of Gallup Pools that are side by side and
12 if not continuous, they have been allowed to operate and
13 have operated successfully without interference from one
14 side to the next. Between these two pools the current rules
15 allow for protection in -- to protect Mr. Greer's unit.

16 With respect to the so-called
17 permeability barrier that has -- that supposedly divides the
18 two areas, you must keep in mind that this permeability bar-
19 rier was first invented by Mr. Greer. As time and as devel-
20 opment occurred in the Gavilan Mancos Pool, opinions then
21 started changing.

22 Yesterday Commissioner Hum-
23 phries asked some questions concerning the geology of this
24 area. He used, in attempting to illustrate his questions,
25 his rules handbood. Now, if you take that same example and
you use a brittle type of formation that has been described
here, I think the bottom half if you bend a formation in

1 that way over geological time the C Zone would become
2 severed from the rest of the formation. In fact, sitting
3 here yesterday it appears to me that depending on the amount
4 of the -- of the bend, that you would have something as il-
5 lustrated in this painting behind us here, is that you might
6 have that kind of separation in the middle with the kind of
7 upheaval because of the upward push in the upper part of
8 where you have the strain on structural dip.

9 I characterized Mr. Greer's
10 concern as a man who has developed a considerable engineer-
11 ing project here and he is downstream collecting oil with an
12 insufficient amount of wells to protect the unit. You
13 could say that he just doesn't have enough buckets in his
14 bucket brigade to catch all the oil. His concern is that
15 some of that oil is going to get by.

16 With respect to the matrix con-
17 tribution, I cannot conceive from the testimony presented
18 here that the matrix does not contribute to production.
19 This is a very hotly contested issue and there has not been
20 any agreement between both sides here but it's certainly
21 difficult to conceive or to believe that there is no matrix
22 contribution.

23 In a type of this -- in a case
24 of this type, I believe that the Continental Oil Company
25 versus Oil Conservation Commission case, which is a landmark

1 case in oil and gas conservation, is applicable here, espe-
2 cially in view of the fact that the proponents, or the Ben-
3 son-Montin group, are attempting to change allowables.

4 The Continental case requires
5 the Commission to make findings and to make findings that --
6 as to total reserves in the reservoir, and the proportion of
7 those reserves and attribute total reserves to each indivi-
8 dual tract. I don't think there's any disagreement that the
9 various wells, or all the wells that have been discussed
10 here, have different production capabilities. I think it's
11 important that the wells that have high capacity are allowed
12 to produce more than the wells that have lower, lower capa-
13 city, and if you're to mix and throw everything into one
14 pool, this thing has to be taken into consideration as to
15 who can -- what wells have a higher capacity of production
16 and those that do not.

17 Finally, with respect to the
18 burden of proof in this case I was involved in the August,
19 1986, hearings. I had represented in that case Koch Explor-
20 ation, which has now basically decided ot give up and not
21 spend any more money in the State of New Mexico, as I under-
22 stand it, but in that case the members of the previous Com-
23 mission decided the case on the basis that if they were
24 going to err, they were going to err on the side of conser-
25 vation. I don't think that this is the standard. If that

1 is the standard and that is the conclusion that is reached
2 by the Commission, then I think that the proponents of the
3 -- in -- on the Benson-Montin-Greer side have not met the
4 burden of proof.

5 Thank you very much.

6 MR. LEMAY: Thank you, Mr. Pa-
7 dilla.

8 Are there additional state-
9 ments?

10 Mr. Gentry.

11 MR. GENTRY: May it please the
12 Commission, I am Nicholas R. Gentry, also representing Floyd
13 and Emma Edwards.

14 Mr. Padilla has addressed some
15 of the substantive and more technical aspects of the evi-
16 dence that has been heard by the Commission. I want to ad-
17 dress only some legal issues on behalf of my clients.

18 We have already submitted a
19 brief to this Commission on those issues, therefore I will
20 be relatively brief but I think those issues are signifi-
21 cant, significant enough importance that they need to be ad-
22 dressed.

23 Now, first of all, we filed a
24 motion with this Commission to continue or vacate these
25 hearings on two grounds.

1 Number one, simply that we were
2 only recently retained by the Edwards because of a conflict
3 of interest that developed with their previous counsel and
4 therefore there was a problem of time and preparation for
5 this hearing; and secondly, our motion was based on our con-
6 cerns about the lack of notice or the inadequate notice
7 being provided for these hearings and for previous hearings
8 to royalty interest owners, such as the Edwards.

9 Now the Commission chose to
10 deny our motion and has obviously proceeded with these hear-
11 ings. In that regard I did receive a phone call and a let-
12 ter from Mr. Lemay, I believe it was last week, stating
13 among other things that to vacate the hearing at this late
14 date would cause undue hardship on all the parties.

15 This reference to undue hard-
16 ship brings me to our main, or one of my -- our main con-
17 cerns that I want to address, and that is the question of
18 inadequacy of notice that is provided to royalty interest
19 owners. I think that is where the real undue hardship is
20 lying.

21 In regard to that question of
22 notice, let me briefly state that the Edwards are royalty
23 interest owners in regard to land in the Gavilan Mancos
24 Pool. They have leases with Mr. McHugh and the increase in
25 the spacing unit from -- that was previously ordered by the

1 Commssion from 40 to 320 acres has a significant adverse af-
2 fect on the Edwards.

3 Now the Edwards are currently,
4 as I'm sure the Commission is aware, involved in litigation
5 with several parties, including Mr. McHugh and including
6 this Commission.

7 One of the main points in dis-
8 pute in that litigation regards the question of notice that
9 was provided or was not provided to the Edwards in Case Num-
10 ber 7980, previously heard by this Commission, and that case
11 culminated in Order R-7407, which ordered the increase of
12 the spacing from 40 to 320 acres.

13 In connection with this lawsuit
14 the Edwards filed a Motion for Summary Judgment, for partial
15 summary judgment, which was heard, I believe, on Tuesday by
16 Judge Serna, and Mr. Taylor, the Commission's counsel was
17 there and I'm sure he's discussed this with the Commis-
18 sioners, but in ruling on that Motion for Summary Judgment
19 the judge essentially ruled that sufficient notice was not
20 provided to the Edwards or royalty interest owners in that
21 case of 7980, and I've got a portion of the transcript from
22 that hearing and I'd like to quote from it briefly.

23 Judge Serna stated that "I find
24 that the Edwards' mineral rights are property rights which
25 are protected by the State and Federal constitutions. I

1 find that the proceedings in Case No. 7980 materially and
2 adversely affected the property rights and that they were en-
3 titled to reasonable notice of that case." The judge fur-
4 ther stated that "I find that notice by publication was un-
5 reasonable and I am specifically finding that in this case
6 in view of such a significant dilution of property rights,
7 that actual notice should have been given."

8 Now unless the Commission
9 thinks that this is some aberrant ruling by Judge Serna, I
10 would point out, as I did in my brief, that there -- that
11 this ruling is in agreement with numerous other cases and
12 other jurisdictions, which have essentially held that a roy-
13 alty interest is a property right; that an administrative
14 act, such as increasing the spacing units from 40 to 320 ac-
15 res deprives the owners of their property through State ac-
16 tion, and that in such a situation the owner is entitled to
17 due process and notice by mere publication in the paper does
18 not constitute due process.

19 Now our brief details some of
20 these legal authorities and I won't go into it at this
21 point.

22 I would also state that in re-
23 gard to Judge Serna's action, he further ordered that the
24 matter be remanded back to this Commission for further pro-
25 ceedings. I think Mr. Taylor would agree with me that there

1 was some question as to exactly what he did order and how
2 that was to be implemented and our reading of that portion
3 of it, of his order, we disagree with that portion of his
4 order, and that's something that may be challenged later on
5 down the road, but nevertheless the crux of his order is
6 that notice by publication is unconstitutional.

7 Now this decision puts in ques-
8 tion the validity and applicability of Order No. R-7407, at
9 least as it applies to the Edwards, and in my opinion this
10 decision also puts in question these particular proceedings
11 and any order that may result from these proceedings as it
12 would apply to royalty interest owners or other people with
13 property rights that may be affected by this order resul-
14 ting from these particular proceedings.

15 Now it's my understanding that
16 the Commission sometime subsequent to Case Number 7980 amen-
17 ded its rules and regulations regarding notice and in my
18 reading of those amended rules it appears, although I'm not
19 quite certain, but it appears that there is now a provision
20 for personal or actual notice to be provided to royalty in-
21 terest owners, at least in some situations and some hear-
22 ings, types of hearings before this Commission.

23 But nevertheless, it appears to
24 me from the information that I've made available to me, that
25 royalty interest owners in regard to this particular pro-

1 ceeding, royalty interest owners have not been given actual
2 or personal notice. The only notice that has been given,
3 it's my understanding, has been notice by publication, and
4 if that in fact is the case, then it appears that there is a
5 violation not only of the Commission's own rules and regula-
6 tions, but more importantly a constitutional violation as
7 Judge Serna has already ruled in connection with the Ed-
8 wards.

9 Therefore, what has transpired
10 during the past several days and what this Commission may
11 order based on the testimony that they have heard over these
12 past several days, may be in jeopardy, at least as that or-
13 der applies to the Edwards or people similarly situated that
14 did not get constitutionally adequate notice, and it's our
15 position based on the research that we have done and what we
16 have argued on behalf of the Edwards in District Court in
17 that situation, an order issued by this Commission based on
18 what has been received in this hearing, for which the royal-
19 ty interest owners did not get adequate notice, those orders
20 are vague, excuse me, not vague, they are void as to those
21 particular individuals.

22 Now the second point that we
23 also briefed and provided to the Commission, and which I'll
24 touch on briefly, is a question of retroactivity of Commis-
25 sion orders.

1 Order No. R-7407, it's our
2 opinion, expired by reason of its own terms and language, on
3 March 1st of this year, and even if this order were at one
4 time valid and binding on the Edwards, which we do not con-
5 cede, but even if it was, that order is now by its own lan-
6 guage no longer effective and binding on the Edwards or any-
7 body.

8 That order provided for tempo-
9 rary 320-acre spacing effective March 1st of 1984 and to
10 last for a 3-year period.

11 In addition Order No. 7745
12 provied for temporary 320-acre spacing for a period ending
13 on March 1st of 1987.

14 Those orders are clearly no
15 longer in effect and by their own language and I think that
16 the spacing units have reverted back to 40 acres and should
17 remain at 40 acres until further order of this Commission.

18 The Commission and the various
19 applicants to these proceedings were aware, well aware of
20 the language of these orders and these particular dates, yet
21 as far as I'm aware, neither the Commission nor any appli-
22 cant has requested any relief for new order that would have
23 retroactive effect back to March 1st of this year, and even
24 if the applicants are requesting such relief or that type of
25 order from the Commission, in our opinion such a retroactive

1 or nunc pro tunc order would be contrary to the Commission's
2 authority and contrary to the Commission's practice.

3 In our opinion a retroactive
4 order of that effect would not be necessary to prevent waste
5 or to protect correlative rights.

6 Secondly, administrative rules
7 and regulations cannot be made retroactive if the equities do
8 not favor the party requesting such relief and we do not be-
9 lieve that's the situation at this point. I think all the
10 equities are in favor of the Edwards and other individuals
11 similarly situated.

12 Thirdly, the law will not grant
13 retroactive relief to a party where the relief sought became
14 necessary due to that party's own delay or lack of due dili-
15 gence. Again, that seems to be the situation in this case.

16 In short, our position is that
17 the retroactive order attempting to bridge this time gap
18 from March 1 of '87 to whatever subsequent order the Commis-
19 sion should issue, especially as that applies to the Ed-
20 wards, since those original orders were void as to the Ed-
21 wards because of lack of notice, any type of retroactive or-
22 der would be ineffective and inappropriate and contrary to
23 the law.

24 It's our position that the or-
25 ders of the Commission must be prospective in nature only.

1 Thank you very much.

2 MR. LEMAY: Thank you, Mr. Gen-
3 try.

4 Are there additional statements
5 at this time?

6 Yes, sir.

7 MR. FRALEY: My name is Richard
8 Fraley and I'm a Senior Reservoir Engineer with Meridian Oil
9 and I'd like to offer a statement concerning Meridian's pos-
10 ition in these hearings.

11 I think you've had your fill o
12 technical arguments and I will not make you sit through any
13 more. I'll also be as brief as I can.

14 Meridian, as an operator in the
15 Gavilan Pool and a working interest owner in the Canada Oji-
16 tos Unit, has been involved in the study of this reservoir
17 since the early stages. I've personally been involved since
18 June of 1986 and as a result of that I was named a co-chair-
19 man to the engineering subcommittee last September.

20 I must say that originally Mer-
21 idian was skeptical about the reservoir as described by BMG,
22 et al, and we remained open-minded as to other possibili-
23 ties. I must say that our reasons for the skepticism were
24 first, we thought that the reservoir characteristics were
25 unusual and the performance of the reservoir seemed unusual
also.

1 I'll also say that it's human
2 nature to lean on your past experience and to analyze prob-
3 lems based on a given background with more conventional type
4 reservoirs.

5 In analyzing this reservoir
6 Meridian soon realized this reservoir was unique and could
7 not be analyzed or expected to perform like those normally
8 encountered; however, through careful study, research, field
9 testing and observations of performance, Meridian became
10 convinced that this reservoir was not being developed in the
11 most efficient manner to maximize recovery and economics,
12 and in that I'm referring to the Gavilan portion of the Man-
13 cos Pool.

14 Further study showed that these
15 ideas presented by BMG, et al, had a great deal of merit re-
16 gardless of how adverse they seemed when compared to typical
17 reservoirs.

18 As I mentioned, Meridian tried
19 to remain objective in their analysis. Prior to the August
20 hearing Meridian attended meetings and was invited to join
21 in commissioning a study by the opponents to the McHugh ap-
22 plication.

23 We declined for two reasons.
24 First, not all of the operators in the area were invited to
25 do one and secondly, we were very concerned about the objec-

1 tivity of any study commissioned specifically for hearing.

2 Therefore, in order to address
3 Meridian's future in this area, to proprietary in-house
4 studies have been done in the last six months.

5 First we analyzed the past and
6 future performance of Canada Ojitos Unit, of which we are a
7 working interest owner. Likewise, we analyzed Gavilan.
8 Briefly the results are as follows.

9 We saw a very efficient gravity
10 drainage gas injection project in the Canada Ojitos Unit
11 currently developed in the Niobrara C Zone and to a limited
12 extent in the Niobrara A and B Zones, with near term plans
13 to develop the A and B before severe drainage could occur
14 into Gavilan. We feel that this project will maximize ultimate recoveries from that portion of the reservoir.

15
16 We saw in Gavilan a highly competitive drilling situation in what we considered the same
17 reservoir as Canada Ojitos Unit, with little thought or concern for preventing waste or increasing ultimate recoveries.

18
19 I present to you that that is a
20 sharp contrast.

21
22 I do not need to remind anyone
23 in this room that these are difficult times for the oil and
24 gas industry. In addition, we are finding and developing
25 more reservoirs that are considered unconventional when com-

1 pared with those developed in the past.

2 Meridian submits that this is
3 one of those reservoirs and we can not be afraid to develop
4 this and other reservoirs with practices that are unorthodox
5 and unusual as compared to past practices in order to maxi-
6 mize recoveries and economics.

7 In this hearing and the hear-
8 ings that have been held this week, representatives for BMG
9 Drilling Corp., Sun, Dugan Production, and Jerome P. McHugh
10 and Associates, have shown in their testimony the following:

11 First, this is a fractured re-
12 servoir with little or no matrix contribution, regardless of
13 how you define the matrix.

14 Second, through definitive in-
15 terference testing it has been shown there is pressure com-
16 munication between Canada Ojitos Unit and Gavilan.

17 Third, that gravity drainage
18 production is significant and that the ultimate recovery of
19 this gravity drainage is rate sensitive.

20 From these conclusions, in or-
21 der to optimize recoveries from the Mancos Pool, Meridian
22 supports the application of BMG, et al, in the cases under
23 consideration today.

24 This week we've heard more
25 technical arguments about reservoir engineering than most of

1 us assimilate in four years of college. Obviously, two very
2 capable and intelligent groups have defined this reservoir
3 in completely different ways.

4 If in your mind you are still
5 uncertain of how this reservoir performs, I'll disagree with
6 Mr. Padilla and I'll paraphrase a position Amoco took in the
7 August hearing, and that is, if you are to err, it must be
8 on the side of conservation. This, in Meridian's opinion,
9 would at least afford the opportunity for maximum oil recovery
10 for the producers, the royalty owners, and the state of
11 New Mexico.

12 Thank you.

13 MR. LEMAY: Thank you, Mr. Fra-
14 ley.

15 Are there additional statements
16 from people in the audience?

17 I don't see any hands. At this
18 time, then, we'll begin our closing arguments. Do you plan
19 to have one person on each side close or are you going to
20 have two over there and two over here?

21 Okay. Mr. Pearce.

22 MR. PEARCE: May it please the
23 Commission, it is now my privilege and, I suppose, responsi-
24 bility to make a closing argument on behalf of Mallon, Mobil
25 Producing Texas and New Mexico, Inc., and Amoco, although

1 Amoco has chosen to reserve the right to make a separate
2 statement at the close of arguments, if they decide that's
3 appropriate.

4 Each of these companies owns an
5 interest in the Gavilan Mancos Pool. Each of these com-
6 panies has invested heavily in the Gavilan Mancos Oil Pool
7 and the point of these investments has been to most
8 efficiently produce without waste the parties' just and
9 equitable share of oil or gas or both within that pool.

10 As I hope is obvious, these
11 companies are engaged in the business of producing and sell-
12 ing oil and gas. These companies are not in the business of
13 wasting their asset base. They are not in the business of
14 damaging that asset base, represented by the property inter-
15 ests, nor are they in the business of investing more capital
16 to utilize that asset base than is necessary.

17 Conversely, they are also not
18 in the business of delaying or reducing return on their in-
19 vestment if that's not necessary to protect that asset base.

20 The whole basis of this dispute
21 is threefold. I believe it is will the producing reservoir
22 under statewide allowables and spacing lead to a loss of re-
23 coverable reserves, and I believe we've demonstrated to you
24 the answer to that question is no.

25 Is there an economical way to

1 increase recovery from the reservoir at this time? I think
2 the answer to that question is no.

3 And will statewide allowables
4 and spacing cause an inequity in correlative rights between
5 the interest owners in the Gavilan Mancos Pool and the
6 interest owners in the West Puerto Chiquito Pool? I suggest
7 to you that it's been demonstrated to you that the answer to
8 that question is no.

9 In order to make the decisions
10 necessary, these parties who compete with each other in the
11 business world have cooperated in an extensive reservoir an-
12 alysis. This study has involved geological data, well per-
13 formance data, reservoir modeling results, and economic da-
14 ta. The results of that analysis, the analysis has been
15 presented to you by Mr. Emmendorfer, Mr. Faulhaber, and Mr.
16 Hueni.

17 Because the operators who I'm
18 speaking for have such a large commitment at risk in this
19 proceeding, I've been asked to highlight some of the more
20 significant items of evidence in this record.

21 Now let's look at that evidence
22 for just a few minutes.

23 We began our presentation with
24 Mr. Emmendorfer. He presented a structure map. That may be
25 the only structure map you've seen in this case which is on

1 a consistent scale throughout.

2 And let's look at it for a
3 minute.

4 The West Puerto Chiquito Pool,
5 the contour lines show you how steeply that pool slopes. It
6 shows you that that pool flattens and the evidence in this
7 case has shown you that the West Puerto Chiquito Pool can
8 best be characterized by an anticline with good wells at the
9 bottom and wells below those that are not as good, and we
10 cross the boundary line and everything goes haywire because
11 the symmetry that you have achieved in the West Puerto Chi-
12 quito disappears. There are good wells in the Gavilan.
13 There are bad wells in the Gavilan, and it is not possible
14 to operate that pool with the sort of low capital intense
15 symmetry that is apparently achieved in the West Puerto Chi-
16 quito.

17 The operators who I represent
18 wish that was possible because as I said to you, they're not
19 in the business of investing money that they don't have to
20 to make a return, and if they thought that the Gavilan Pool
21 could be produced at one well on 6000 acres and recover all
22 those reserves, and give them their fair share of return,
23 that's how they'd operate.

24 That can't be done. The evi-
25 dence in this case has shown you that that pool, because of

1 the way it varies all over the map, has got to be developed
2 on 320's, and that 320 development is the only way to pro-
3 tect the varying interests of all those parties.

4 We've presented the second de-
5 rivative map by Mr. Emmendorfer. That map is a clear indi-
6 cation of the variability of one of the mechanisms at work
7 underground that makes that reservoir productive. It turns
8 red and it turned green and it turned dark green, and it
9 turned dark red, and it turned no color at all. That's what
10 the Gavilan does and if you recall what that second deriva-
11 tive map of the West Puerto Chiquito shows, it's got a solid
12 band of red up here where that formation flexes and it's got
13 gravity drainage, and those few wells down there at the bot-
14 tom, and there are very few wells, can sit there and drain
15 that reservoir. You just can't do that, you've got to
16 (inaudible). My clients don't want to spend hundreds of
17 thousands of dollars that it costs to (inaudible) in there,
18 but they don't want to waste their asset either and they
19 don't want to waste the resource. They don't want to leave
20 it in the ground and walk away from it.

21 We had testimony from Mr. Faul-
22 haber. Mr. Faulhaber had some televiwer logs which showed
23 you the downhole fracture pattern in the area around the
24 Gavilan Pool. Mr. Faulhaber had photographs of core samples
25 out of the Gavilan Pool, and those photographs show a dual

1 porosity or permeability system which would accept fluid and
2 it will give up fluid and it does give up fluid.

3 Finally, we presented Mr. Hueni
4 who is retained by a very large group of operators and who's
5 conducted the most extensive study of the Gavilan reservoir
6 that we've seen.

7 Mr. Hueni was retained to find
8 out how the Gavilan Pool should be operated to protect the
9 interest of owners in that pool and he was asked to consider
10 ultimate recovery, well density, production levels, GOR
11 levels, and correlative rights.

12 In conducting his study Mr.
13 Hueni reviewed all of the historical production and pressure
14 data and completion data he could find. He then came up
15 with a reservoir description which set forth the basic ele-
16 ments of that reservoir and these included a dual porosity
17 permeability system containing a major fracture system and a
18 second porosity permeability system.

19 Mr. Hueni's description sets
20 forth a producing regime in which oil is released from this
21 secondary system, is transported to the wellbore by the
22 fracture system, and is produced, and Mr. Hueni based his
23 description of this reservoir on log data and core data and
24 production data and televiewer data and literature surveys
25 and compressibility data and pressure build-up data and he

1 achieved a close match with the history of production in the
2 Gavilan Pool.

3 He looked at everything he
4 could find and he used the best scientific skills available
5 to predict. The analysis was based on Gavilan Mancos Pool
6 data. It was not, as Sun's model was, based upon data col-
7 lected from another pool with another structure and entirely
8 different producing characteristics.

9 After Mr. Hueni had described
10 this particular reservoir as carefully as possible, he
11 modeled the reservoir using parameters that most closely re-
12 flected the reality in the Gavilan Pool. He modeled the
13 Gavilan with Gavilan characteristics.

14 Using these parameters Mr.
15 Hueni's modeling showed that in the future the Gavilan Man-
16 cos Oil Pool should be allowed to produce at statewide 320-
17 acre oil unit levels as the wells in the Gavilan Pool will
18 produce if those rules are in effect.

19 Allowing these production
20 levels will not reduce ultimate recovery. Allowing these
21 production levels will allow the future injection for addi-
22 tional recovery after primary recovery has been completed.

23 Mr. Hueni has also shown that
24 producing the Gavilan Pool in this manner will not affect
25 the West Puerto Chiquito Mancos Pool.

1 This is shown by the failure of
2 those two wells to communicate very much at all of a 450
3 pound pressure differential over twenty years. Twenty years
4 the West Puerto Chiquito Pool was 450 pounds lower in pres-
5 sure than the Gavilan. The Gavilan pressure reduction, if
6 it was attributable to the West Puerto Chiquito pressure,
7 the pressure drop in the Gavilan was only 70 pounds. I sug-
8 gest to you that that is very poor communication.

9 The conclusion that producing
10 the Gavilan Pool will not affect the West Puerto Chiquito
11 Pool is also supported by Mr. Hueni's analysis of the ini-
12 tial pressure gradients just after lunch on the B-32 Well.
13 Those wells came on at pressures which were Gavilan pres-
14 sures, although they are held out to be producing in the
15 West Puerto Chiquito Pool.

16 Mr. Hueni has shown that gas
17 injection in the Gavilan Mancos Pool at this time will in
18 fact actually cause waste. Now that's important because I
19 had a little bit of an uncomfortable go-round in my cross
20 examination of Mr. Greer. I was asking Mr. Greer some ques-
21 tions about statutory unitization and I was having a little
22 trouble and finally, once Mr. Kellahin had risen and said
23 that Mr. Greer had told me that he would attempt to statu-
24 torily unitize all of this area if it was all one pool, if
25 he couldn't get everybody to agree with him, Mr. Greer

1 agreed that that's what he'd do. He indicated it would make
2 him unhappy but he said that's what he was going to do.

3 Well, almost all of the West
4 Puerto Chiquito Pool right now is in a pressure maintenance
5 project and Mr. Hueni had shown you that if you pressurize
6 the Gavilan Pool at this time you reduce ultimate recov-
7 eries. That is waste.

8 Generally the study and the
9 evidence in this hearing lead to several conclusions.

10 First, the Gavilan Mancos Pool
11 produces primarily from the A and B Zones and it is very
12 weakly connected to the West Puerto Chiquito, in which the
13 primary producing zone is the Niobrara C.

14 Second, the Gavilan Mancos Pool
15 is a reservoir that has a two porosity or permeability sys-
16 tem and you may recall that Dr. Lee this morning said cer-
17 tainly there's no question this is a dual porosity system.
18 This system consists of a high flow capacity fracture system
19 and a low flow capacity component composed of storage and
20 production capacity from microfractures and intergranular
21 spaces.

22 Thirdly, ultimate recovery in
23 the Gavilan Mancos Oil Pool is not rate sensitive if state-
24 wide oil production rules for 320-acre spacing are applied
25 to the Gavilan Mancos Oil Pool and Gavilan wells produce at

1 the rate at which they're able to produce if those wells are
2 in place.

3 By that, Mr. Chairman, waste
4 will not occur and by waste I refer to what the statute re-
5 fers to. I mean that reservoir energy will not be ineffi-
6 ciently or excessively used or dissipated. The total quan-
7 tity of ultimately recovered oil will not be reduced and in
8 addition, it will not cause the drilling of unnecessary
9 wells.

10 Fourth, Mr. Chairman, if the
11 operators in the Gavilan Mancos Oil Pool are allowed to
12 operate under historically adopted statewide rules for 320-
13 acre oil spacing units, the West Puerto Chiquito Pool will
14 not be adversely affected and the operators in that pool
15 will be allowed the opportunity to produce their just and
16 equitable share of the reserves underlying that pool.

17 Fifth, the best wells in the
18 West Puerto Chiquito Pool, along the western boundary of
19 that pool are in communication with wells in the Gavilan
20 Mancos Pool and have Gavilan Mancos Pool pressures.

21 Sixth, Mr. Chairman, the Gavi-
22 lan Mancos Oil Pool, it has been demonstrated, is a hetero-
23 geneous, very, very complex reservoir of widely varying
24 characteristics as has been shown by the evidence in this
25 case.

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

1 did. He looked at the Gavilan Pool, and that's what we're
2 talking about.

3 So far as I know, my client had
4 no complaint about the way Mr. Greer operates his unit.
5 They do have a complaint when Mr. Greer argues that if you
6 apply the parameters from his unit to their reservoir, you
7 have to conclude that it's all one pool. My client has ser-
8 ious trouble with that and I suggest to you that it really
9 doesn't make sense.

10 Mr. Chairman, there are two
11 distinct pools in this area. Allowing the Gavilan Mancos
12 Oil Pool to produce at statewide 320-acre oil unit rules
13 will prevent waste. It will protect correlative rights, and
14 it will be in the best interest of all of the interest
15 owners with property right in that pool and as the evidence
16 has shown, it will not interfere with the Canada Ojitos.

17 We therefore ask the Commission
18 to deny the applications filed by our opponents in this
19 matter.

20 Thank you.

21 MR. LEMAY: Thank you, Mr.
22 Pearce.

23 Mr. Lopez.

24 MR. LOPEZ: Thank you, Mr.
25 Chairman, Members of the Commission. This is indeed an

1 historic occasion, mainly because in the seventeen years
2 that I've been appearing before the Commission, and if I
3 don't miss my bet, in the collective experience of all my
4 fellow oil and gas counsel in the room, this is the first
5 time we've had three fully participating commission members
6 on any case that we've been involved in, and I think, and my
7 hat's off to you, Mr. Humphries, the State Land Commissioner
8 historically has not taken an interest in these hearings, I
9 think that it's commendable that the three commissioners
10 have stayed with us this week with their staffs and on be-
11 half of the companies which I'm representing I want to ex-
12 press their sincere appreciation and thanks.

13 The companies I am speaking for
14 are Mesa Grande, Mallon, Hooper, Kimball & Williams, Reading
15 and Bates Petroleum Company, Kodiak Petroleum Company, and
16 American Penn Energy, and on their behalf we would adopt Mr.
17 Perry's closing remarks as our own; however, we would point
18 out that in addition to the technical issues before the Com-
19 mission here today, we are confronting serious business man-
20 ipulation issues underlying these proceedings which we would
21 characterize as a raw, naked confiscation of property
22 through the abuse of the administrative process.

23 This story began about mid last
24 year when the Oil Conservation Division requested a meeting
25 of the operators because Mr. Greer had represented that an

emergency existed in the Gavilan area.

These meetings were held and Mr. Greer immediately set the tone for the discussions by emphatically indicating the need for unit operation.

While the Technical Committee meetings were in progress, Mr. McHugh and Mr. Greer filed an application to restrict allowables without receiving a consensus from the other operators and working interest owners except those obviously aligned in his camp.

We, and by that I mean those aligned on our side of the table viewed this blind-sided attack as no less than a blatant attempt to intimidate and again force unitization.

The initial hearings in these cases were held in August, the result of which was that production was restricted contrary to the advice of the best geologists and reservoir engineers that could be assembled from the wide array of companies again assembled on our side of the aisle.

Among this talented group of peers the weight of the evidence clearly favored our interpretation of the reservoir performance, principally because Mr. Greer's view, as usual, was myopic since it was limited to his Canada Ojito operation and so clearly self-serving.

Nevertheless the Commission was

1 apparently persuaded that an emergency existed. This emer-
2 gency was intended to prevent the drilling of additional
3 wells and to preserve reservoir pressures. It is indeed
4 bitterly ironic that, with the exception of the three wells
5 drilled in the West Lindrith Unit outside the southern boun-
6 dary of the Gavilan Mancos Pool, the only wells, eight
7 wells, that have been staked and drilled since the August
8 hearing are those owned and operated by the proponents, Mr.
9 McHugh, Mr. Dugan, and Benson-Montin-Greer.

10 It should also be observed that
11 Mr. Greer's approximate 69,000-acre Canada Ojitos Unit has
12 only produced 8.4-million barrels of oil since its first
13 discovery in 1962 and that the A and B Zones within the
14 western Puerto Chiquito Mancos Pool have not been developed
15 by it.

16 Compare this with the Gavilan
17 Mancos Pool discovered in 1982 and only developed in the
18 last three years which has produced well over 3,000,000
19 barrels of oil, 35 percent of that produced by Mr. Greer in
20 his 25-year period. It is not even necessary to comment
21 regarding the comparable economics of the two operations and
22 the resulting benefits to the State of New Mexico.

23 If we were to follow Mr.
24 Greer's logic to its conclusion, it is obvious that the best
25 way to conserve reserves is to essentially shut in the

1 reservoir.

2 After the entry of the tempor-
3 ary special order restricting allowables in the Gavilan Man-
4 cos Pool, an order, by the way, that neither side of the
5 dispute requested, nobody wanted it, nobody even asked for
6 it, McHugh having requested 200 barrels of oil per day with
7 a 1000 GOR; Mobil arguing for no change at all in the state-
8 wide allowable; and for lack of a better term, as this
9 chairman has characterized us, the Triple M team having re-
10 quested 702 barrels of oil per day and a 600 GOR, proposing
11 what we thought would be a reasonable compromise until these
12 hearings this week could be held and knowing in August that
13 we would again be before the Commission discussing spacing
14 and other issues.

15 The Commission nevertheless en-
16 tered the current order indicating that it thought it to be
17 in the spirit of compromise; however, again, as has been
18 typical of our experience, the resultant order had greater
19 adverse effect on our companies and associated operators
20 than that even requested by Mr. McHugh and Mr. Greer.

21 We can only speculate as to
22 whether such administrative action was ignorant or deliber-
23 ate. After the hearing an engineering subcommittee was for-
24 med at the request of Mr. Stamets to objectively analyze the
25 reservoir. This committee became a format for Messrs.

1 McHugh, Dugan, and Greer to continue to press the unitiza-
2 tion efforts. There was no willingness whatsoever to objec-
3 tively study the reservoir data. Their minds were made up.

4 They did, however, propose to
5 employ Mr. Hueni as an expert to analyze the reservoir
6 information thereby indicating a high degree of confidence
7 in his abilities but only on the condition that he would be
8 barred as a result from testifying in these hearings today.

9 The committee was dissolved in
10 November because it became increasingly clear that it pro-
11 vided no more than a forum for the opposition to continue
12 their intimidation and coercion. Mallon was first to with-
13 draw out of sheer frustration and I would refer to the Com-
14 mission to the minutes of the committee meetings and to the
15 extent of interchange of correspondence between the parties
16 in order to obtain the flavor of the meetings.

17 When Mr. Greer could not force
18 a voluntary unit, he then made application to combine the
19 two pools with one set of rules. On the surface this may
20 look innocent enough but again, as Mr. Pearce explained,
21 it's a simple business maneuver whereby combining the two
22 pools would then give Mr. Greer sufficient votes for a sta-
23 tutory unitization, which again indicates what this hearing
24 is all about.

25 It is also important for the

1 Commission to know that during the course of these past
2 months Mr. McHugh and Mr. Greer have been negotiating to
3 sell some if not all their production to Sun Oil Company and
4 that such sales have or are about to transpire.

5 We also understand from reli-
6 able sources that Mr. Dugan is negotiating to sell his in-
7 terest in Sun, as well.

8 It should also be noted that
9 Sun has offered to buy other interest in the reservoir. In
10 point of fact, Sun made an offer to buy George Mallon's in-
11 terest at very significantly reduced prices based on the re-
12 strictive production rates now in effect, restricted to
13 operate -- put into operation at the instigation of, again,
14 Messrs McHugh, Dugan, and Greer.

15 MR. KELLAHIN: Mr. Chairman, it
16 is with great reluctance that I interrupt counsel. I've
17 never done it before but I will do it now.

18 Closing arguments are to be
19 confined to the evidence and to fair comments on the evi-
20 dence before you. This is far beyond anything that's before
21 you. If he wants to bring in these kind of matters, we'll
22 see him in District Court, but there's not before you here
23 and it's inappropriate and totally unfair.

24 MR. LOPEZ: Mr. Chairman, I
25 think this is the appropriate forum for the parties repre-

1 sented on our side of the table to put before you the prob-
2 lems that we feel deeply in our heart are underlying the
3 course of these proceedings.

4 This is closing argument. We
5 have a sophisticated Commission. The Commission can give
6 these comments as much weight as it deems necessary. The
7 Commission further can go through its own regulatory proce-
8 dures to examine the weight or the truth of these allega-
9 tions. Mr. Carr and Mr. Kellahin will have an opportunity
10 to respond and if it were of any benefit, I would be glad to
11 be put under oath so long as that was the condition of Mr.
12 Kellahin's remarks, as well.

13 And I don't appreciate being
14 interrupted.

15 MR. LEMAY: Mr. Lopez, I think
16 it's been Commission policy to allow quite a bit in hear-
17 ings; however, if you want to -- what you say to have weight
18 with Commission, we aren't investigating some of the issues
19 you're bringing up, so you're welcome to bring them up but I
20 just -- I caution you that these aren't the issues at hand,
21 so they won't have any impact on us.

22 If you can deal with what we
23 heard testimony on, and I think your comments will be --
24 carry more weight.

25 MR. LOPEZ: I'm just to con-

1 clude, Mr. Chairman. I will take up no further time.

2 As I mentioned in my opening
3 remarks, there exists a sharp difference of opinion as to
4 what the reservoir mechanics are in the Gavilan Mancos Pool
5 and the West Puerto Chiquito Mancos Pool.

6 We are again quite confident,
7 as we were last August, that our interpretation of how the
8 reservoir should be developed for the reasons summarized by
9 Mr. Pearce in his closing remarks as the most reasonable and
10 most correct.

11 We are also convinced that
12 there exists sinister business motivation to essentially
13 confiscate our property that forms the basis for the opposi-
14 tion's unpersuasive but elaborately concocted story.

15 Thank you.

16 MR. LEMAY: Thank you, Mr.
17 Lopez.

18 Mr. Carr.

19 MR. CARR: May it please the
20 Commission, for the last five days you've been subjected to
21 extensive, perhaps exhaustive, information on the character
22 of the Mancos formation underlying the Gavilan Mancos Pool
23 and the West Puerto Chiquito Mancos Pool in the San Juan
24 Basin.

25 We're here today because per-

1 haps as evidenced by the tone of Mr. Lopez' comments, agree-
2 ment between the individual operators in this pool is vir-
3 tually impossible.

4 So we're here asking for your
5 assistance.

6 We've come before you, Greer,
7 Dugan, McHugh, and Sun, asking for an order from the Commis-
8 sion that will treat what we believe clearly is one, single
9 reservoir, as the one pool that it is.

10 We're asking you to promulgate
11 rules which will limit producing rates from the pool, rates
12 which we now consider to be excessive, and thereby increas-
13 ing the ultimate recovery of the oil from that pool.

14 Nothing in what we have pro-
15 posed will preclude any operator in the pool from developing
16 on 320 acres. That is an option within our proposal. Any
17 comments that have been directed to that in closing argument
18 by our opponents are simply reflective of a misunderstanding
19 of what we are seeking here today.

20 We submit that what we propose
21 makes sense. We submit what we request is consistent with
22 the evidence presented in this case, and I would note that
23 Mr. Greer at the conclusion of his direct case requested
24 that any order resulting from this hearing carry an effec-
25 tive date of March 1, 1987.

1 As I told you at the beginning
2 of the case, this is an engineering case and we have basic-
3 ally two proposals or cases before you.

4 The first one is that presented
5 by Mr. Greer, Mr. Lee, and Mr. Dillon; the other is that of
6 Mr. Hueni.

7 Mr. Greer, although obviously
8 vilified by some of the people here, is a man who has spent
9 much of his working life studying and developing this reser-
10 voir. The data that he has presented, I submit to you, is
11 accurate. It's accurate for one particular reason. It
12 wasn't developed for the purposes of a hearing before the
13 Oil Conservation Commission. He has worked over twenty-five
14 years; he has developed the information, and the benchmark
15 against which his decisions have been measured and tested
16 over the years has been actual field experience. He's the
17 one witness who can stand before you in that position, and I
18 submit that for twenty-five years his work in this area has
19 been tested and proven to be right.

20 Mr. Lee also has appeared be-
21 fore you on our behalf. We were delighted when he agreed to
22 join our effort, not only because of his obvious creden-
23 tials, his experience, his skill, but also because of his
24 integrity. We submit he's one of the premier experts in the
25 field of petroleum engineering. He reviewed the work of Mr.

1 Greer, Mr. Hueni, and Mr. Dillon, and today he has confirmed
2 Mr. Greer's work, that of Mr. Dillon, and he has raised some
3 questions about the work product presented to you by Mr.
4 Hueni.

5 Mr. Lee showed you the matrix
6 is not capable of contributing much or any production in
7 this reservoir and simply because it cannot flow. He did
8 say -- state there was dual porosity system but he stated
9 the matrix could not contribute. It cannot flow. He
10 pointed out this was because of a capillary or capillary
11 retention forces in the reservoir.

12 This afternoon Mr. Hueni for
13 Mallon, Mesa Grande, and Mobil responded and the way they
14 responded was they had someone at Mobil write themselves a
15 letter and say this isn't true. That's a response but the
16 fact is and it stands that because of capillary retention
17 forces the matrix cannot and does not contribute.

18 Now Mr. Hueni is a petroleum
19 engineer who was retained last fall to attack Mr. Greer's
20 conclusions. We submit that anyone with Mr. Hueni's train-
21 ing can take the model and match actual reservoir perfor-
22 mance if he adjusts the parameters long enough, and we sub-
23 mit that's what has been done here, and although his work
24 has been held out as complying or being consistent with Gav-
25 ilan characteristics, we submit that's really not true.

1 He's arbitrarily increased permeability, for example, and he
2 has not taken into account reservoir dip (not understood)
3 and what he did was he made the shoe fit. Perhaps that's
4 why it took 80 to 100 runs to get a fit, but we submit what
5 he did is what anyone with his credentials could do.

6 Dr. Lee looked at the model and
7 he concluded that it simply does not properly monitor the
8 mechanics of the Gavilan reservoir.

9 Now I'm not going to review
10 with you the evidence in the detail that Mr. Pearce reviewed
11 it, but I would like to summarize what we believe the evi-
12 dence shows because I think it clearly establishes that we
13 have met our burden of proof.

14 First of all, we're not talking
15 about two pools that happen to be side by side. We're
16 talking about one common source of supply, one reservoir.
17 We submit that the evidence establishes or fails to estab-
18 lish any horizontal boundary or barrier running through this
19 reservoir. Where everyone has postulated the existence of a
20 permeability barrier, that falls squarely -- squarely within
21 the interference data Mr. Greer presented.

22 We submit that there is commun-
23 ication in the A and B Zones. The last exhibit presented
24 today by Mr. Hueni, I don't have the number, it was his Gav-
25 ilan Mancos Material Balance Oil in Place information, and

1 on this exhibit he has pointed -- plotted two dots that are
2 indicative of production from the B-29 and the B-32 Wells in
3 the West Puerto Chiquito Pool in the Canada Ojitos Unit, and
4 he noted that it was because of production from these --
5 that production from these two wells in the West Puerto Chi-
6 quito Pool was restrictive flow from West Puerto Chiquito
7 to Gavilan. We submit to you that is clear evidence that
8 there is communication in the A and B Zones.

9 As to the C Zone, I think it's
10 important to examine the evidence presented, actual test da-
11 ta on production from the Unit well, Canada Ojitos Unit Well
12 F No. 30, and this well is located squarely within the tier
13 of sections that our opponents are proposing be carved out
14 of West Puerto Chiquito and added to Gavilan, and the test
15 data on this well shows that this well is producing 300 bar-
16 rels a day from the C Zone.

17 Now, if you put that in the
18 context of their case, their case is the unit, the West
19 Puerto Chiquito produces from the C, Gavilan from the A and
20 B, and yet for some reason they want to carve out a tier of
21 sections and put a well that's producing 300 barrels a day
22 from the C over in Gavilan, that produces from the A and B.

23 It makes no sense. We can show
24 you with the data from that well that in this tier of sec-
25 tions they would like to move to the Gavilan, that there are

1 substantial volumes of oil being produced from the C Zone.

2 If you go over to Mr. Mallon's
3 Fisher Federal Well, you will see that that well, and it has
4 been tested again and that is in the -- the test results are
5 in the record, produced 50 barrels a day from the C Zone.
6 This is one-third of the average production for a Gavilan
7 well. We submit that there's production from the C Zone
8 throughout the area we're talking about, and that this is
9 one reservoir, it is one common source of supply, and it
10 should be produced as one pool.

11 We see no reason to impose an
12 artificial boundary across it where the boundary exists to-
13 day or where Mr. Pearce and Mr. Lopez are proposing that the
14 boundary be located. If you look at just the wells on
15 either side of the new proposed boundary, you can clearly
16 see from the interference data, that there is drainage and
17 interference across their proposed boundary and across the
18 existing boundary.

19 We submit we have one pool
20 which should be produced under one set of rules.

21 Now we've talked about Mr. Em-
22 mendorfer's cross section. We've been patting ourselves on
23 the back because of the scale but remember, we're talking
24 about a formation maybe 300 feet thick and it extends maybe
25 twelve miles across the reservoir, and even though this

1 shows a dramatic dip in the formation, if you think about
2 the cross sections that were provided by Mr. Ellis, they
3 more correctly depict the actual reservoir as it is spread
4 out across the San Juan Basin.

5 But we do have dip in the
6 reservoir and even Mr. Emmendorfer's figures indicated that
7 in the Gavilan area, when he took the crest of the dome,
8 which is the flattest area, he took the bottom of the trough
9 between the two, which is the other flattest area in the
10 pool, and he added those and he averaged them somehow that
11 you still had a dip in that reservoir of an average of 55
12 feet per mile. That is more than the base case that we use
13 showing you how gravity drainage could and would work.

14 We submit to you what we have
15 shown, Mr. Greer's experience and kinds of results he's ob-
16 tained in the pool demonstrate to you gravity drainage can
17 work and does work, but as Mr. Lee testified, we have a rate
18 sensitive reservoir and if we withdraw oil from this pool at
19 an excessive rate, the benefits of gravity drainage will be
20 lost; they will be lost once and for all.

21 We have a stratified reservoir.
22 When we were before the Commission in August the question
23 was whether or not we had any stratification. Today there
24 seems to be no question about the stratification between the
25 C on the one hand, and the A and the B on the other. There

1 are very definite reasons to believe that the interval be-
2 tween the A and B is plastic and it is effectively sealing
3 off those two individual stringers so that even in the A and
4 B alone gravity drainage can work.

5 We're here because we're con-
6 cerned about soaring gas/oil ratios; about pressure drops;
7 and about trying to do something about it to stop it, and
8 we're asking you for reasonable production limits.

9 If adopted, we submit -- our
10 proposal if adopted we submit we'll benefit, not Mr. Greer,
11 Mr. Greer on one hand is cast as trying to take over the
12 area and on the other being a sales -- trying to sell his
13 interest to Sun. It's not here to benefit Mr. Greer, but
14 will benefit every interest owner in the pool, every royalty
15 interest owner, including the State of New Mexico's inter-
16 est, will be increased if more oil is ultimately produced
17 from the reservoir, and detailed economic calculations were
18 presented on this very point at the end of the hearing last
19 August. Those are in your record and if you decide you may
20 take administrative of those.

21 I hadn't intended to comment on
22 sinister business motives and things of that nature, but I
23 think a couple of points in that regard need to be addres-
24 sed.

25 We could speculate about what

1 Phelps Dodge role is coming into the hearing today, or what
2 Mr. Mallon's plans are. Perhaps Phelps Dodge is a common
3 purchaser in that area and perhaps if allowables are in-
4 creased they will take more from certain wells and perhaps
5 the pricing problems will be aggravated.

6 But the problem we have with
7 this is you're here, you're an agency that's created by sta-
8 tute. Your powers are expressly defined and limited by the
9 Oil and Gas Act, and you are not directed to protect busi-
10 ness decisions but correlative rights. You're direct to
11 protect correlative rights and prevent waste. And when you
12 depart from that and when you start trying to do something
13 to protect someone's business decision, instead of focusing
14 on the conservation issues, when you help one person you
15 harm another, and when you do that, you create uncertainty
16 and the one thing that will kill investment in New Mexico is
17 uncertainty and an unpredictable regulatory climate in which
18 to base your decisions on where you're going to invest your
19 money.

20 We submit that those are false
21 issues. Economics is a false issue and who has invested in
22 the area is a false issue. The only way that you can do
23 anything for the business community is to follow your statu-
24 tory directive and base your decisions on waste prevention
25 and the protection of correlative rights.

1 I told you at the begining of
2 the week that I did not think it would be that difficult a
3 case to decide. I submit we have met our burden of proof
4 and we are entitled to an order granting our application.

5 But I think it is also impor-
6 tant to recognize that if you rule for the Three M's, they
7 will get their big bang for the buck that Mr. Lopez talked
8 about when he opened on Monday.

9 If you rule for them and they
10 are wrong we're in the situation that Dr. Lee described as
11 Humpty Dumpty falling off the wall. You will never have an
12 opportunity as new development -- as new information deve-
13 lops and one model is seen to be preferable to another, you
14 will never have an opportunity to take the action that you
15 can take now to assure that the recovery from this pool is
16 maximized, so if you rule for them, and they are wrong, we
17 submit there will be reservoir damage; there will be reduced
18 recovery of oil, which is underground waste; there will be
19 excessive drilling perhaps, which would be surface waste;
20 and correlative rights will be impaired. As that term is
21 defined, correlative rights means affording to each interest
22 owner in a pool the opportunity to produce without waste his
23 just and fair share of the reserves, and if you grant their
24 application and they are wrong, we submit you are author-
25 izing waste.

1 If you hold for us, and we are
2 right, I am convinced that you will have met your statutory
3 directive; you will have protected correlative rights, and
4 will have prevented waste.

5 If, on the other hand, accor-
6 ding to Mr. Hueni's calculations of ultimate recovery and
7 according to ours, if you rule for us and we are wrong, they
8 may not get their big bang for the buck right now, but they
9 will get that oil and in time they will get their return on
10 their investment.

11 You have an opportunity to
12 grant the application of Benson-Montin-Greer and others, to
13 assure that this pool is operated in accordance with sound
14 conservation principals.

15 We submit we have met our bur-
16 den of proof, we're entitled to an order, and if you grant
17 our application you will carry out your statutory duties to
18 prevent waste and protect correlative rights.

19 MR. LEMAY: Thank you, Mr.
20 Carr.

21 Mr. Kellahin.

22 MR. KELLAHIN: Gentlemen, as
23 you can see, there's chaos in the barnyard. This barnyard
24 started off twenty-five years ago and there was only the
25 golden goose and Mr. Al Greer.

1 I started practicing before the
2 Commission some sixteen years ago this week. It's with some
3 reservation that I commenced on April Fool's Day back in
4 1972 and we have been through that day this week and perhaps
5 we are continuing with some of that, but we need your help.
6 the barnyard's in trouble and everybody's fighting over the
7 golden goose.

8 When the barnyard started Mr.
9 Greer was there to watch and take care of the golden goose
10 and it was laying eggs in an orderly and meaningful fashion.
11 I've known Mr. Greer for a large number of years. I have
12 great respect and admiration for his ability, for his integ-
13 rity, and I hope he won't mind if I characterize him as the
14 wise old owl in the barnyard, because I truly believe that
15 he meets that characterization.

16 As more critters came into the
17 barnyard the owl kept telling them not to kill the golden
18 goose and he has effectively protected that Mancos reservoir
19 for twenty-five years until last year when the squabble over
20 the goose became so intense that we are ready to shoot the
21 goose.

22 We're going to turn this goose
23 into a turkey that we will never recover from, Mr. Chairman.

24 We've characterized this case
25 as a matter of style. We have some of that in this case.

1 The opposition has played some
2 games with this case and there's been some gamesmanship
3 going on. We've played hide the ball, spin the wheel and
4 find the theory, but this is not a game and this is not a
5 little barnyard. This is a very serious problem.

6 We have royalty owners coming
7 forth saying we didn't know about this case. The Edwards
8 had to change counsel. They had the Hinkle firm represen-
9 ting them for two years in District Court litigation against
10 my client over the prior order, and attached to their Com-
11 plaint is the order that's in question now. They were here
12 earlier this week. I submit to you that Mr. Jordan, Mr. Pa-
13 dilla, and Mr. Gentry are farther apart from (not clearly
14 understood) in studying their legal theories on that notice
15 case than Mr. Greer and Mr. Hueni are on their analysis of
16 this reservoir.

17 I am comfortable and confident
18 that the notice requirements of this Commission have been
19 properly met. For instance, let's understand the role of a
20 royalty owner before a conservation commission in a spacing
21 case. There are no cases in New Mexico on that point. Your
22 notice rules are properly written. The notice requirements
23 are that the working interest owners and the operators
24 determine what is the appropriate spacing and special rules
25 for a reservoir. Why do they do that? Because the royalty

1 owners contracted with the working interest owners and gave
2 the lessees and the operators that obligation. Royalty
3 owners have the right to the income; they assigned the oper-
4 ating rights to the Mallons, the Greers, and the McHughs and
5 the Dugans of the world, and we are here representing their
6 interests.

7 You see their position. They
8 want more wells. They want their income now. As Mr. Carr
9 said, there are a lot of issues in this case that are not
10 important issues. The fundamental concept that you need to
11 apply to this case is the one Mr. Pearce quoted to you out
12 of the statute concerning waste. What action can you take
13 that will conserve this irreplaceable resource to maximize
14 the benefits for everyone.

15 The prior commission recognized
16 that. They said, and they heard most of this same stuff,
17 Mr. Hueni's book from the last hearing is around here some-
18 where, and it almost weighs the same. Mr. Hueni came forward
19 last August and told us, gentlemen, I have studied the
20 reservoir, it is rate sensitive.

21 He tells us today it's not.
22 He's the only engineer we have heard all week that has told
23 us it's not rate sensitive.

24 If it is not rate sensitive
25 and you can produce the reservoir at the maximum allowable,

1 then we ought to do that, but what if Mr. Hueni is wrong?
2 You can't undrill unnecessary wells and you can't put the
3 reservoir energy back in this reservoir.

4 What if you reduce the rates as
5 we requested, and were wrong? Have you made an irrevocable
6 decision that you cannot change? Certainly not. The very
7 last questions asked Dr. Lee, if the reservoir rates are re-
8 duced now and that decision turns out to be wrong, you can
9 increase those rates later after we have the factual data
10 upon which the experts can then agree, and you can increase
11 the rates if that proves correct. You've not wasted the re-
12 servoir energy. If it's not rate sensitive, then it doesn't
13 matter how long it takes you to get it out of the ground.
14 You can increase the rates later and still get the same ul-
15 timate recovery.

16 What is you make a mistake and
17 keep the rates high and Mr. Hueni is wrong? You can't fix
18 it. It's Dr. Lee's example of Humpty Dumpty falling off the
19 wall. You just can't put Humpty Dumpty back together again.

20 You certainly don't have to un-
21 derstand a lot about geology, I certainly don't, but in un-
22 derstanding and hearing the testimony of the geologists, I
23 deduced one key exhibit. That was Mr. Ellis' exhibit where
24 he took and scaled both vertically and horizontally the
25 structure map across, perpendicular to the nose of the Gavi-

1 lan from east to west. I defy you to find that dip.

2 It's like Commissioner Hum-
3 phries phrases earlier in the hearing, it's like a blanket
4 with a small roll in it. This is not a geologic case.

5 The A Zone, the B Zone, and the
6 C Zone are geologically continuous. This is one reservoir
7 when we look at it from a geological perspective.

8 This is an engineering case.
9 What do the engineers tell us?

10 Mr. Greer tells us that the A
11 and the B Zone and the C Zone are stratified. Mr. Greer
12 ought to know; he named those zones. He developed this re-
13 servoir and his theories have been tested. His theories
14 haven't changed. For years he's been telling us about this
15 reservoir. In August he put on a detailed presentation,
16 subject to test at that hearing. The prior commission adop-
17 ted those positions. It's been under test and study for the
18 last seven months. His theories are the same. He continues
19 to be correct on this order.

20 Mr. Greer has said that -- in
21 past hearings, that there was a hope, a belief, that there
22 was a permeability barrier between the two areas. Later it
23 was characterized as permeability restriction. His hope was
24 that all the work and effort he had put forth in the Gavilan
25 Mancos area, particularly in the West Puerto Chiquito Unit,

1 would not be undermined by the unruled competition going on
2 in the Gavilan area, or his work would be deleted, depleted,
3 and undermined.

4 I'm sure he wakes up at night
5 worrying about how much of the oil that he's tried to save
6 is now going to be produced out of the Gavilan. That bar-
7 rier leaks, gentlemen. Just sure as you put a pipeline on
8 the surface between the wells in the interference test and
9 tried to pump oil on the surface between the wells, it com-
10 municates on pressure pulses and interference tests just as
11 quickly. That's the kind of fracture communication you have
12 in this reservoir and it's unusual. It's unique.

13 We ask you that you help us
14 save it.

15 Mr. Lopez makes much of some
16 kind of manipulative scheme to have unitization but I will
17 ask you to ask any engineer that testified before you today,
18 ask your own engineers, ask any engineer on the street, what
19 is the ultimate objective in a reservoir in terms of its
20 operation, and that is to take the reservoir and operate it
21 as a single unit. That's accomplished normally by voluntary
22 agreement and sometimes by statutory action.

23 But it's no surprise to any
24 party here that the ultimate objective would be to operate
25 it as a single functioning unit. There's nothing inappro-

1 priate about that.

2 The parties being unable to ag-
3 ree on how to operate the pool gave rise to the last hearing
4 and I believe it was the hope of the last commission that by
5 reducing the rates it would bring the parties together to
6 work and give you a consensus on a reservoir study. It did
7 not occur. We, however, independently went out and conduc-
8 ted for you a reservoir study. That study has been presen-
9 ted to you in detail.

10 We would request of you that in
11 your deliberations, that you review certain of the engineer-
12 ing documents. Mr. Greer has fully annotated his exhibits
13 and certainly none of us have had an opportunity to look
14 through those and refresh our recollection of them. We ex-
15 pect you to do so.

16 We think it would be important
17 to re-read Mr. Hueni's summaries as well as finally looking
18 at Dr. Lee's comments upon Mr. Hueni's work.

19 I think it comes down to the
20 final choice, you will agree with me that perhaps in my own
21 simple way in understanding this reservoir, and in a matter
22 that is so complex and unusual as this case, the only error
23 that can be made is one in which you have an opportunity to
24 fix it later, and in this case the only position and where
25 you have a chance to correct that change and not adversely

1 affect ultimate recovery, is to adopt a decision for the
2 proponents.

3 Thank you for the opportunity
4 to appear before you.

5 MR. LEMAY: Thank you, Mr. Kel-
6 lahin.

7 At this time are there any ad-
8 ditional statements from the audience?

9 Yes, sir.

10 MR. BUETTNER: Mr. Chairman, no
11 more than three minutes.

12 Mr. Chairman, Members of the
13 Comission, Ladies and Gentlemen.

14 My name is Robert Buettner. I
15 am General Counsel and Secretary of Koch Exploration Com-
16 pany. Koch Exploration Company is a wholly owned subsidiary
17 of Koch Industries, Incorporated, which is headquartered in
18 Wichita, Kansas.

19 Koch Industries is the largest
20 privately owned oil company in the United States. If pub-
21 licly owned we would rank between 15 and 18 on the Fortune
22 500 with revenues in the range of \$17,000,000,000 annually.

23 Koch Exploration thus has
24 available to it huge capital resources. Since 1981 we have
25 invested those resources in the Beaufort Sea off shore Cali-

1 fornia, the Gulf Coast, and the Willison Basin. We have not
2 invested them in New Mexico.

3 Unfortunately that has been no
4 accident. Mr. Carr has alluded to the regulatory inconsis-
5 tency, which in his words, will kill investment in New Mexi-
6 co. Koch was forced to adopt what has essentially been a
7 company policy that regulatory bias in New Mexico against
8 out-of-state investors has made investment in exploration in
9 New Mexico unacceptably risky.

10 That policy resulted from a
11 series of regulatory actions instigated by Mr. Greer since
12 1980 but which Koch was prevented from drilling acreage
13 which it bought at competitive sales in the West Puerto Chi-
14 quito Gavilan boundary area. Koch was thus forced to yield
15 all but about three percent of its interest in orde to pro-
16 tect Mr. Greer's pressure maintenance unit.

17 It is significant that Koch's
18 acreage, which was only about 3000 acres, has since then
19 yielded the wells that I've marked in yellow on the maximum
20 oil rate map with the green circles on it on the -- on the
21 far wall.

22 As you can see, as I can see,
23 even, from across the room if I look closely, the best wells
24 in the Gavilan and West Puerto Chiquito area are among those
25 four wells that -- that I've marked on Koch acreage, and in

1 addition there is a fifth well on Koch acreage which Mr.
2 Carr yesterday identified as the best well in the State of
3 New Mexico.

4 Several of those wells were
5 drilled by Mallon on farmout since Koch had essentially, as
6 we said, pulled out of investing in New Mexico.

7 In other words, gentlemen, we
8 had the fresh, correct, geologic ideas. We made the invest-
9 ments and we were ready to take the risk, and New Mexico
10 gave it all to Al Greer.

11 This afternoon's disclosure
12 that the acreage which was denied to us to protect the C
13 Zone injection project, produces from the unconnected A and
14 B Zones, is particularly ironic but typical of our bitter
15 experience in New Mexico. Today we observed that Mallon has
16 suffered the same penalty for coming to New Mexico, taking
17 risks, and creating wealth.

18 Koch believes that past regula-
19 tory action resulted from a well motivated but dispropor-
20 tionate reliance on improbable claims of increased recovery
21 and unfounded alarms about waste. Frankly, others have as-
22 sumed that the action was more darkly motivated; however,
23 that, I think, is enough about the mistakes of the past as
24 Koch perceives them.

25 My purpose here is to urge this

1 new commission to be open to new ideas, to encourage
2 explorers, and to recognize that the future of New Mexico's
3 oil and gas industry lies in encouraging enterprise and
4 energy, not in chasing away investment by confiscating and
5 redistributing the fruits of hard and imaginative work.

6 We urge you to recognize that
7 statewide rule changes and megapools must be proved neces-
8 sary by their advocates. It should no longer be enough to
9 simply claim that Mr. Hueni may be wrong or if Al Greer hap-
10 pens to be right. The burden to prove the need for these
11 changes is on those who seek them.

12 To honor the paramount duty to
13 prevent waste does not require you to honor quick sketch
14 criticism or to swallow incredible plan just because they're
15 made. You can better assure the harvest of the resources of
16 the State of New Mexico by encouraging someone to come in
17 and do the work and to recognize work which is of depth and
18 quality.

19 If you affirm the statewide
20 rules and geologically based pool boundaries which Mallon,
21 Mobil, and others relied on in making their investments, you
22 encourage them that the playing field in New Mexico is
23 level. The result will be an improved investment climate in
24 New Mexico as well as the best development for the Gavilan
25 Mancos area.

1 That's my -- that concludes my
2 statement except I would like to say that I have this kind
3 of a job and I sit in on these kinds of things around the
4 country, and I have for years, and having sat through all of
5 this, I'll say one thing. Greg Hueni can engineer my oil-
6 field any time.

7 Thank you.

8 MR. LEMAY: Thank you, Mr.
9 Buettner.

10 Additional comments?

11 MR. WOOD: Yes, sir, if I may.

12 Mr. Chairman, Members of the
13 Commission, thank you.

14 My name is Alan Wood. I'm the
15 Proration Unitization Manager for Amoco Production Company,
16 Denver Region.

17 Amoco's statement of position
18 was reflected quite adequately by Mr. Pearce. I would, how-
19 ever, like to add some additional comments.

20 The initial hearing in this
21 matter was in August of 1986. Following extensive testimony
22 the Commission issued an order which restricted production
23 in the Gavilan Mancos Pool to a level which would protect
24 the reservoir from potential damage until additional reser-
25 voir tests and technical studies could be accomplished.

1 Amoco participated in that
2 hearing and in fact made a recommendation that you err on the
3 side of the prevention of waste.

4 What we need to do is to re-
5 flect on what has happened since that August hearing. The
6 operators have responded by undertaking joint and separate
7 reservoir testing and evaluation, a process which has cost
8 thousands of dollars and has involved hundreds of manhours.

9 Amoco Production Company as an
10 operator in the field has participated in this technical ef-
11 fort. Unfortunately, as indicated in the last four days,
12 the various operators have not been able to reconcile their
13 technical differences.

14 In our letter of March 20th,
15 1987, we stated our position on the substantive issues which
16 are now before you. For the sake of brevity I do not wish
17 to reiterate the contents of that letter but would request
18 it be made part of the record.

19 These positions reflected our
20 technical opinions on the Gavilan Mancos Pool at that time.

21 With regard to Case Number 4946
22 and 4950, our letter of March 20th, 1987, stated that as of
23 that date the available data was inconclusive as to whether
24 the reservoir is rate sensitive and as to whether there is
25 secondary potential.

1 Subsequent to that letter we
2 have had the opportunity to review the completed Bergeson
3 and Associates report, as well as listening to the testimony
4 presented during this hearing.

5 It is our opinion that the Gav-
6 ilan Mancos Pool is not rate sensitive at the rates which
7 are achievable under the application of the 320-acre state-
8 wide allowable, nor at this time is there any immediate need
9 to implement secondary recovery operations.

10 It is therefore our position
11 that the production restrictions be vacated and the field be
12 returned to primary operations.

13 Unfortunately, we may never
14 know the correct answer for the Gavilan Mancos Pool. I
15 would point out a statement that Dr. Lee made, that in order
16 to fully understand this reservoir a field-wide reservoir
17 stimulation would have to be developed -- excuse me, simula-
18 tion, a project that would be prohibitively expensive.

19 Thank you.

20 MR. LEMAY: Thank you, Mr.
21 Wood.

22 Any additional comments or
23 statements?

24 Well, I think my fellow -- Mr.
25 Kellahin.

1 MR. KELLAHIN: May parties par-
2 ticipating have an opportunity to submit proposed orders to
3 the Commission?

4 MR. LEMAY: We talked about
5 that. I think the testimony that we've heard is going to
6 take some time to look at and to go through. I think we
7 have some competent staff and ourselves are competent enough
8 to produce the findings and the orders and we will do that
9 on the basis of the record.

10 I know it's been a policy in
11 the past at times that counsel was requested to submit pro-
12 posed orders. At this particular hearing we're not request-
13 ing it.

14 I just want to say I think my
15 fellow Commissioners share my view that we've heard very
16 professional testimony over the last five days from all par-
17 ties involved. The issues aren't simple and it's going to
18 take some time to review them and come up with some conclu-
19 sions.

20 We hope to do this in a thirty
21 day timeframe. I can say that during this period of time
22 the staffs of the Land Department and Energy and Minerals,
23 who have been here throughout the hearing, will be working
24 on what Mr. Kellahin referred to as draft orders, draft fin-
25 dings, mainly. These findings will come from various

1 sources and reflect various viewpoints of uninterested par-
2 ties. We plan to look at this and the record and after
3 quite a bit of deliberation come up with an order for these
4 fields.

5 I want to thank everyone that's
6 been involved in the hearing and if there's nothing -- Mr.
7 Carr.

8 MR. CARR: May it please the
9 Commission, at this time I'd request that the next two cases
10 on the docket be continued and readvertised and scheduled at
11 a later date. They're applications for Benson-Montin-Greer,
12 and we would request that they be rescheduled following the
13 entry of an order in this matter.

14 MR. LEMAY: Thank you. Is
15 there any objection to that request?

16 If none, then that request is
17 noted and it will be followed.

18 At this point I'll see if there
19 is anything else my fellow Commissioners would like to say
20 in regard to the last five days.

21 Well, we've enjoyed it. Thank
22 you. This case will be taken under advisement.

23

24

(Hearing concluded.)

25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY CERTIFY the foregoing Transcript of Hearing before the Oil Conservation Division (Commission) was reported by me; that the said transcript is a full, true, and correct record of this portion of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR