

STATE OF NEW MEXICO
ENERGY AND MINERALS DEPARTMENT
OIL CONSERVATION DIVISION
STATE LAND OFFICE BLDG.
SANTA FE, NEW MEXICO

12 August 1987

EXAMINER HEARING

IN THE MATTER OF:

Application of Conoco, Inc., for an CASE
unorthodox oil well location, 9193
McKinley County, New Mexico.

BEFORE: Michael E. Stogner, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Division: Jeff Taylor
Attorney at Law
Legal Counsel to the Division
State Land Office Bldg.
Santa Fe, New Mexico 87501

For the Applicant: W. Thomas Kellahin
Attorney at Law
KELLAHIN, KELLAHIN & AUBREY
P. O. Box 2265

I N D E X

NANCY HUDSON

Direct Examination by Mr. Kellahin 4

Cross Examination by Mr. Stogner 8

JOHN M. KIRKPATRICK

Direct Examination by Mr. Kellahin 9

Cross Examination by Mr. Stogner 21

E X H I B I T S

Conoco Exhibit One, C-102 5

Conoco Exhibit Two, Land Plat 6

Conoco Exhibit Three, Land Plat 7

Conoco Exhibit Four, Letter 7

Conoco Exhibit Five, Time Map 10

Conoco Exhibit Six, Excerpt 14

Conoco Exhibit Seven, Seismic Display 14

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. STOGNER: Call next Case
Number 9193.

MR. TAYLOR: Application of
Conoco, Inc., for an unorthodox oil well location, McKinley
County, New Mexico.

MR. STOGNER: Call for appear-
ances.

MR. KELLAHIN: Tom Kellahin of
Santa Fe, appearing on behalf of Conoco.

We are still putting together
exhibits and would request that we delay this case for a few
more minutes.

MR. STOGNER: Okay, we will do
that.

(Thereupon other cases were heard and then
Case 9193 was continued, as follows:)

MR. STOGNER: Okay, we'll go
back to the Case Number 9193, which was previously called
and Mr. Kellahin entered an appearance.

The witness may be sworn in.

(Witness sworn.)

1 MR. STOGNER: Mr. Kellahin.

2
3 NANCY HUDSON,
4 being called as a witness and being duly sworn upon her
5 oath, testified as follows, to-wit:

6
7 DIRECT EXAMINATION

8 BY MR. KELLAHIN:

9 Q Ms. Hudson, would you please state your
10 name?

11 A My name is Nancy Hudson.

12 Q And your last name is H-U-D-S-O-N.

13 A Yes.

14 Q Would you state by whom you're employed
15 and in what capacity?

16 A I'm a landman for Conoco, Inc.

17 Q Have you previously testified before the
18 Division?

19 A No, I haven't.

20 Q Would you describe your employment exper-
21 ience with Conoco as a petroleum landman?

22 A I began with Conoco in 1980/81 but didn't
23 become a landman until 1982, and have worked the New Mexico
24 area since 1985.

25 Q What is Conoco seeking to accomplish with

1 this application?

2 A We're seeking approval for an unorthodox
3 location for our CSF Ruby Well No. 1.

4 Q What has been your involvement with the
5 land matters for this particular well?

6 A I originally negotiated the agreement
7 with Santa Fe Energy, who has the agreement with Cerrillos
8 Land Company, who owns the oil and gas rights.

9 Q You're familiar with the ownership of the
10 oil and gas minerals for this tract and for the adjoining
11 40-acre spacing tracts?

12 A Yes.

13 MR. EXAMINER, At this time we
14 would tender Ms. Hudson as an expert petroleum landman.

15 MR. STOGNER: Ms. Hudson is so
16 qualified.

17 Q Let me direct your attention to Exhibit
18 Number One. Would you identify that exhibit for me?

19 A It's a Form C-102, Well Location and
20 Acreage Dedication Plat.

21 Q And what does it show?

22 A The red outline shows the 40 acres we
23 wish to be dedicated to the well and the dot is the
24 unorthodox location.

25 Q What would be a standard location for an

1 oil well at this depth spaced on 40 acres?

2 A 330 from the entire quarter quarter line.

3 Q And what is the location for this well?

4 A It is 1720 from the west line and 1390
5 from the north line.

6 Q Do you know how close you are to the end
7 of the boundary line on the north side of the unit?

8 A 70 feet.

9 Q Let me direct your attention to Exhibit
10 Number Two and have you identify that.

11 A That is a PI POMCO land plat.

12 Q And what does it show?

13 A It shows the proposed location and two of
14 the wells drilled in the section.

15 Q Let's look at Section 9 and the two wells
16 in that section. What do you know about those wells?

17 A Neither one of them penetrated the Entra-
18 da formation.

19 Q Do you know whether or not there are any
20 existing producing Entrada wells indicated on this map?

21 A No, there aren't.

22 Q This is a wildcat well drilled on state-
23 wide rules --

24 A The proposed --

25 Q -- except for the location?

1 A -- well?

2 Q Yes, ma'am.

3 A Yes, uh-huh.

4 Q Let's -- let's turn to Exhibit Number
5 Three, now, Ms. Hudson, and would you again identify that
6 exhibit?

7 A It's another POMCO PI land plat.

8 Q Okay, and what does this exhibit show?

9 A The blue outline shows all the offsetting
10 acreage for the proposed 40-acre unit and the red outline
11 shows the unit proposed to be dedicated to the well.

12 Q Who is the surface owner of the location
13 where the well is to be drilled?

14 A Chaco Energy.

15 Q And who is in each instance the offset
16 operator for the 40-acre spacing units around the proposed
17 spacing unit?

18 A Cerrillos Land Company.

19 Q Let me turn to Exhibit Number Four now.
20 Has Conoco taken the necessary steps to notify the offset-
21 ting operators or mineral owners of the proposed unorthodox
22 location?

23 A Yes, we have.

24 Q And have you obtained a waiver from that
25 individual or company?

1 A Yes, we have.

2 Q And what is Exhibit Number Four?

3 A Exhibit Number Four is a letter from
4 Conoco to Cerrillos Land Company requesting they waive any
5 objections to this unorthodox location.

6 MR. KELLAHIN: That concludes
7 my examination of Ms. Hudson, Mr. Examiner. Our next wit-
8 ness is a geophysicist and he will talk to you about the
9 specifics of the unorthodox location.

10

11 CROSS EXAMINATION

12 BY MR. STOGNER:

13 Q Ms. Hudson, I see that you sent the car-
14 bon copy of this off to Mr. Duke Roach with Santa Fe Energy?

15 A Yes. Santa Fe Energy and Cerrillos Land
16 Company are both subsidiaries of Santa Fe Southern Pacific
17 and Santa Fe Energy has an agreement with Cerrillos Land
18 Company for the development of the oil and gas.

19 Q How deep is the well? You're going to
20 have a geologist for a next witness?

21 MR. KELLAHIN: Yes, sir.

22 MR. STOGNER: Okay, I'll strike
23 that question.

24 I have no further questions of
25 Ms. Hudson. She may be excused.

1 Mr. Kellahin.

2 MR. TAYLOR: Has this witness
3 been sworn?

4 MR. KELLAHIN: No, sir, would
5 you do so for me?

6
7 (Witness sworn.)

8
9 MR. KELLAHIN: Mr. Kirkpat-
10 rick's exhibits are three. There's Exhibit Five, Six, and
11 Seven. I'll make sure that you have them all.

12
13 JOHN M. KIRKPATRICK,
14 being called as a witness and being duly sworn upon his
15 oath, testified as follows, to-wit:

16
17 DIRECT EXAMINATION

18 BY MR. KELLAHIN:

19 Q All right, sir, Mr. Kirkpatrick, would
20 you please state your name?

21 A John Michael Kirkpatrick.

22 Q And, Mr. Kirkpatrick, how are you
23 employed and in what capacity?

24 A I am a geophysicist for Conoco, Incorporated.
25

1 Q Have you previously testified as geophys-
2 icist before the Division?

3 A No, I have not.

4 Q Would you describe for the Examiner what
5 degrees you have and when and where you obtained them?

6 A I have a degree in geophysical
7 engineering which I obtained in 1984.

8 Q From what --

9 A Bachelor of Science from Colorado School
10 of Mines.

11 Q Subsequent to graduation, would you
12 summarize your employment experience as a geophysicist?

13 A With Conoco I have been working with a
14 geophysicist from -- with them since 1984. I have worked
15 East Texas and New Mexico.

16 Q Have you made a geophysical study of the
17 proposed unorthodox location that Conoco seeks from the
18 Division in Case 9193?

19 A Yes, I have.

20 MR. KELLAHIN: We tender Mr.
21 Kirkpatrick as an expert geophysicist.

22 MR. STOGNER: Mr. Kirkpatrick
23 is so qualified.

24 Q Mr. Kirkpatrick, let me direct you to
25 Exhibit Number Five and have you identify that exhibit for

1 us.

2 A Exhibit Number Five is an Entrada struc-
3 ture map over the prospect area. It is a time map that is
4 contoured on the top of the Entrada, Jurassic Entrada inter-
5 val.

6 Q Would you describe for us some of the
7 geology that you have determined exists for this prospect
8 within this section? I believe we're dealing with Section
9 16.

10 A Section 9.

11 Q Section 9. Describe in a general way for
12 the Examiner the Entrada and the type of Entrada structure
13 and production you're attempting to encounter in this sec-
14 tion.

15 A The Entrada in this area is an Aolian
16 sand. It's a thick sand and on top of that sand, which is a
17 windblown deposited sand, is the Todilto Limestone. The To-
18 dilto Limestone is a lacustrine or fresh water limestone
19 that was deposited from a fresh water lake that covers these
20 dunes, sand dunes.

21 What we are particularly looking for in
22 this area as a trap is the paleo dune in the Entrada and
23 specifically what we look for is four criteria: One is
24 structural closure on the Entrada. The second one is a
25 thick Entrada section, which is showing us that we are on a

1 dune. The third one is a thin Todilto because while the To-
2 dilto was being deposited on top of these dunes, the dunes
3 were paleo highs or structures of deposition, and so a thin
4 Todilto section was deposited on the top while off to the
5 sides there was a thick Todilto section.

6 MR. STOGNER: Okay. How do you
7 spell Todilto?

8 A Todilto is spelled T-O-D-I-L-T-O.

9 Q What's your fourth criteria?

10 A And the fourth criterion is a seismic
11 dimout, which is a result of the thinning Todilto section,
12 which is a high velocity section, and so geophysical parame-
13 ters.

14 Q Describe, if you will again, what you
15 mean by the phrase "dimout".

16 A In a seismic section where you have peaks
17 and troughs are the two main components of the trace which
18 you are looking at, we look for a decrease in amplitude in
19 the peak on a Todilto event on the seismic section.

20 Q Have you found a location in Section 9
21 that satisfies your four criteria for locating a well to
22 penetrate the Entrada?

23 A On Exhibit five there is a red arrow
24 which is pointing towards our preferred location, which is
25 at -- located at shot point 80 of Line 372686.

1 Q Shot point 80 is going to be the line
2 that runs from the northwest corner of Section 9 to the ap-
3 proximate southeast corner of 9?

4 A Correct.

5 Q On that line, then, have you located a
6 location that meets your four criteria?

7 A Yes. On that line I have located a posi-
8 tion that is where the red arrow is pointing on Exhibit
9 Five.

10 Q Okay and that turns out to be the unor-
11 thodox location that Ms. Hudson described earlier.

12 A That is correct.

13 Q You've got a lot of information on the
14 exhibit here, Mr. Kirkpatrick. Let me have you help me un-
15 derstand what you've shown.

16 In addition to shot line 80 there are
17 several other seismic lines on the exhibit, are there not?

18 A Yes, there are.

19 Q Let's have you take a moment and describe
20 the type of data that you have analyzed, the type of seismic
21 data that you've analyzed in order to pick this location.

22 A All of the data on this map is modern CDP
23 multifold high frequency data.

24 The two major lines crossing the pros-
25 pect, which are Line 372686 and I believe the other one is

1 372686, are lines shot during 1986 by Conoco and they're
2 multifold CDP data of high frequency.

3 Let's come back to this exhibit but I'd
4 like to go and have you discuss Exhibits Six and Seven for
5 us, and then we'll come back to Exhibit Number Five.

6 Let me direct your attention first of all
7 to Exhibit Number Six, Mr. Kirkpatrick, and have you identi-
8 fy and describe this exhibit.

9 A This exhibit is taken out of an article
10 from the AAPG Magazine, which is a prominent magazine in pe-
11 troleum exploration.

12 It is an article about the Entrada sand-
13 stone in the San Juan Basin and is looking at the very simi-
14 lar trap as to what we are seeing at our proposed location
15 for the Ruby Wells -- well.

16 Q Can you identify the number or the date
17 of the bulletin or magazine?

18 A The bulletin was from December, 1981.

19 Q Within that article you have highlighted
20 certain information. Would you discuss that for us and tell
21 us the significance that you attribute to that information
22 insofar as it regards your pick of this unorthodox location?

23 A The key points in this display is it's an
24 ideal example of how a lack of data over one of the Entrada
25 dunes could be very devastating in drilling a well because

1 being off the crest of the dune a very small distance could
2 provide you with a dry hole versus a producer.

3 I've underlined two sections on the
4 written material underneath the page. I'd like to read
5 those.

6 The first sentence is, "That rapid
7 variations in the topographic relief on the top of the
8 Entrada highs in a curve was established at Eagle Mesa by
9 the drilling of the 12-1-A Well, located only 225 feet north
10 of the discovery well for the field."

11 If you'll look to the cross section which
12 is Figure 20 on the top righthand side of the page you can
13 see the producing well at Eagle Mesa Field, which is shown
14 as the 12-1 Well and located directly to the left is the dry
15 hole which is 225 feet to the north, the 12-1-A Well.

16 The second sentence reads, in the
17 article, "Had this well" -- referring to the 12-1-A --
18 "rather than the original 12-1 Well been the first test
19 drilled at Eagle Mesa, the field might never have been
20 developed."

21 And as you can see from the cross
22 section, that very small amount of difference caused the 12-
23 1-A to be dry hole, which we are trying to avoid in our Ruby
24 Wells prospect.

25 Q Let me direct your attention to Exhibit

1 Number Seven, which is the seismic display.

2 Let's take Exhibit Number Seven, and
3 first of all have you simply identify this exhibit for me.

4 A This exhibit is Line 372686, which
5 crosses the Ruby Wells prospect.

6 It is the northwest/southeast trending
7 line which we looked at on Exhibit Five.

8 What this shows is the proposed location
9 which is marked at shot point 80 on the seismic line.

10 Q How is it identified on the display?

11 A On my display it is an orange line with a
12 dot at the top of it.

13 Q Okay. Running vertically on the display.

14 A Running vertically on the display.

15 Q This represents what you anticipate to
16 encounter at this well location as you go through the Hos-
17 pah, the Dakota, and finally into the Entrada?

18 A That is correct.

19 Q Would you identify now for us how you
20 have shaded and identified the Hospah?

21 A The Hospah is shown in the brown color,
22 which is a Cretaceous unit.

23 Q And the Dakota, how you have identified
24 that?

25 A The Dakota is a Cretaceous formation and

1 is shown in orange.

2 Q Okay, and then finally, the Entrada.

3 A The Entrada is shown in yellow and it is
4 a Jurassic age formation.

5 Q Let's take the Entrada and have you use
6 this display and either starting on the far left or the far
7 right, you pick the direction you'd like to go, and have you
8 describe for us what's occurring as we go through the dis-
9 play in the Entrada interval.

10 A If you refer to the far right of the dis-
11 play you'll see two arrows, one pointing to the top of the
12 Entrada and the second arrow pointing to the base of the En-
13 trada.

14 These are the two arrows which we have
15 tied in to synthetic control in the area as being the top
16 and bottom of the Entrada formation.

17 As you follow the yellow color, which is
18 signifying the Entrada sand, to the left, at roughly shot
19 point 88 we see a thickening of the Entrada sand. This to
20 us implies that we are moving onto a dune.

21 You'll also notice that the peak drift
22 located directly above the yellow color is dimming out. Its
23 amplitude is decreasing and that is a result of the thinning
24 Todilto limestone and anhydrite over the Entrada dune.

25 So we have that peak directly above the

1 yellow as we go past -- it disappears right at about shot
2 point 92. As we travel to the left again we start seeing a
3 double peak in the yellow, a new peak appearing there, which
4 is because we're going above the resolution of the seismic
5 of the Entrada and we are now actually seeing the top of the
6 sand and the bottom of the sand where before we were only
7 seeing the bottom of the sand as a seismic event.

8 Again we have no Todilto peak and as we
9 travel over to shot point in the area of 61, we start seeing
10 the Todilto peak returning directly above the yellow
11 coloring and we see the thinning of the Entrada as we travel
12 to the northwest or left on this display.

13 Q Let's go back to your Exhibit Number
14 Five. On Exhibit Number Five in the areas adjacent to the
15 unorthodox location there are four black dots. What do
16 those dots represent?

17 A Those four black dots are the standard
18 drilling locations.

19 Q Let's go through each of those locations
20 and have you describe for the Examiner how each one fails to
21 satisfy your four criteria in determining the best location
22 for drilling the Entrada well, and you can start wherever
23 you like, just help us find where you start.

24 A I would like to use Exhibit Number Seven
25 and Exhibit Number Five, the seismic line and the structure

1 map at the same time.

2 Q All right.

3 A To show you the locations on this map.

4 First of all, I would also like to state,
5 one of the problems that we have in the Entrada is while we
6 may have a structural closure, that does not mean the dune
7 is sitting on top of the structure. The dune can be off to
8 the side. It can be in a low. The dune can be any place on
9 that structure. So that's in the four criteria, identifying
10 where the dune is in relationship to the structure. So you
11 do not always want to be exactly on the top of the struc-
12 ture. You want to be on the highest point of the structure
13 and also in the dune.

14 Looking at the four locations, if we move
15 to the location directly north of the red arrow, or our pro-
16 posed location, so it would be the northeast standard loca-
17 tion, that projects into seismic line 372686 at approximate-
18 ly shot point 75.

19 The problem with that location is, number
20 one, it is off the seismic line so we have no structural
21 control, and number two, we are down dip from our proposed
22 location.

23 If we move to the northwest standard lo-
24 cation, again we are off of any control points or off of the
25 seismic line, and we are also down dip from our proposed lo-

1 cation.

2 If we move to the location directly south
3 of our proposed location, or the southeast standard
4 location, that projects into the seismic line at
5 approximately shot point 83 and that one is approaching the
6 edge of the dune. We feel that that one, although it's in a
7 favorable structural position, referring to the cross
8 section that I showed you earlier, it may possibly be off of
9 the Entrada paleo dune and is not in as preferable location
10 as show point 80.

11 Going to the standard location to the
12 north -- excuse me, southwest of the proposed location, that
13 would -- is on a different seismic line but again it is off
14 of the Entrada dune anomaly.

15 And so the only location that puts all
16 four of our criterion -- satisfies all four of our criteria,
17 is our proposed location.

18 Q Were Exhibits Five and Seven prepared by
19 you or compiled under your direction and supervision?

20 A Yes, they were. I checked them over.

21 Q To the best of your knowledge they're
22 accurate and correct?

23 A Yes.

24 MR. KELLAHIN: That concludes
25 my examination of Mr. Kirkpatrick. We would move the intro-

1 duction of Conoco Exhibits One through Seven.

2 MR. STOGNER: Exhibits One
3 through Seven will be admitted into evidence.

4

5 CROSS EXAMINATION

6 BY MR. STOGNER:

7 Q Mr. Kirkpatrick, whenever I refer to Ex-
8 hibit Number Seven, so I can sort of get a depth idea, what
9 is -- what are we talking about the depth of the Entrada and
10 the base of the Entrada? About what depth are we talking
11 about?

12 A I am estimating that the top of the En-
13 trada will be encountered at 4150 feet.

14 Q So none of the wells -- what are the --
15 is there any wells around this area that are in that peak?

16 A The closest well that penetrates the En-
17 trada is approximately 7 miles to the northwest.

18 Q Okay, now was that an oil test or a ura-
19 nium test?

20 A That was an oil test.

21 Q Okay, how about any uranium test?

22 A Not that I am aware of.

23 Q I'd like to refer to Exhibit Number Six
24 and the picture of the cross section in Figure 20 on that
25 page up in the upper righthand corner. Is that the kind of

1 anomaly in which you're describing here with your Exhibit
2 Five and Seven today?

3 A It's a similar type anomaly, yes, sir.

4 Q Okay.

5 A One problem which shows on that cross
6 section in locating your first location, is the tilted oil-
7 water contact in the Entrada.

8 We originally thought that we could go in
9 and find out what the tilted oil/water contacts were in the
10 six producing fields in the area and use that as an additional
11 criteria for locating our well, but as it turned out, the
12 oil/water contacts were all tilting in different directions
13 in each field. There was no one preferred direction to that
14 oil/water contact.

15 Q What does that kind of tell you about the
16 dunes?

17 A It doesn't really tell you anything about
18 the dune. What's controlling that is the waterflow through
19 the Entrada. It's telling you the water is not all flowing
20 in one direction in the Entrada.

21 Q Okay.

22 MR. STOGNER: Well, I have no
23 further questions of this witness.

24 Is there anything further in
25

1 Case Number 9193 at this time?

2 MR. KELLAHIN: No, sir.

3 MR. STOGNER: If nobody else
4 has anything further in this case, this case will be taken
5 under advisement.

6

7 (Hearing concluded.)

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY
CERTIFY that the foregoing Transcript of Hearing before the
Oil Conservation Division (Commission) was reported by me;
that the said transcript is a full, true, and correct record
of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 9193
heard by me on 12/14/87 1987.
Michael R. Rogers, Examiner
Oil Conservation Division