

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION  
STATE LAND OFFICE BUILDING  
SANTA FE, NEW MEXICO

<sup>21</sup>  
~~19~~ April 1988

COMMISSION HEARING

IN THE MATTER OF:

Application of Mobil Producing Texas CASE  
& New Mexico, Inc. for salt water dis- 9337  
posal, Lea County, New Mexico.

BEFORE: William J. Lemay, Chairman  
Erling Prostuen, Commissioner  
William M. Humphries, Commissioner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Division: Charles E. Roybal  
Legal Counsel for the Division  
Oil Conservation Division  
State Land Office Building  
Santa Fe, New Mexico 87501

For the Applicant: W. Perry Pearce  
Attorney at Law  
MONTGOMERY & ANDREWS P.A.  
P. O. Box 2307  
Santa Fe, New Mexico 87504

For Snyder Ranches: J. W. Neal  
Attorney at Law  
NEAL & NEAL  
116 North Turner  
Hobbs, New Mexico 88240

# A P P E A R A N C E S

For Snyder Ranches: Michael R. Comeau  
 Attorney at Law  
 STEPHENSON, CARPENTER, CROUT &  
 OLMSTED  
 Post Office Box 669  
 Santa Fe, New Mexico 87501

## I N D E X

### PATRICK J. WHELAN

Direct Examination by Mr. Pearce	7
Cross Examination by Mr. Neal	23
Redirect Examination by Mr. Pearce	36
Questions by Mr. Lemay	39
Questions by Mr. Brostuen	43
Recross Examination by Mr. Neal	44

### C. J. HAMNER

Direct Examination by Mr. Pearce	46
Cross Examination by Mr. Neal	61
Redirect Examination by Mr. Pearce	75
Questions by Mr. Brostuen	76
Questions by Mr. Lemay	79
Recross Examination by Mr. Neal	82
Redirect Examination by Mr. Pearce	83
Recross by Mr. Neal	84

## I N D E X CONT'D

## LARRY SQUIRES

Direct Examination by Mr. Neal	86
Cross Examination by Mr. Pearce	90
Redirect Examination by Mr. Neal	95
Recross Examination by Mr. Pearce	96
Questions by Mr. Brostuen	97

## JOHN W. SHOMAKER

Direct Examination by Mr. Comeau	99
Cross Examination by Mr. Pearce	103
Redirect Examiantion by Mr. Comeau	109

STATEMENT BY MR. PEARCE	111
-------------------------	-----

STATEMENT BY MR. NEAL	114
-----------------------	-----

## E X H I B I T S

1		
2		
3		
4	Mobil Exhibit One, Structure Map	9
5	Mobil Exhibit Two, Cross Section A-A'	10
6	Mobil Exhibit Three, Cross Section B-B'	12
7	Mobil Exhibit Four, Seismic Line	14
8	Mobil Exhibit Five, Document	17
9	Mobil Exhibit Six, Log	17
10	Mobil Exhibit Seven, Schematic	20
11	Mobil Exhibit Eight, Display	47
12	Mobil Exhibit Nine, SWD Application	49
13	Mobil Exhibit Ten, Logs	56
14	Mobil Exhibit Eleven, Summary	58

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MR. LEMAY: Case Number 9337.

MR. ROYBAL: Case Number 9337.

Application of Mobil Producing Texas & New Mexico, Inc., for  
salt water disposal, Lea County, New Mexico.

MR. LEMAY: Appearances in Case  
Number 9337.

MR. PEARCE: May it please the  
Commission, I am W. Perry Pearce of the law firm of Mont-  
gomery & Andrews, appearing in this matter on behalf of Mo-  
bil Producing Texas & New Mexico, Inc.

Mr. Chairman, I have two wit-  
nesses who will need to be sworn.

MR. LEMAY: Thank you, Mr.  
Pearce.

Just a general idea timewise?

MR. PEARCE: I think I can do  
my direct in under an hour, Mr. Chairman.

MR. LEMAY: Thank you.

Additional appearances?

MR. NEAL: If the Commission  
please, I'd like to enter an appearance of J. W. Neal, firm  
of Neal & Neal, Box 276, Hobbs, New Mexico; and Mr. Michael  
Comeau, from Santa Fe, New Mexico, protesting the applica-  
tion on behalf of Snyder Ranches, Inc.

1 We have two witnesses and I  
2 would anticipate thirty minutes (not clearly audible.)

3 MR. LEMAY: Thank you, Mr. Neal.  
4 Additional appearances in Case  
5 Number 9355.

6 If there are no additional ap-  
7 pearances, will the witnesses please stand and be sworn in?

8  
9 (Witnesses sworn.)

10  
11 MR. LEMAY: The witnesses may  
12 be seated.

13 Are you going to go through  
14 opening and closing remarks or just put on the case?

15 MR. PEARCE: I think we can  
16 just proceed, Mr. Chairman.

17 MR. LEMAY: Proceed, Mr. Pearce.

18 MR. PEARCE: Thank you, sir.

19  
20 PATRICK J. WHELAN,  
21 being called as a witness and being duly sworn upon his  
22 oath, testified as follows, to-wit:

23

24

25

## DIRECT EXAMINATION

BY MR. PEARCE:

Q For the record would you please state your name and your employer?

A My name is Patrick Joseph Whelan. I work for Mobil Oil.

Q And what is your -- what are your duties with Mobil, Mr. Whelan?

A At present I'm a production geologist working the North Vacuum Field Area, southeast New Mexico.

Q Mr. Whelan, have you testified before the New Mexico Oil Conservation Commission or one of its Division examiners previously?

A No, I haven't.

Q All right, sir, for the Commission and those in attendance, would you please briefly review your educational and work experience for us?

A I have a Bachelor of Arts in geology from Trinity University in San Antonio, which I received in 1977.

I have a Master of Science in geology, which I received from East Texas State University in 1981.

I also minored in computer science with an emphasis in geophysics.

I was hired as a geophysicist by Superior Oil Company in 1980. I was an interpretation geophysicist

1 for four years before being hired by Mobil in the takeover  
2 in 1984, at which point I became a Regional Geologist, work-  
3 ing the entire Permian Basin, looking for play types, new  
4 play types, and how to find oil and gas.

5 Also of late I've worked, beginning in  
6 January, the southeast New Mexico area as a geologist and a  
7 geophysicist, continuing an area that I've worked off and on  
8 for the past eight years.

9 Q Mr. Whelan, do I understand correctly  
10 that during your employment with Superior as an interpreta-  
11 tional geophysicist, your main area of emphasis was the Per-  
12 mian Basin and southeast New Mexico?

13 A That is correct.

14 Q And is it fair to say that an interpreta-  
15 tional geophysicist is responsible for interpreting seismic  
16 data?

17 A That is correct.

18 Q Mr. Whelan, are you familiar with why  
19 we're here this morning?

20 A Yes, I am.

21 Q Give us a two-sentence summary of what  
22 Mobil seeks, if you would, please?

23 A What we're attempting to do is to use an  
24 old, operated Mobil well, which has been temporarily aban-  
25 doned to dispose salt water into it.

1 Q What zone are you proposing?

2 A To dispose of it in the Siluro-Devonian  
3 interval.

4 MR. PEARCE: Mr. Chairman, at  
5 this time I would tender Mr. Whelan as an expert in the  
6 field of petroleum geology.

7 MR. LEMAY: His experience and  
8 record are acceptable. His qualifications are accepted.

9 Q All right. Mr. Whelan, at this time, and  
10 I -- we may have a little trouble, Mr. Chairman, because of  
11 the distance, we're going to be hanging a set of exhibits.  
12 We have sets for each of the Commissioners, although I must  
13 warn you that only the set that I handed to the Chairman are  
14 colored and it may be, if you open a set, that will be the  
15 easiest set to work off of.

16 MR. PEARCE: I apologize to the  
17 Commission for the slight delay.

18 Q I would ask you to approach what we have  
19 marked as Mobil Exhibit One for this proceeding and I would  
20 ask you to describe for the Commission and those in  
21 attendance what's reflected on that exhibit.

22 A Exhibit Number One is a Siluro-Devonian  
23 structure map in the mentioned area of the salt water  
24 disposal well.

25 It's contoured on top of the Siluro-

1 Devonian carbonate which is present throughout this particu-  
2 lar area.

3 On it I've also noted two cross sections;  
4 B-B', which extends southwest/northeast; and A-A', which ex-  
5 tends southeast/northwest.

6 Also on here I have colored in yellow,  
7 most of these extending northwest/southeast across the area,  
8 a seismic line which I'll be showing later, with the shot  
9 points noted.

10 On the bottom I have a legend. The cir-  
11 cles are Siluro-Devonian penetrations. The dark colored  
12 spots are two salt water disposal wells that we know in the  
13 area, and the green represents the approximate oil/water  
14 contact of the South Vacuum Devonian Field, the Mid-Vacuum  
15 Siluro-Devonian Field, and the Reeves Siluro-Devonian Field,  
16 as we know them to exist at the time of their discovery.

17 Q For clarification, Mr Whelan, is there an  
18 identifiable marker which you utilized to construct this  
19 structure map?

20 A Yes. I'll be showing it later in my  
21 cross sections, at the base of the Woodford shale is a very  
22 distinct marker at the top of the Siluro-Devonian, which  
23 I've picked and used to make this map.

24 Q All right, sir, at this time let's turn  
25 quickly to what we have marked as Exhibit Two to this pro-

1 ceeding.

2 All right, Mr. Whelan, what's reflected  
3 on Exhibit Two, please?

4 A Exhibit Two is cross section A-A', which  
5 I noted on my structure map here, trending southeast to  
6 northwest across the South Vacuum Field area.

7 What we've done is depict all of the ori-  
8 ginal -- some of the original producing wells to make this  
9 cross section. It is a structure section showing the struc-  
10 ture as it exists today.

11 The units that I've outlined in color  
12 here are in blue, the Mississippian limestone; in brown, the  
13 Woodford Shale; and at the base of that brown is the Siluro-  
14 Devonian carbonate.

15 Also, approximately right here, you have  
16 the Mobil --

17 Q Mr. Whelan, for the record, when you --  
18 the log you're indicating right now is the third log from  
19 the righthand side of that cross section, is that correct?

20 A That's correct.

21 Q Okay, thank you.

22 A That is the Mobil State 27-2. This is  
23 the well that we propose for a salt water disposal well.

24 It TD'ed at 13,700 feet. I've outlined  
25 on your cross sections the open hole interval as it exists

1 today. The top of it is at the base of the casing.

2 Also on here I've noted with an arrow  
3 where we believe the -- based on engineering analysis -- the  
4 fluid is being taken.

5 Also at the top of the Siluro-Devonian I  
6 have the original perforations noted where these wells were  
7 completed in the Siluro-Devonian interval.

8 Q Anything else you'd like to point out  
9 about that exhibit, to us, Mr. Whelan?

10 A Just one other thing. The only other  
11 production in the area on this field is from the Bone Spring  
12 interval at the top and there were a number of wells com-  
13 pleted from that.

14 Q Okay. At this time let's quickly hang  
15 what we've marked as Exhibit Three to this proceeding.

16 All right, Mr. Whelan, at this time would  
17 you please address your comments to Exhibit Three, the B-B'  
18 cross section, and highlight for the Commissioners and those  
19 in attendance the more important features reflected on that  
20 exhibit?

21 A Cross section B-B' as shown here on the  
22 structure map, extends from southwest to northeast across  
23 this area.

24 In the northeast side of it, towards B',  
25 I begin with the Reeves Field, into the Siluro-Devonian

1 Field here. We move to the west and we pickup the South  
2 Vacuum Field, which I've noted here at the top.

3 The particular point I want to emphasize  
4 about this is the fault-bounded nature of the field; that  
5 running northwest/southeast throughout the study area I have  
6 a fault which I have noted here; separated the South Vacuum  
7 Field, which is a fault-bounded anticline, from this lower  
8 area here, as I've noted it.

9 Q When you say the lower area here, that is  
10 an area to the northeast of the South Vacuum, is that cor-  
11 rect?

12 A That's correct.

13 Q All right. Okay. The well in the Reeves  
14 Field is the well to the far right on that cross section, is  
15 that correct?

16 A That is correct.

17 Q And I notice that the well third from the  
18 left on this cross section appears to be the log of the pro-  
19 posed disposal well?

20 A That is correct. This is the Mobil,  
21 again, 27-2, which ties my A-A' cross section.

22 Again I note the interval that we feel is  
23 taking the fluid. Again these are the perforations at the  
24 top.

25 Also I'd like to note that along this

1 fault there were wells that penetrated the downthorwn side  
2 of this fault. One of them is noted here, the Pure State  
3 Lee F No. 1.

4 This well was originally drilled back in  
5 1958 following the discovery of the field. It penetrated  
6 into the Mississippian limestone, which, as you can see by  
7 present day structure, was low. At that point the well was  
8 TD'ed and they made a completion in the Bone Spring. I've  
9 inferred, based on other wells in the area, where the  
10 approximate top of the Siluro-Devonian is, but based on  
11 other wells that were drilled at that time, they would have  
12 had to know that if they drilled any deeper, they would have  
13 encountered water, so they stopped drilling.

14 Q All right, sir, anything further on this  
15 exhibit?

16 A No.

17 Q All right, let's hand, and have you ad-  
18 dress, what we've marked as Exhibit Four to this proceeding.

19 All right, Mr. Whelan, could you try to  
20 tell and explain to the -- to those of us in attendance  
21 what's reflected on Exhibit Four?

22 A Exhibit Four is a seismic section origin-  
23 ally shot by the Permian Teledyne Corporation in 1977 as a  
24 group shoot line, which would been available to many cus-  
25 tomers, not just Superior, which was the eventual buyer of

1 this line.

2 This is a copy of the original line. The  
3 shot points, again, are noted on the map. It runs north-  
4 west/southeast through the area.

5 What this represents is energy that is  
6 put into the earth, later recorded at the surface, which  
7 shows the interfaces of the different stratigraphic units  
8 that I've noted on my cross section.

9 The colors represented here, the blue  
10 color is the Mississippian limestone; the brown is the Wood-  
11 ford shale; and beneath it, the Siluro-Devonian dolomite.

12 In order to more effectively tie into  
13 these intervals that are noted on the seismic line, we have  
14 a velocity survey which was originally shot in 1958 by the  
15 Pure Oil Company. It's in Section 35, 1980 from the north  
16 and east, right next to the seismic line.

17 The purpose of a velocity survey is,  
18 again, after the well has been drilled, casing set in the  
19 hole, to drop a tool down, dynamite is set off at the sur-  
20 face and time is measured before that energy is received by  
21 the tool and reported at the surface.

22 We take that, we -- we have an opportu-  
23 nity to buy these surveys from other companies, which we did.  
24 We use that to tie into our seismic and with that I've ef-  
25 fectively tied into the units here, so we know this is going

1 to be the Mississippian and the others as I have identified.

2 Also, a point I'm trying to make with  
3 this is that there is a fault separating the South Vaccum  
4 Field from the area to the northeast. If you'll look on  
5 your maps at shot point 62, which is represented here,  
6 you'll see we have a fault separating South Vaccum Field  
7 from the area to the northeast.

8 Q And where is that shot point 62 on Exhi-  
9 bit One?

10 A Shot point 62 is right here, the north-  
11 east portion of the Mobil acreage.

12 Q You're indicating in what section?

13 A It's actually in the northwest portion of  
14 Section 26.

15 Q All right, sir, anything else on Exhibit  
16 Four?

17 A No.

18 Q All right, Mr. Whelan, you've indicated  
19 that the cross section which you constructed shows that  
20 there is a fault to the northeast of the Vacuum Devonian  
21 South Field. You have been able to confirm that fault  
22 through seismic data, which Superior Oil purchased. You've  
23 been able to confirm the seismic data through the use of a  
24 velocity survey, which was purchased data.

25 I would now ask you to turn to what we

1 have marked as Exhibit Number Five to this proceeding and  
2 could you describe for the Commissioners what -- first of  
3 all, generally what this exhibit is before you address what  
4 it shows?

5 Q Exhibit Number Five is taken from the  
6 Roswell Geological Society Oil and Gas Fields of South-  
7 eastern New Mexico, published in 1960.

8 What they do is they ask geologists,  
9 often from companies, or they do it within themselves, to  
10 identify and explain fields that are discovered in the New  
11 Mexico area.

12 The South Vacuum Field was one of those  
13 fields that was asked to be picked. It was identified by a  
14 Mobil geologist, just by happenstance, a Mr. Upp. What he  
15 noted, as you can see, it's a little bit small, was that he  
16 noted this fault running northwest/southeast through the  
17 area separating South Vacuum Field from this acreage to the  
18 northeast.

19 That's all with this.

20 Q Okay. Let's hang and discuss what we  
21 have marked as Exhibit Six.

22 All right, Mr. Whelan, would you discuss  
23 Exhibit Six for us, please?

24 A Exhibit Six is a picture identification  
25 of the proposed salt water disposal well, the Mobil State

1 27.

2 What I have on the left is a copy of the  
3 gamma ray neutron log which was shot -- or which was run at  
4 that time.

5 Also on the right, taken from a Mobil  
6 sample log which was run at that time, a lithologic  
7 identification of the units which were done in conjunction  
8 with the log here.

9 What I've noted here in colors, again, is  
10 the Mississippian limestone, Woodford shale. As you can  
11 see, throughout the Siluro-Devonian interval you have  
12 alternating limestones and dolomites.

13 The top one that I'd like you to note, is  
14 the original perforated zone.

15 Q It's a perforated zone in the proposed  
16 disposal well?

17 A A perforated zone in the salt water  
18 disposal well.

19 Q Okay.

20 A It was where it originally produced from  
21 out of a dolomite. It IP'ed for 275 barrels of oil a day.

22 I've noted the petrophysical characteris-  
23 tics next to it. It had porosity about 12 percent; water  
24 saturations of 30 percent.

25 It was a dolomite, light brown, white,

1 fine to medium crystalline, and vuggy porosity.

2 Also, I want to note another zone here,  
3 again, where I've noted the petrophysical characteristics  
4 which you can see at approximately 12,040 feet. This is the  
5 zone we feel most of the fluid is being taken. I've noted  
6 the petrophysical characteristics to note that it is not oil  
7 bearing. It has porosity about 10 percent, average, water  
8 saturation is 69 percent.

9 Immediately below it, just to verify the  
10 fact that it was not oil bearing, was a DST taken. It re-  
11 covered 190 feet of salt water cut mud, plus 60 feet of salt  
12 water.

13 When we originally looked at this well in  
14 order to identify intervals that we thought would take the  
15 fluid, there were a number of porous intervals which I've  
16 noted with petrophysical analysis, and also notice they're  
17 also all dolomite here. These are zones we felt were porous  
18 enough potentially to take the fluids; however, this is the  
19 zone we feel most of it is going into.

20 Q As I understand it, we'll have some tes-  
21 timony on that from a subsequent witness, is that correct?

22 A That's correct.

23 Q All right, anything else you want to  
24 point out to us about Exhibit Six?

25 A No, not right now.

1                   Q           Okay, Let's turn to Exhibit Number Seven,  
2 if you will, please.

3                   Mr. Whelan, at this time would you please  
4 discuss Exhibit Number Seven for us?

5                   A           Exhibit Number Seven is a schematic cross  
6 section of the proposed salt water disposal well. It runs  
7 from the well immediately eastward across the fault. I have  
8 the well right here; again the colors you're familiar with.

9                   The points I want to note on here, that  
10 we have two, main, porous zones I've been speaking of, the  
11 original zone that produced, and the zone that is taking the  
12 fluid.

13                   I want to also note that the formation,  
14 as it comes up against the fault, is being sealed by the  
15 fault, and that in order for this zone to have produced oil,  
16 the fault had to be sealing.

17                   Based on that information we feel this is  
18 a sealing fault and that the interval here that is taking  
19 the fluid is against that sealing fault. It's opposed by  
20 zones, based on our analysis, petrophysical as well as  
21 sample analysis, are tight and impermeable and that this  
22 will be a sealing fault and if we inject fluid here it will  
23 not cross the fault.

24                   Q           It will not migrate to the northeast, is  
25 that correct?

1           A           That's correct.

2           Q           All right. I notice that there are some  
3 markings in the area of the drawing of the Mobil wellbore.  
4 That contains the petrophysical data which you've referred  
5 to on Exhibit Six, is that correct?

6           A           That is correct. I've noted it here, and  
7 here for this particular zone. I've also noted the DST.

8                       If I could just make one more point?  
9 This dip of the beds away from the fault, straight away from  
10 the fault, can be also illustrated on the seismic data on  
11 Exhibit Four, I believe, where the beds come straight into  
12 the fault. If you look at the structure map, the contours  
13 indicate that the fault is a sealing fault for this reser-  
14 voir.

15          Q           Let's review, if we can at this point,  
16 Mr. Whelan.

17                       You have drawn a structure map based on  
18 your review of log data.

19                       You have constructed two cross sections.

20                       You have reviewed seismic data.

21                       You have reviewed a velocity survey con-  
22 ducted.

23                       You have reviewed and constructed a  
24 sample log showing lithologic detail in the area of inter-  
25 est.

1                   From that information you have construc-  
2   ted a schematic diagram of what you believe the geology and  
3   lithology in the injection zone is expected to be.

4                   You have expressed for us the conclusion  
5   that that is a sealing fault and that the zone that is tak-  
6   ing water in the proposed injection well abuts up against an  
7   impermeable zone to the northeast. Is that correct?

8                   A           That is correct.

9                   Q           Based upon your education and experience  
10   as a petroleum geologist, do you have an opinion on whether  
11   or not fluids injected into the Mobil State Section 27-2  
12   Well will migrate in a northeasterly direction?

13                  A           Based on my analysis of the data, in par-  
14   ticular the fact that the fault is sealing here, we can see  
15   this fault defined clearly on the seismic line, I believe  
16   that no fluid will cross that fault.

17                  Q           Do you have anything further at this  
18   time?

19                  A           No.

20                               MR. PEARCE: Mr. Chairman, I  
21   have no further questions of the witness. I will pass him.  
22   Would you have a seat, Patrick?

23                               MR. NEAL: Mr. Chairman, may I  
24   have a 10-minute recess? We've only obtained these a few  
25   minutes ago and I want to talk to my people about them.

1 MR. LEMAY: We'll take a 10-  
2 minute recess, maybe 15, or 12. How about 15? Okay, we'll  
3 take 15.

4

5 (Thereupon a 15 minute recess was taken.)

6

7 MR. LEMAY: Mr. Neal?

8 MR. NEAL: If the Commission  
9 please, I'll get down closer to the witness. I have a sore  
10 throat a little bit and --

11 MR. LEMAY: That's fine.

12 MR. NEAL: -- want to get  
13 closer.

14

15 CROSS EXAMINATION

16 BY MR. NEAL:

17 Q Mr. Whelan, you testified that this was  
18 a temporary abandoned oil well?

19 A Yes.

20 Q When was it temporarily abandoned?

21 A It was originally completed in the Sil-  
22 uro-Devonian. We made Bone Spring completion, and after  
23 that. I don't know the exact date, after that is was aban-  
24 doned.

25 Q Well, it's not temporarily abandoned. It

1 was abandoned.

2 A I really don't know. That's more of an  
3 engineering analysis on that.

4 Q Right. Now, in regard to that particular  
5 oil and gas lease --

6 A Uh-huh.

7 Q -- that is a lease issued by the State of  
8 New Mexico.

9 A I believe so.

10 Q All right. Do you know the confines, de-  
11 scriptions, of that particular oil and gas lease?

12 A No, I don't.

13 Q To your knowledge did the company make  
14 any application with the Land Office for a permit to drill,  
15 recore, or do anything to this abandoned well?

16 A All I know is that following the Bone  
17 Spring completion, the most recent would be an application  
18 for testing a salt water disposal well.

19 Q Was that made with the Oil Conservation  
20 Commission or with the Land Commissioner?

21 A I don't know.

22 Q Who handles that?

23 A It would be my engineering staff.

24 Q You didn't do it?

25 A No.

1 Q Is there anybody here in the witness  
2 chambers that would have done that?

3 MR. PEARCE: May it please the  
4 Commission, the next -- the next witness is in fact the en-  
5 gineering witness.

6 MR. NEAL: Fine, good.

7 MR. PEARCE: Sorry.

8 Q Now, where will this water that Mobil  
9 wants to inject, where will it come from?

10 A The water will come from the Vacuum Field  
11 to the northwest, approximately 7 or 8 miles.

12 Q On completely different leases, from dif-  
13 ferent leases?

14 A Yes.

15 Q Leases that have private ownership, roy-  
16 alty ownership, as well as State and Federal.

17 A I believe so, but I'm not sure.

18 Q None of the water to be injected in this  
19 particular well will come from the State oil and gas lease  
20 on which the well was originally drilled.

21 A That is correct.

22 Q How will it be transported from -- I  
23 think, did you say about 6 miles?

24 A Approximately.

25 Q Could it be as much as 10 or 12 miles?

1                   A           It could be. We'll be showing that later  
2 in another exhibit.

3                   Q           Do you have that exhibit now?

4                               MR. PEARCE:   The next witness  
5 will be showing that.

6                   Q           Do you have any personal knowledge of it?

7                   A           I know that we plan to run a pipeline  
8 down. That's all I know.

9                   Q           To this well?

10                  A           To this well.

11                  Q           The, but how do you -- do yo know any  
12 details of the State oil and gas lease on which this well  
13 was drilled?

14                  A           No.

15                  Q           When it was issued, or anything like  
16 that?

17                  A           No, I don't.

18                  Q           Will the next witness know that?

19                  A           Yes. I hope so, yes.

20                  Q           Oh, you hope so? Okay, that's fine. Now  
21 directing your attention to Exhibit One. What is the yellow  
22 line?

23                  A           The yellow line here --

24                  A           For my education, and remember that I'm  
25 not a geologist, so --

1           A           Let me just pull this out.   The yellow  
2 line is the seismic line running northwest/southeast with  
3 the shot points noted on Exhibit Four.

4           Q           That's right.   In other words, Exhibit  
5 Four is a portion of what is shown on the shot line in yellow.  
6

7           A           That's correct.

8           Q           Okay. Now, the -- I notice that you have  
9 caused the -- what in your opinion is this fault line to be  
10 in a heavy line. Is there any significance to that?

11          A           We just make the heavier line. That's a  
12 convention we use to denote the faults and also the little  
13 tic marks denote the down side.

14          Q           Okay, but has nothing to do with your  
15 scale.

16          A           No, sir.

17          Q           Is that also true with all the contour  
18 lines?

19          A           The contour lines are -- every 500 feet  
20 we darken the contour line.

21          Q           But the width of them has nothing to do  
22 with it?

23          A           That's correct.

24          Q           Okay, Now do you have a -- did you pre-  
25 pare this?

1 A Yes, I did.

2 Q And under your measurements and so forth,  
3 okay. Do you have a ruler with you?

4 A Yes.

5 Q Would you take the ruler --

6 MR. PEARCE: I think that's Mr.  
7 Neal's ruler.

8 MR. NEAL: Thank you.

9 MR. PEARCE: I thought he'd  
10 loan it to you.

11 Q -- and on a 020 scale?

12 A This is a 2000-to-1 cross section.

13 Q Okay, and is that scale on that ruler?

14 A Yes.

15 Q And would you draw out the northwest  
16 quarter of the northwest quarter to scale on your map?

17 A I'm not sure I know --

18 Q Section 26.

19 A What do you mean, draw it out?

20 Q Well, point out where the northwest of  
21 the northwest is.

22 A Oh, I'm sorry. The northwest portion is  
23 right here, right in front of this fault boundary.

24 Q And isn't it a fact that a portion of the  
25 northwest of the northwest of 26 is on one side of the fault

1 line you testified to and the other, there's some on the  
2 other side.

3 A That's correct.

4 Q So a portion of Mr. Squires, or Snyder  
5 Ranches property is on the -- one side of the fault.

6 A That's correct.

7 Q In an area where, as you testified under  
8 your (unclear), that it would move that point, would it not?

9 A It would move to the fault --

10 Q And then be stopped.

11 A And then be stopped.

12 Q But part of that would be on Snyder Ran-  
13 ches ranch -- property.

14 A I'm not completely familiar. I know it's  
15 a 40-acre plot.

16 Q On the northwest of the northwest, part  
17 of it would get on there, could get on there.

18 A I'm not aware of what the footage would  
19 be in a 40-acre spacing, so I don't know exactly.

20

21

22

23

24

25

1 Q In other words, you don't want to put it  
2 on here. Is that what you're saying?

3 A Well, I don't know how many feet there  
4 are from that 40 acres.

5 Q Well --

6 A It would be -- it would be approximately  
7 right where the fault trace is.

8 Q You could -- you have assumed things on  
9 this map, have you not, in drawing it?

10 A Yes.

11 Q And what is a usual 40-acre tract's legal  
12 description?

13 A I believe if we drill a well within it,  
14 we drill 660 but I don't know the exact --

15 Q What's the measurement of a square mile?

16 A 5,280.

17 Q Okay, what is the measurement of the  
18 northwest quarter?

19 A It's 5,280 from here to here, you have  
20 approximately 1000 feet to the fault.

21 Q Then in the north part of the northwest  
22 of the northwest is on one side of the fault.

23 A Yes.

24 Q And part of it's on the other side.

25 A That's correct.

1 Q That's the only point I'm trying to make.  
2 Thank you.

3 Now, what is the reason that you are wan-  
4 ting now to dispose of water in this particular well where  
5 you've been disposing from these particular wells already in  
6 existence and further to the north?

7 A If we -- I have recently moved into the  
8 area. We have been looking for a well to dispose of fluid  
9 that we are producing in the Vacuum Field. This is the well  
10 we propose to use for disposing fluid up there.

11 Q Have there been any studies made or con-  
12 cern made as to the amount of disposal in the Vacuum Salado  
13 area?

14 A Yes.

15 Q And what is that problem?

16 A The problem appears to be one of migra-  
17 tion of the fluid being injected into the overlying evapo-  
18 lite Salado section.

19 Q And is it becoming a point that you can  
20 believe it's reaching a build-up or (unclear) pressures. and  
21 so forth, of that nature?

22 A Yes. We feel the pressures are too high.

23 Q And you cannot continue to inject water  
24 into -- underground in that area.

25 A We are continuing to do so, but we're

1 trying to alleviate the problem

2 Q You have a problem there.

3 A We have a problem in that it's overpres-  
4 sured.

5 Q And if it is not corrected it can become  
6 dangerous to -- to the environment, can it not?

7 A We have done studies and I'm going to  
8 have to say I don't know how much it could be, but it could  
9 be, yes.

10 Q Have you experienced or have any know-  
11 ledge of the drilling wells in that area, where they have  
12 received substantial waterflows?

13 A I have knowledge of Texaco wells to the  
14 south of our lease that have had substantial waterflows from  
15 the Salado interval.

16 Q And for the record would you tell us what  
17 a waterflow is?

18 A It would be water flowing naturally from  
19 the wellbore after it's drilled to the surface.

20 Q Under pressure.

21 A Under pressure without any pump.

22 Q To the point that drilling a new well in  
23 that area sepecifically requires additional cost to control  
24 the waterflow.

25 A That I don't know. That's an engineering

1 thing.

2 Q Isn't it true that when these original  
3 wells were drilled in the Vacuum area, that that was not a  
4 problem?

5 A In the Vacuum Field that Mobil operates  
6 it's still not a problem but outside those boundaries it is  
7 a problem, yes.

8 Q Well, you all have a big committee that  
9 meets all the time, (unclear) all the time, don't you?

10 A Yes.

11 Q As a matter of fact, it wasn't too many  
12 years ago that as a result of the contamination from the  
13 pits that the no-pit order was issued. Are you aware of  
14 that --

15 A I am not aware of that.

16 Q -- a few years ago?

17 A I am not aware of that.

18 Q And that was -- do you know whether or  
19 not that was the source of the problem that led to the no  
20 pit order?

21 A I don't know.

22 Q Now, what -- how many barrels of water do  
23 you project that will be disposed of in this well?

24 A We estimate approximately 10,000 barrels  
25 of water a day.

1 Q Is that the amount of water that is being  
2 disposed of by Mobil on their lease at this time?

3 A I believe so, but I'm not sure. The en-  
4 gineer would have to explain that one.

5 Q Is it the intention under this plan for  
6 all those wells to stop disposing of water on all of the  
7 leases in the Vacuum area to the north?

8 A That would be the intent of this well.

9 Q I mean where they are now.

10 A Yes.

11 Q All right. So will this be the only area  
12 in which the water, produced water from North Vacuum, will  
13 be disposed of by Mobil?

14 A Yes.

15 Q Mr. Whelan, have you been involved in the  
16 discussions of Mobil's management, the policy or the  
17 decision making process in determining the economic value to  
18 Mobil for the use of this well as a disposal well?

19 A I've been in the room but I haven't got-  
20 ten any specific numbers. I'm aware that this is the most  
21 economic way that we have right now.

22 Q And it will mean an economic benefit, sub-  
23 stantial economic benefit, to Mobil.

24 A It will.

25 Q In the production of oil from the Vacuum,

1 North Vacuum Pool.

2 A Not specifically, but in a general way it  
3 will, yes.

4 MR. NEAL: Pass the witness.

5 MR. LEMAY: Thank you, Mr.  
6 Neal. Additional questions of the witness?

7 MR. PEARCE: Just one moment,  
8 if I may, Mr. Chairman.

9 MR. LEMAY: Mr. Pearce.

10

11 REDIRECT EXAMINATION

12 BY MR. PEARCE:

13 Q Mr. Whelan, if you would, please, refer  
14 with me to what we've previously marked as Exhibit Number  
15 Five, which is the Roswell Geological Society Report.

16 I would ask you to examine the trace of  
17 the fault shown in that report and I would ask you whether  
18 or not that report shows that fault as crossing through the  
19 northwest quarter of the northwest quarter of Section 26?

20 A Yes, it does.

21 Q Mr. Whelan, I would ask you again to look  
22 at that exhibit. Do I not understand what the northwest  
23 quarter of the northwest quarter is?

24 MR. NEAL: Well, we object to  
25 that. This is a reproduction of a map which he had nothing

1 to do with as an exhibit but he's already testified to his  
2 location that he calculated and for him now to go in and try  
3 to qualify that is not the proper redirect.

4 MR. PEARCE: Well, excuse me,  
5 Mr. Chairman, if I may, Mr. Neal was very careful to point  
6 out when he began with this witness that the scale of the  
7 width of the lines that this witness used when he drew his  
8 map was insignificant. He was very careful to qualify this  
9 witness on that point and I think that -- I think it's fair  
10 game. We have an exhibit which is an accepted technical pa-  
11 per from the Roswell Geological Society. Mr. Neal wants to  
12 quibble with where that fault is. If there is an accepted  
13 geological paper which places that fault in an exact lo-  
14 cation because it has a more narrow line than this witness  
15 used when he drew his exhibit, I believe I have a right to  
16 have this witness discuss that.

17 MR. NEAL: If the Commission  
18 please, I made no reference if this is exactly where the  
19 fault is.

20 My question was whether or not  
21 part of the property of Snyder Ranches is on one side of the  
22 fault line and the other was on the other side, and his  
23 answer was unequivocally, yes.

24 Now it has nothing to do -- I  
25 was just trying to make sure that the width didn't have any-

1 thing to do with this.

2 MR. LEMAY: Fine. I think  
3 we'll accept testimony on this Exhibit Five and recognize  
4 that the witness did not prepare this; however, it is an ac-  
5 cepted paper that's been published in the Roswell Geological  
6 Society Symposium.

7 We will give that proper weight  
8 according to the (unclear) that the witness places on it and  
9 also accept the testimony that he gave in regard to your  
10 cross examination.

11 MR. PEARCE: Thank you, Mr.  
12 Chairman, after that I'm ready to get away from this and the  
13 only thing I believe I have remaining is I would move the  
14 admission of Mobil Exhibits One through Seven at this time.

15 MR. LEMAY: Without objection  
16 Exhibits One through Seven will be admitted into evidence.

17 Are you through, Mr. Pearce?

18 MR. PEARCE: This concludes my  
19 examination of this witness.

20 If Mr. Neal has nothing fur-  
21 ther, I will call my second witness.

22 MR. LEMAY: I'd like to ask  
23 some questions.

24 MR. PEARCE: Please do, Mr.  
25 Chairman.

1

2 QUESTIONS BY MR. LEMAY:

3

Q Some points on this field, Mr. Whelan.

4

5 The South Vacuum Field, according to your  
6 Exhibit Number A, the well you're going -- I mean Number 1  
7 -- the well you're going to inject in looks like it's the --  
8 not the highest well but the second well in the field?

8

A That is correct.

9

10 Q The highest well over there looks like  
11 it's in the southwest quarter of the northwest, is that well  
12 also -- is that watered out or does this say depleted, to  
13 your knowledge?

13

14 A No. that is a well that is producing to-  
15 day. On the cross sections it is noted as a producer.

15

16 Q Do you happen to know the -- how much oil  
17 it's producing today?

17

18 A I don't know the exact amounts. I know  
19 that the four wells, there are four wells that are producing  
20 like they are on that cross section, one, two, three and  
21 four, right here. They're producing at about a 95 percent  
22 water cut. They're averaging about 10 to 30 barrels of oil  
23 a day.

23

Q There are three or four wells, you said?

24

A There are four wells.

25

Q Four wells? Now this is only from the

1 Devonian. I'm not talking about the Bone Springs.

2 A Just Siluro-Devonian.

3 Q What would be your opinion as to the  
4 injection of water into that down-dip well, the effect of  
5 that injection on the -- on the currently producing wells?

6 A We know that some of these wells are  
7 producing on the order of 250,000 barrels of water per year,  
8 approximately. Certainly it is economic, they need that  
9 disposal well to make these wells economic, and an engineer  
10 would be more appropriate to discuss it, but it certainly  
11 would keep up pressure in the reservoir.

12 Q Is it my understanding this is a water  
13 drive reservoir or a gas solution drive reservoir?

14 A I'd say water drive reservoir.

15 Q Could I refer you just to one of your --  
16 your cross sections, let's take Exhibit Two. You show a  
17 series of four zones. It looks like there are zones in the  
18 Siluro-Devonian that are dolomitized, is that correct?

19 A That is correct.

20 Q Where you have the limestone it's tight;  
21 where you have the dolomite it's porous?

22 A That is correct.

23 Q Do you show any differentiation between  
24 the Fusselman and the Siluro-Devonian or do you consider  
25 those in communication with each other or --

1           A           I consider in this region -- in this  
2 area, there's been no production established from the Fus-  
3 selman, and I mean generally in the southeast New Mexico  
4 area.

5                   I consider this wet, although I don't  
6 consider it in communication.

7           Q           Do you consider each one of these porous  
8 dolomite stringers to be separate reservoirs or in communi-  
9 cation with each other within the Siluro-Devonian that you  
10 showed up there?

11          A           I consider them each separate, discrete,  
12 units.

13          Q           In general with Devonian production has  
14 production ever been encountered below the top porosity  
15 streaks in some of the lower porosity streaks and where the  
16 top zones have been water-bearing?

17          A           No, it has not.

18          Q           Generally have you found in this general  
19 area or has your experience shown that any of the lower  
20 zones produce or is it only the very top porosity within the  
21 Devonian that produces?

22          A           It's only the top porosity in this area  
23 that produces.

24          Q           So if you injected water in the zone  
25 where you show -- I'm assuming that some of these log calcu

1 lations are open to debate if you have a gamma ray neutron  
2 log or --

3 A Some of them are generally. We've tried  
4 to compare them to sample logs to make sure that those fit  
5 the data well.

6 Q But in fact to ascertain whether a zone  
7 is water-bearing or oil-bearing you do have the one drill  
8 stem test.

9 A Yes.

10 Q Do you have additional drill stem tests  
11 for the area to confirm that lower zone as being water-bear-  
12 ing?

13 A We have -- we know wells on the down-  
14 thrown side that have tested in that interval; a particular  
15 one here in the northwest portion of Section 22 on the down-  
16 thrown side which tested as wet.

17 No, I don't know of any others, no.

18 Q Assuming that you -- was it your intent  
19 to keep the injection zones below the producing zone or was  
20 it your intent to open up all porosity within the Siluro-  
21 Devonian to injection of water?

22 A It was our intent to keep open just the  
23 open hole interval at the base of the casing. Our intent  
24 was not to use the original perforations.

25 Q So with your testimony then you would say

1 that by injecting these lower zones that would have no af-  
2 fect upon the currently producing wells because it produces  
3 from the upper zones, is that correct?

4 A That is correct.

5 MR. LEMAY: Thank you.

6 MR. BROSTUEN: Excuse me.

7

8 QUESTIONS BY MR. BROSTUEN:

9 Q Mr. Whelan, base of surface casing is at  
10 approxiamtely 11,950, is that correct?

11 A 940, I believe.

12 Q 940, somewhere in there. And do you  
13 state that you believe that the zone that's taking the water  
14 is the -- that the dolomite zone immediately below that, oh,  
15 12,030, perhaps?

16 A Yes, I --

17 Q 12,300, pardon me.

18 A I've noted that here on this particular  
19 cross section.

20 Q Okay. And do you have some other poro-  
21 sity zones, dolomitized zones, below that and you -- but you  
22 still believe that the upper zone is taking the water.

23 You say that you believe that that upper  
24 zone is the zone that's taking the water.

25 A Yes.

1 Q On what do you base that?

2 A Our next witness will demonstrate with  
3 some engineering data why he feels most of the fluid is  
4 going in there.

5 We identified a number of zones prior to  
6 our testing of this wellbore we felt the fluid would go in,  
7 this being one of them. That appears to be the one that is  
8 taking the fluid, this upper one.

9 Q Do you have someone that will have --

10 A The next witness will show it.

11 Q Thank you very much.

12 MR. LEMAY: Additional questions  
13 of the witness?

14 MR. NEAL; I have a few ques-  
15 tions.

16  
17 RECROSS EXAMINATION

18 BY MR. NEAL:

19 Q Where you're saying that this water is  
20 going, have you made any other tests where you can say with-  
21 out any qualification that this is the area where it's  
22 going?

23 A The next witness will illustrate why we  
24 feel it is the interval where it's going.

25 Q You're not trying to say, then, that this

1 is the only place it's going.

2 A Based on our analysis this -- this is the  
3 only place it's going.

4 Q Have you done any cement logs or anything  
5 like that.

6 A He has some logs that he will show to il-  
7 lustrate that.

8 Q Cement logs?

9 A They are gamma ray type logs.

10 Q Did you do a cement type to make sure  
11 there is no communication back up the hole or anything?

12 A I don't believe so.

13 Q Did you do any type of cement work?

14 A We have -- again this is an engineering  
15 question.

16 MR. NEAL: That's all.

17 MR. LEMAY: Mr. Pearce, re-  
18 direct?

19 MR. PEARCE: Nothing further,  
20 Mr. Chairman.

21 MR. LEMAY: The witness may be  
22 excused if there are no additional questions.

23 MR. PEARCE: At this time, Mr.  
24 Chairman, I'd like Mr. Hamner to take the stand.

25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

C. J. HAMNER,

being called as a witness and being duly sworn upon his  
oath, testified as follows, to-wit:

DIRECT EXAMINATION

BY MR. PEARCE:

Q All right, sir, at this time, if you  
would, please, for the Commission and those in attendance,  
would you state your name and employer?

A My name is Curtis Jack Hamner. I work  
for Mobil Producing Texas & New Mexico, Inc.

Q In what capacity are you employed by  
Mobil, Mr. Hamner?

A I am a reservoir engineer.

Q Mr. Hamner, have you previously testified  
before the New Mexico Oil Conservation Commission or its ex-  
aminers and been qualified as an expert in the field of pet-  
roleum engineering?

A Yes, I have.

Q And are you familiar with the application  
of Mobil that is under consideration today before the Com-  
mission?

A Yes, I am.

Q And have you conducted certain petroleum

1 engineering studies, analyses, and work relative to this ap-  
2 plication?

3 A That is correct.

4 Q And is the purpose of your testimony to  
5 testify concerning those studies today?

6 A Yes, it is.

7 MR. PEARCE: Mr. Commissioner,  
8 at this time I would tender the witness as an expert in the  
9 field of petroleum engineering.

10 MR. LEMAY: His qualifications  
11 are accepted.

12 Q Mr. Hamner, at this time I'd like for us  
13 to hang a copy of what has been marked as Mobil Exhibit Num-  
14 ber Eight to this proceeding and I'd ask you to discuss that  
15 for the Commission.

16 All right, Mr. Hamner, at this time if  
17 you would approach that exhibit and describe it for the Com-  
18 mission, and if you'd speak up for the sake of all of us,  
19 please.

20 A Okay. Exhibit Eight is a display which  
21 shows North Vacuum Abo Unit, displayed by the arrow showing  
22 this outline.

23 It also shows encompassed (unclear) in  
24 the North Vacuum Abo Unit outline the Vacuum Grayburg-San  
25 Andres Pool, depicted here with an arrow. It also shows the

1 proposed salt water disposal outline coming from the North  
2 Vacuum Abo, essentially the center of it, going through a  
3 series of State leases all the way down to the Vacuum Devon-  
4 ian South Field, which I have indicated here, our acreage in  
5 yellow and the proposed SWD well; also I've indicated here  
6 in a pool outline, the Vacuum Devonian South Field Pool out-  
7 line as we know it from regulatory information.

8 Q Mr. Hamner, I notice that your line comes  
9 from the center of the North Vacuum Abo Unit; however, as I  
10 understand it, there are numerous wells throughout that area  
11 in various units and pools which will be contributing water,  
12 is that correct?

13 A Yes, sir, that is correct. Basically, 95  
14 percent of the fluids, produced fluids, will be coming from  
15 the North Vacuum Abo Unit, which is the Abo formation, in  
16 combination with the Vacuum Grayburg-San Andres Pool out-  
17 line.

18 The extraneous 5 percent comes from pro-  
19 duction that we have within the North Vacuum-Abo Pool Unit  
20 outline, or excuse me, the unit outline, and that is basic-  
21 ally from the Glorieta, Penn, and Blinbry wells.

22 Q Okay, and I understood you to say that  
23 the proposal was to have the pipeline from that area to the  
24 disposal well cross only State acreage, is that correct?

25 A To the best of my knowledge that is cor-

1 rect.

2 Q Do you know if Mobil has yet applied for  
3 easements and rights-of-way for that pipeline?

4 A No, we have not.

5 Q Does Mobil expect to do that upon appro-  
6 val of this application?

7 A Yes, that is correct.

8 Q Do you know if Mobil has applied for per-  
9 mission from the State Land Office to inject water into this  
10 well at this time?

11 A Not to my knowledge.

12 Q Do you expect Mobil to do that upon ap-  
13 proval of this application?

14 A Yes, I do.

15 Q All right, sir. Is there anything else  
16 you'd like to demonstrate to the Commission from this exhi-  
17 bit?

18 A No, I do not.

19 Q All right. If you would return to your  
20 seat, please, sir, and I would ask you to refer to what we  
21 have marked as Mobil Exhibit Number Nine to this proceeding.

22 All right, Mr. Hamner, generally what is  
23 Mobil Exhibit Number Nine?

24 A Exhibit Nine is the SWD application sub-  
25 mitted by Mobil to inject fluid in the State 27 Well No. 2.

1 It is in Vacuum South Devonian Field.

2 Q All right. I would ask you to look at  
3 what is the fourth page of my exhibit, which is a well  
4 schematic. Do you have that page in front of you?

5 A Yes, sir, I do.

6 Q Is this the schematic which was submitted  
7 with the initial application?

8 A Basically, that's correct.

9 Q I'm sorry. Is this the schematic which  
10 was submitted?

11 A Yes, it is. I would like to point out on  
12 the schematic the reason I qualified that, is that there are  
13 a couple of corrections that need to be made on the  
14 schematic.

15 Q All right, would you tell us what  
16 information has changed from the original application.

17 A Yes, I would. The -- first of all, where  
18 the permanent packer is shown on the schematic, we have a  
19 ±11,800, and I believe it says, I can't read that, 55 feet.  
20 Actually that should be 11,875 feet.

21 We also have some junk in the hole which  
22 is a profile logging tool. The junk in the hole at that,  
23 for the particular logging tool is at 12,206 feet through  
24 12,223 feet, and that is it.

25 Q Okay. I would ask you to turn to the

1 next page of this exhibit and summarize for the Commission  
2 the information shown with regard to Roman Numeral III in  
3 response to Roman Numeral III on Form C-108.

4 A Roman Numeral III is just a written out  
5 version as to what is shown on the well sketch schematic on  
6 the previous page. It depicts the casing, the surface  
7 casing, 13-3/8ths, set at a depth of 422 feet.

8 It shows the intermediate string of 9-  
9 5/8ths inch casing at 3900 feet; also, additionally, it  
10 talks about the Bone Spring perforations, Devonian perfora-  
11 tions, which are in fact squeezed, and additionally it shows  
12 the production string, which is 7-inch pipe set to a depth  
13 of 11,950 feet, which is cemented to the top at a depth of  
14 3849 feet.

15 Additionally, it just goes on and men-  
16 tions the 4-1/2 inch Duoline pipe which we propose to run  
17 into the subject well.

18 Essentially that's it.

19 Q All right, sir. I would ask you to turn  
20 over two pages. There is a land plat. Part of Roman Numeral  
21 V of Form C-108 requests a map which identified all wells  
22 and leases within two miles and also seeks a one-half mile  
23 radius circle indicating an area of review.

24 Are those two circles reflected on Exhi-  
25 bit "A"?

1           A           Yes, that is correct.

2           Q           All right. Roman VI on the application  
3 form seeks information on all wells of public record within  
4 the area of review, the one-half mile radius circle, which  
5 penetrate the proposed injection zone.

6                       Are there any wells within that half mile  
7 radius circle which penetrated the injection zone?

8           A           No, there are no wells which penetrate  
9 the proposed disposal interval in the Devonian.

10          Q           All right, sir. Item Roman Numeral VII  
11 on Form C-108 seeks information about the proposed operation  
12 of the injection well.

13                      Would you summarize the information shown  
14 for us, please?

15          A           Yes, I can. Mobil proposes to operate at  
16 an average rate of 9000 barrels a day. Our anticipated max-  
17 imum rate is 12,000 barrels a day.

18                      Our system for disposal will be a closed  
19 system. Our anticipated average injection pressure is 200  
20 pounds and our anticipated maximum injection pressure would  
21 be 2390.

22                      Additionally, we had Exhibit B and I  
23 would like to turn to Exhibit B-1, which is in the packet.

24          Q           There is a page marked B-1 in the upper  
25 righthand corner, is that correct?

1 A Yes, that's correct.

2 Q All right, sir. It's about four or five  
3 pages back, Mr. Chairman.

4 What is Page B-1, Mr. Hamner?

5 A Exhibits B-1 through B-6 are simply water  
6 analysis reports that were done on the various zones which  
7 we intend to gather fluid from. Specifically, B-1 states it  
8 is a water analysis report on the Abo.

9 Exhibit B-2, the following page, is a  
10 water analysis report again.

11 Exhibit B-3, for example, is on the  
12 Glorieta.

13 Exhibit B-4 is on the Upper Penn, and so  
14 forth.

15 Q All right, sir, if you would at this  
16 time, please address Exhibit C to the application, please.

17 A Exhibit C is the compatibility test of  
18 the proposed disposal zone water, Devonian water, with the  
19 mixed produced water which we intend to put in the wellbore.

20 There is a letter attached to this by NL  
21 Treating Chemicals. It is also labeled at the top of the  
22 page as Exhibit C.

23 Basically, it states that the mixing of  
24 the fluids will produce carbonate and calcium sulfate scale  
25 and that a chemical treating program will be required to

1 control the scale.

2 Q Okay. Is there anything else with regard  
3 to the items set forth in Roman Numeral VII, Mr. Hamner?

4 A No.

5 Q All right, I would ask you to turn to  
6 that section of the application denominated Roman Numeral  
7 VIII. Would you summarize the information contained in that  
8 section of the application, please?

9 A Roman Numeral VIII is basically the geo-  
10 logical data on the proposed injection interval provided by  
11 the Geology Department. We are talking about a Devonian in-  
12 terval. It is a faulted anticline. Again, the geological  
13 name is the Devonian, Siluro-Devonian.

14 The thickness, the average thickness is  
15 500 feet. The depth, average at top of pay is 12,000 feet.  
16 Additionally, the overlying fresh water zones, the Ogallala  
17 at 300 feet and the Santa Rosa at 1400 feet. Also, there  
18 are no fresh water zones immediately underlying the injec-  
19 tion zones.

20 Q All right, Mr. Hamner, Section Roman Num-  
21 eral IX of the application form seeks information on the  
22 stimulation program of the injection well. Is that set  
23 forth?

24 A Yes, it is.

25

1                   Q           Very generally, what was the stimulation  
2 program?

3                   A           The stimulation was conducted on February  
4 the 27th of this year. It was done on the Lower Devonian  
5 from an interval of 11,950 through 13,718 feet.

6                               The well was acidized with 15 percent hy-  
7 drochloric acid, 14,000 gallons of that, plus 10,000 pounds  
8 of rock salt in the scenario as follows, A through E.

9                   Q           All right, sir, without going through  
10 those with specific descriptions, Item Roman Numeral X of  
11 the application form requests copies of logs.

12                               Are the logs which are available on file  
13 with the Oil Conservation Division?

14                   A           Yes, sir, that is correct.

15                   Q           Item Roman Numeral XI of the application  
16 form, Mr. Hamner, seeks a chemical analysis of fresh water  
17 from wells within one mile of the injection zone.

18                               Were any such fresh water wells found?

19                   A           Yes, it was. There was one.

20                   Q           All right. And is an analysis of the  
21 water from that well attached?

22                   A           Yes, it is. It's in the packet.

23                   Q           And that is marked as Exhibit D to the  
24 proceeding, is that correct?

25                   A           That is correct.

1           Q           All right, sir. Item Roman Numeral XII  
2 seeks an affirmative statement.

3                   I would ask you to refer to the material  
4 submitted Roman Numeral XII and would you read that into the  
5 record for the Commission, please?

6           A           Yes, I will. MPTM has examined the  
7 available geological and engineering data and finds no  
8 evidence of open faults or any other hydrological connection  
9 between the Devonian zone and any underground source of  
10 drinking water.

11           Q           All right, sir, and attached at Exhibits  
12 E and F are the Proof of Notice required by the application  
13 procedure, is that correct?

14           A           Yes, sir, that's correct.

15           Q           All right. Do you have any other infor-  
16 mation which is contained in what's been marked as Mobil Ex-  
17 hibit Number Nine which you wish to discuss with the Commis-  
18 sion at this time?

19           A           No, I do not.

20           Q           All right, Mr. Hamner, at this time we're  
21 going to hang a copy of what we have marked as Mobil Exhibit  
22 Number Ten to this proceeding.

23                   Mr. Hamner, while they're hanging that,  
24 let's look back at Item Roman Numeral XI on the application  
25 form. The statement which -- I'm sorry, Roman Numeral XII,

1 which you read for us, MPTM is the abbreviation for Mobil  
2 Texas New Mexico, Inc.(sic), is that correct?

3 A Yes, that is correct.

4 Q Now, I'd like for you to get down,  
5 please, and address Mobil Exhibit Ten and describe that for  
6 us, please, sir.

7 A Exhibit Ten is a well log display showing  
8 two logs of the Mobil State 27 Well-2 (sic).

9 The log on the left is a gamma ray neutro-  
10 ron log. It was run in 1959 originally on the well, and the  
11 log that we have displayed on the right is a tracer survey  
12 which was run in March of 1988.

13 I'd like to point out on this particular  
14 log on the right, the tracer survey, that it shows fluid en-  
15 tering the open hole interval from 12,038 feet through  
16 12,096 feet.

17 Also indicated on the log is a pumping  
18 temperature survey, which is depicted by this line, and what  
19 we note from that is the dramatic increase in temperature at  
20 12,100 feet, which clearly demonstrates that there is no  
21 fluid exiting the wellbore below that depth.

22 Q For -- for clarification, Mr. Hamner, the  
23 yellow highlighted area, which is also hachured on the trace  
24 survey log, is the area of the wellbore which the tracer  
25 survey indicated was taking water during the testing of this

1 well, is that correct?

2 A Yes, that is correct.

3 Q And that depth is what, one more time,  
4 please, sir?

5 A The depth of the interval that is taking  
6 fluid is at 12,038 feet through 12,096 feet --

7 Q And that -- and that was the only zone  
8 within the open hole interval in this well which accepted  
9 fluids, is that correct?

10 A That is correct.

11 Q If there had been channeling behind pipe  
12 in this well, would the tracer survey have recorded that  
13 channeling behind cement?

14 A It would have shown it clearly.

15 Q And did it show any channeling behind  
16 pipe in this well?

17 A No, it did not.

18 Q All right, sir. Anything else you wish  
19 to discuss with us with regard to Exhibit Number Ten?

20 A Not really.

21 Q All right, sir. At this time I'd like  
22 for you to resume your seat, if you would, please, and I  
23 would ask you to look at what we have marked as Mobil Exhi-  
24 bit Number Eleven to this proceeding.

25 All right, sir, very briefly, for the

1 Commission and those in attendance, what's reflected on Ex-  
2 hibit Number Eleven?

3 A Exhibit Eleven shows a summary of the  
4 various disposal options considered to handle the produced  
5 fluid from the North Vacuum Abo Unit and the Vacuum San An-  
6 dres Pool, plus a miscellaneous production.

7 The options are listed in the order from  
8 least expensive to the most expensive from top to bottom.  
9 The numbers given reflect the applicable expenses associated  
10 with each scenario and that is mentioned under Item One un-  
11 der note at the bottom of the page of the exhibit.

12 Q And the first possible disposal alterna-  
13 tive shown is the disposal alternative for which Mobil is  
14 seeking approval today, is that correct?

15 A Yes, sir, that is correct. That is the  
16 case scenario at the very top of the page, which indicates a  
17 total operating expense of 5.28-million. Furthermore, a to-  
18 tal expense plus investment column indicates 7.18-million.

19 Q And this is the least expensive disposal  
20 alternative you have been able to discover, is that correct?

21 A That is correct.

22 Q Could you describe for the Commission the  
23 reason for choosing the least expensive disposal alterna-  
24 tive?

25 A Yes, I can. It is obvious that the lower

1 the operating expenses in producing a field, the longer the  
2 field can be operated and therefor the more reserves that  
3 can be recovered.

4 Q Mr. Hamner, you've conducted this  
5 engineering study and the study of the economics of the  
6 various disposal alternatives. Have you formed an opinion  
7 on whether or not choosing a more expensive disposal  
8 alternative would result in waste as defined by the State of  
9 New Mexico?

10 A Yes, I have.

11 Q And what is that opinion?

12 A My opinion on that is that if a higher  
13 expense scenario is chosen, the field life will be reduced  
14 due to the high operating expenses, and the amount of  
15 reserves to recover will be less.

16 Q Mr. Hamner, you have conducted a  
17 petroleum engineering study. You have concluded that you  
18 know the zone in this well in which fluids will be accepted.  
19 Do you believe that the approval of the application of Mobil  
20 in this case will result in the prevention of waste and the  
21 protection of conservation of natural resources within the  
22 State of New Mexico?

23 A Yes, I do.

24 MR. PEARCE: I have nothing  
25 further of the witness at this time, Mr. Chairman.

1 MR. LEMAY: Yes, thank you, Mr.  
2 Pearce.

3 Mr. Neal.  
4

5 CROSS EXAMINATION

6 BY MR. NEAL:

7 Q Is your name Hamner?

8 A Hamner.

9 Q I'm sorry I didn't get it earlier. How  
10 long have you been a reservoir engineer?

11 A Three and a half years.

12 Q How long -- you heard the previous wit-  
13 ness testify to a 10,000-barrel-a-day injection rate.

14 A That's correct.

15 Q How long will you be able to inject in  
16 this area reflected on your Exhibit Ten before you start en-  
17 countering the same problems that you now have in the North  
18 Vacuum Field?

19 A First off, sir, it's completely unre-  
20 lated.

21 Q That's not my question. Have you made a  
22 study?

23 A Yes, I have.

24 Q And will it -- how long will it take to  
25 fill the area that this salt water disposal is going to go

1 into?

2 A That's very difficult to say. What we're  
3 looking at basically is, for example, as I defined with a  
4 half mile radius, you can put in better than 5, 5-million  
5 barrels.

6 Q To your knowledge was any such study made  
7 at the time of the North Vacuum Abo Unit start?

8 A Not to my knowledge.

9 Q That has been a disposal problem since its  
10 inception, has it not, the water production?

11 A I am not very sure about that, that  
12 statement.

13 Q Are you familiar with the Vacuum Salado  
14 study?

15 A Yes, I am.

16 Q And what is that study reflecting as to  
17 the excessive amount of water that's underground?

18 A It reflects basically that we have seen  
19 and determined salt water flows as being drilled primarily  
20 by Texaco. It shows us that there is some type of communi-  
21 cation, via wellbore, or some other means, which we have  
22 tried very, very hard to find, and it's very difficult to  
23 find that, and there is some communication and we do think  
24 that -- that we have taken action steps back to (unclear) to  
25 control that problem.

1           Q           And isn't it a fact in the past before  
2 this same Commission that that same type of testimony that's  
3 been given here today, which is the no communication, had in  
4 fact occurred between the formations?

5           A           I'm not really sure about that.

6           Q           All right, you don't know.

7           A           No.

8           Q           All right, this line of the Vacuum desig-  
9 nated as the pool outline, does that have anything to do  
10 with a sealed unit, or anything like that? In other words,  
11 the water can't flow any further?

12          A           No, it doesn't have anything to do with  
13 that. It's basically a regulatory pool outline.

14          Q           All right. Now, you do not know the ef-  
15 fect of what this -- of your proposed well, how far out that  
16 it will reach as far as water filling up the formation.

17          A           There are qualifications to that. I  
18 think basically what we are showing today and what I person-  
19 ally believe, is that the water will not migrate to the  
20 northeast, specifically.

21          Q           Have you made such a study?

22          A           I have worked with the Geology Department  
23 and shared the information. I believe that.

24          Q           All right. If, you heard him testify ear-  
25 lier and you agreed with what he told us?

1 A Yes, I did.

2 Q All right. Now, are you familiar, direc-  
3 ting your attention to Exhibit One, are you familiar with  
4 the Blanks waterflow which is just to the northwest of this  
5 pool?

6 A No, I am not.

7 Q The well was originally drilled within  
8 the last couple of years, being designated as -- this --  
9 this well right here located in Section 21.

10 A No, I'm not.

11 Q You're not familiar with that?

12 A No.

13 Q Were you aware that they had a 6-inch  
14 line of water going for over a week? If it hadn't been for  
15 Buffalo water, that the -- it would have flooded a substan-  
16 tial area of state grazing leases?

17 A No, I'm not.

18 Q Are you aware of that?

19 A No.

20 Q You have kept your right-of-way proposed  
21 strictly on state land, is that correct?

22 A That's how it's depicted, yes.

23 Q And you intend to seek, if this  
24 application is approved today, appropriate right-of-way.

25 A That's correct.

1 Q What is the economic value to Mobil for  
2 the right-of-way?

3 A As we stated before in Exhibit Eleven,  
4 it's the most economic way that we can lower our operating  
5 expenses.

6 Q In other words, your operating expenses  
7 by use of this injection line and this pipeline, will make a  
8 difference of total operating expense of 5.28-million as  
9 compared to the Mobil 27 waterflood, is that correct?

10 A Under the first column, yes, that's cor-  
11 rect.

12 Q As reflected (unclear).

13 A Yes, that's true. That also indicates  
14 the fact that the two scenarios that you're looking at are  
15 entirely different spectrums.

16 One is trucking all the produced water  
17 which, obviously, is the most expensive thing to do.

18 Q All right, so you've got a varied selec-  
19 tion in there, haven't you?

20 A That's correct.

21 Q Now, have you told us about how much  
22 you're going to expend and how much you're going to invest,  
23 now tell us how much of a profit will it be?

24 A We're not trying to relate what we're  
25 doing in profits. What we are showing here in Exhibit Eleven

1 what we're testifying here to today is basically the savings  
2 that we show from entering the first scenario that have, for  
3 the pipeline.

4 Q All right. Are there any studies that  
5 were made in your company to show what the economic profit  
6 will be in the extension of the life of the Vacuum Unit by  
7 this installation and the expenses?

8 A No, as I say, not from a profit scenario.  
9 We are -- what's indicated and what I have shown here on  
10 testified, is just the savings that are expected on the  
11 operating expenses, specifically.

12 Q Do you -- do you mean to tell me that  
13 your management does not know by the expenditure of some  
14 \$11-million whether or not they're going to make a profit?

15 A Basically what we're saying is that we  
16 have a situation where we're trying to control some of the  
17 problems that we have with the Salado waterflow. We are  
18 making steps ahead to handle that problem and what we've  
19 done is gone to the best system that we know how, and that's  
20 -- that's via the pipeline, get the well and operate as well  
21 as we can --

22 Q And you're doing this completely without  
23 regard to profit?

24 MR. PEARCE: Mr. Chairman, I  
25 believe the lawyer asked the witness if he knew of a study

1 and I believe the witness said he didn't know of a study.

2 We can keep this banter up for  
3 an extended period of time but I don't believe it will  
4 change the witness' answer.

5 MR. NEAL: If the Court please,  
6 this is a very important factor of whether or not he has  
7 testified as to the economic benefit and prevention of  
8 waste.

9 He's also testified by doing  
10 this he would extend the leases. They're not going to do  
11 that unless there's some profit and he earlier testified,  
12 Mr. Whelan, that he was the man to tell us about it.

13 MR. LEMAY: When it comes to  
14 profit, I think the witness had earlier testified there  
15 would be a savings.

16 Where are you going on this?  
17 Do you want dollar figures, or where, Mr. --

18 MR. NEAL: I'm not sure. Where  
19 I'm going is that this expenditure is for a profit, which by  
20 the injection of this is an economic benefit solely to  
21 Mobil, also, not just the royalty owners, which we're  
22 entitled to prove.

23 MR. LEMAY: Well, I'll allow a  
24 few more questions. I think he's answered to the best of  
25 his ability.

1                                    You may continue, if you have a

2    --

3                    Q            Were you in any meetings with management  
4 as to the final decision of whether the approximate -- the  
5 figures evolving of how much this would continue the reve-  
6 nues of Mobil from the production of the North Abo Vacuum  
7 Unit?

8                    A            Your implication is for profit in that  
9 scenario. I'm not aware of anything like that.

10                  Q            Well, will it prolong the life of the  
11 production involved in the North Vacuum Unit?

12                  A            Based on the scenarios that we have, it  
13 is the method that will prolong the life the longest, is the  
14 point that we're trying to make.

15                  Q            For production.

16                  A            That's correct.

17                  Q            And why do you produce oil and gas?

18                  A            Hopefully to make a profit.

19                  Q            Thank you. Now, this lease, you heard  
20 your associate testify that this well had been abandoned.

21                  A            That's correct.

22                  Q            Do you know when it was abandoned?

23                  A            Yes, sir, I do.

24                  Q            When was it abandoned?

25                  A            May of 1969.

1           Q           What was done to perpetuate that  
2 particular State lease if this well was abandoned and  
3 nonproducing in 1969?

4           A           I'm not aware.

5           Q           Do you know of any disclosures or  
6 anything made by Mobil to the State Land Office as to the  
7 nonproduction upon this parricular State lease?

8           A           I'm not aware of anything.

9           Q           Do you know the State lease number that  
10 this acreage covers, or this lease covers?

11          A           No.

12          Q           Do you know whether or not it's a State  
13 lease?

14          A           Yes, I do.

15          Q           But you don't know the number.

16          A           I don't the number offhand.

17          Q           Is it available to you in your records.

18          A           I'm sure we could research that, yes, sir.

19          Q           All right. Now, are you familiar with  
20 the various leases in the North Vacuum Abo Unit?

21          A           Basically, yes.

22          Q           All right. Involving the disposal of  
23 water in this proposed location does not involve any water  
24 from the south field of the Vacuum Devonian Field.

25          A           As iterated before, that's correct.

1           Q           It is completely from other leases, that  
2 is, State, private, and Federal leases contained in the  
3 North Vacuum Field.

4           A           Basically, to my knowledge, that's cor-  
5 rect.

6           Q           In other words, the North Vacuum Abo Unit  
7 is not 100 percent State leases, oil and gas leases?

8           A           To the best of my knowledge it's State  
9 leases, but I could be wrong in that.

10          Q           Well, there's private leases in there,  
11 too.

12          A           Okay, that's -- that's what I was saying.  
13 I think it's mostly State.

14          Q           Now, are you familiar with the North  
15 Vacuum Abo Unit as to the operations of Mobil?

16          A           Yes, I am.

17          Q           And in relation to the outline which you  
18 have, are your wells just scattered throughout or are you  
19 more on the south side or the north side, or what?

20          A           I would classify them as scattered.

21          Q           Okay. Who are the other operators in  
22 this Unit?

23          A           Mobil operates the North Vacuum Abo Unit,  
24 as well as the Vacuum Grayburg-San Andres Pool.

25          Q           In other words, you're responsible, then,

1 for all of this unit.

2 A That's correct.

3 Q You're the operator. And this cost that  
4 you're talking about would then be prorated between the  
5 other members of this unit?

6 A In some manner. That has not been worked  
7 out completely up to now.

8 Q So the expenditure that you're showing is  
9 a total expenditure, not just the expenditure of Mobil.

10 A The expenditures that we have depicted  
11 are 100 percent liability Mobil expenditures.

12 Q And you do not anticipate getting any  
13 contributions from any of the other operators.

14 A As I said, I don't know those details.

15 Q Do you know whether or not (unclear)?

16 A There will probably be some additional  
17 effort made but I don't know as of this point.

18 Q Okay. Now, the build-up of the water  
19 pressures in the Vacuum Abo Unit has been the subject of  
20 considerable study for the last few years, has it not?

21 A That is incorrect. The build-up of the  
22 pressures in the Vacuum Grayburg-San Andres Pool has been --  
23 they've been basically the point of interest, the San Andres  
24 interval.

25 Q But the water pressure build-up is in

1 this unit.

2 A That's correct.

3 Q And the -- what is the effect of -- and  
4 tell me as a layman out here in the general public, what's  
5 the effect of all that build-up in water pressures  
6 underground?

7 A I think we've been working on that for  
8 ten years, as I recollect in the Salado formation, work  
9 that's been done and, obviously, there's been some -- some  
10 zone communication but that's -- that would be my estimation  
11 of your question.

12 Q And is there any Ogallala formation in  
13 this area?

14 A I'm sorry? Could you repeat the ques-  
15 tion?

16 Q Ogallala, is there any Ogallala forma-  
17 tion, water-bearing formation in this unit?

18 A Yes, there is.

19 Q And that's the main, principal source of  
20 water in southeastern New Mexico, Texas and other states?

21 A To the best of my understanding.

22 Q What periodic tests have you -- or have  
23 you made a suggestion or recommendation to the Commission as  
24 to periodic tests to maintain the veracity of your tracer  
25 information which you made, if this is approved?

1           A           We haven't indicated to the Commission  
2 any sequence of tests over a period of time that we would  
3 follow. I'm' sure that that will be indicated by the Com-  
4 mission.

5           Q           And if a build-up of this pressure should  
6 occur in the area of the disposal well, then that would put  
7 substantially a question as to how long this would remain as  
8 presently reflected in March, 1988.

9           A           Anything is a possibility.

10          Q           Well, if you get more pressure up there  
11 you're going to have more possibility or probability of a  
12 failure in your cement.

13          A           I think what -- what geology is, and what  
14 we've looked at here and as demonstrated on the gamma ray  
15 neutron logs, is that there are other porosity intervals in-  
16 dicated there. My present opinion on the matter is that po-  
17 tentially there would be fluid moved downhole as opposed to  
18 up, because there are tight streaks indicated, if you look  
19 at the logs, basically, behind the casing shoe and above the  
20 interval where the fluids are going.

21          Q           Is it a fair recommendation or a state-  
22 ment that in this disposal that we keep talking about here,  
23 you're actually disposing of a waste product, are you not?

24          A           I'm not really sure if you're calling  
25 produced fluids a waste product.

1 Q What good does it have for anything?

2 A I suppose it could be used in some manner  
3 for reinjection or whatever, but that's all I know.

4 Q If it gets on the surface it's going to  
5 kill grass and other things of that nature, isn't it?

6 A I suppose so.

7 Q It will.

8 A I'll agree with that.

9 Q Now, geology is just like medicine or  
10 anything else, it's not an exact science is it?

11 A It's on interpretive science. It's based  
12 on the skills of the person who is interpreting it, inter-  
13 preting the work.

14 Q Right, and you get the various informa-  
15 tion and from that you form your opinion as to the probabil-  
16 ity or possibility that something under the ground that you  
17 can't see may or may not be there.

18 A That is correct to an extent. There are  
19 many things that you can collect that we have technical in-  
20 formation that give you factual evidence. There are some  
21 things that are implied, sure.

22 Q Well, not being facetious, but we don't  
23 drill 100 percent of dry holes, do we?

24 A No.

25 Q And we don't drill 100 percent wet holes,

1 do we?

2 A There are some.

3 Q Some, drilling 100 percent wet holes for  
4 oil and gas?

5 A Oh, okay, I didn't understand what you  
6 were saying. I thought you meant 100 percent water-produc-  
7 ing wells, or something.

8 Q I'm talking about oil and gas, that's  
9 what (unclear).

10 A Right.

11 MR. NEAL; That's all.

12 MR. LEMAY: Additional questions  
13 of the -- Mr. Pearce?

14 MR. PEARCE: If I may just very  
15 briefly.

16

17 REDIRECT EXAMINATION

18 BY MR. PEARCE:

19 Q Mr. Hamner, I would ask you to refer back  
20 to what we've marked as Mobil Exhibit Number Nine and I'd  
21 like to refer you to that section of the report which  
22 responds to Item Roman Numeral Eight. Do you have that be-  
23 fore you?

24 A Lithologic detail, yes.

25 Q And during questioning Mr. Neal had a

1 question to you about the Ogallala formation, do you recall  
2 that?

3 A Yes, I do.

4 Q What's the average depth of the Ogallala  
5 in this area?

6 A Approximately 300 feet.

7 Q And what is the proposed injection depth  
8 in this well?

9 A We're looking at a depth of 12,038 feet,  
10 top.

11 MR. PEARCE: Nothing further,  
12 Mr. Chairman, thank you.

13 MR. LEMAY: Thank you, Mr.  
14 Pearce.

15 Additional questions of the  
16 witness?

17 MR. BROSTUEN: I have some.

18  
19 QUESTIONS BY MR. BROSTUEN:

20 Q Mr. Hamner, I'd appreciate it if you  
21 could discuss the tracer survey, how it was performed, the  
22 testing that was involved in that, injection rate and pres-  
23 sures, and so on and so forth.

24 A Okay I can start off by -- would you like  
25 me to explain a little bit what the tracer survey is or just

1 how it was conducted?

2 Q I understand tracer surveys, perhaps,  
3 unless --

4 A Okay.

5 Q -- you want to go into that.

6 A No, that's okay. The specific test that  
7 was done on this well was done by bringing water out on lo-  
8 cation. Basically, we had essentially 200 barrels of fluid,  
9 produced fluid which came from the subject unit which we  
10 have depicted on the map there.

11 We took that fluid and we pumped it down  
12 the wellbore. We had a tracer log after a period of time of  
13 pumping, where you gain stable rates and pressures. We ran  
14 the tracer tool downhole. Basically it's operated, as you  
15 know, by emitting small radioactive slugs and checking with  
16 the tool, which is essentially a gamma ray tool, and looking  
17 into where the formation indicates radioactively hot, is  
18 showing where the fluid is going.

19 This was done up and down the wellbore  
20 and we have determined from that analysis that the fluid is  
21 entering from 12,038 through the 96 feet, 58 feet.

22 Q So you injected essentially -- you injected  
23 essentially 200 barrels of fluid, is that correct?

24 A That's correct and --

25 Q -- with a radioactive tracer?

1           A           That's correct.

2           Q           Into -- and your indications were that  
3 all of the fluid was going into the upper dolomitized zone  
4 immediately below the base of the casing.

5           A           Yes, sir, that's correct.

6           Q           Would you expect that if you had injected,  
7 say, a larger quantity, increasing pressures, that your  
8 tracer survey would have come out somewhat differently?

9           A           That, that could be a possibility, yes,  
10 sir.

11          Q           That the results of, say, a larger test,  
12 as far as volumes of pressure were concerned would indicate  
13 that the lower intervals would take liquid.

14          A           That is a distinct possibility.

15          Q           And under the injection that you're proposing  
16 to do, that would be a strong likelihood with the  
17 disposal of the fluids and the volumes you're proposing to  
18 use?

19          A           We ran the, if I may, we ran the test  
20 that we have information on the board here at 5 barrels a  
21 minute. What we're looking at, essentially, for an average  
22 rate, would equate to approximately 7 barrels a minute, so  
23 in fact they are very, very close to what we expect to operate  
24 at, and that's essentially why we ran the test that way.

25          Q           Mr. Hamner, that's correct. Would you  
expect, though, as the pressures were increased in the

1 reservoir, in the event, well, as your pressures in the up-  
2 per interval which would be taking fluids were to increase,  
3 then your fluid would begin to move downhole and there could  
4 be a crossflow?

5 A Yes, sir, I think that's very possible.

6 MR. BROSTUEN: Thank you very  
7 much.

8

9 QUESTIONS BY MR. LEMAY:

10 Q To follow up a little bit, Mr. Hamner,  
11 on that tracer survey, would you inject under pressure or  
12 does that take it on a vacuum?

13 A As I said, we tried to simulate the  
14 operating conditions that we expected for our average  
15 volumes and we essentially had, I think, basically, about 50  
16 pounds pressure. The well is essentially taking the fluid  
17 on vacuum and we -- we tried, as I say, we tried to  
18 simulate the conditions that we expected to operate under  
19 average conditions, and see what would happen in the  
20 wellbore environment under that condition.

21 Q One other question, on your Exhibit  
22 Number Eleven you show total operating expense. Do you have  
23 a period of time?

24 A Yes, sir, that's basically over a ten  
25 year period.

1 Q Do you consider that pretty much the life  
2 of your North Vacuum Abo Unit or -- or just a dollar  
3 discounted past period of time.

4 A We ran this particularly on just flat  
5 prices. We did no escalations. It is a flat price  
6 scenario. It was done over ten years. That was what we  
7 felt was the best of our ability to predict the water  
8 volumes that we would be producing from the Abo and from the  
9 San Andres, and that's the reason why we stopped at ten  
10 years.

11 Q I might ask you, do you have any  
12 alternative plans assuming increased pressure in this zone?  
13 I understand there's been no withdrawal from the zone, is  
14 that correct, to your knowledge?

15 A Not to my knowledge.

16 Q So you've got maybe virgin zone and it's  
17 an extensive zone, I assume, because it's Devonian. By  
18 injecting volumes, have you got a pressure which you do not  
19 want to exceed for certain -- for safety reasons? I think  
20 it was testified that 2390 pounds was the maximum pressure  
21 that you expected to inject at?

22 A Yes, sir, that's basically going with the  
23 0.2 psi rule that's followed by Commission standards.

24 Q With the wells that are surrounding this  
25 unit, what -- excuse me, the Devonian wells in the area, you  
have other choices, too, in terms of injecting fluid, or do

1 you plan to keep this as your disposal well, or are there  
2 contingency plans to use other wells in the area of this  
3 well?

4 A We are -- we are looking at, hopefully,  
5 if we can achieve this well, additionally there's another  
6 wellbore on the same lease, the State 27 lease. It's an-  
7 other well which is not TD'ed as deep in the Devonian. That  
8 is, that is one possibility, is to use that wellbore for ad-  
9 ditional disposal capacity.

10 Basically, the reason that we are coming  
11 so far away, as depicted on the map of the North Vacuum Abo  
12 and the unit outline, is that we had tried at a very expen-  
13 sive cost to put water in the Devonian. We were unsucces-  
14 ful.

15 We tried, and we do operate, the Bridges  
16 State Well No. 511, which is a disposal well in the lower  
17 Grayburg. The well is very marginal, it takes about 500  
18 barrels a day, so we have no options in operating a well, a  
19 disposal well, within the North Vacuum-Abo Unit outline. We  
20 had to go elsewhere. Do you have any logs at all on the  
21 cement job you have on this well and indications that you  
22 got a good cement job?

23 A We don't have a bond log or any of the  
24 typical cemnt bond logs that were run through the long cas-  
25 ing string, no, not to my knowledge.

1 MR. LEMAY: Additional ques-  
2 tions of the witness?

3

4

RECROSS EXAMINATION

5

BY MR. NEAL:

6

7

8

Q May I ask, for my education, the 2390  
pounds, why would you ask for that if you're not intending  
to use it?

9

10

11

12

A We were just labeling it as the maximum,  
just solely because it is the 0.2 psi per foot maximum. We  
do not intend by any means to go to that pressure,  
hopefully.

13

14

15

Q All right. Would you have any objection,  
then, if the Commission, if it approved it, to reduce that  
pressure down to, say, 800 pounds, or 500 pounds?

16

17

A Personally I have no objection. That's  
someone else's decision.

18

19

20

Q What is the effect when you get -- to  
these salt water disposal wells -- when you have to operate  
in the 2000/2300 pound range?

21

A What is the effect?

22

Q Yes. How does the water get in?

23

24

25

A It's -- it's -- if you operate at that  
pressure, I would presume that since the well is on vacuum  
now, there would be some pumping apparatus that would be

1 used to get the water in the wellbore.

2 Q Do you have any pumping cost or anything  
3 like that involved in the Exhibit Eleven?

4 A Not for the -- not for the scenario that  
5 you're speaking of.

6 Q All right. Now, is this line going to  
7 gravity flow or will it require to be pumped?

8 A There's very (not understood) difference  
9 that will give it a head. At the Vacuum Devonian South  
10 Field there will be pumps that will be run to transfer the  
11 water at the rates we desire, that's correct.

12 Q But it will -- basically it's gravity  
13 flow, then.

14 A That's -- that's correct.

15 MR. NEAL: Thank you.

16 MR. LEMAY: Mr. Pearce?

17 MR. PEARCE: Very briefly, if  
18 I may, Mr. Chairman.

19

20 REDIRECT EXAMINATION

21 BY MR. PEARCE:

22 Q Mr. Hamner, I'd like for you to turn with  
23 me in Exhibit Number Nine to the section denominated Roman  
24 Numeral III. Are you with me?

25 A Yes, I am.

1 Q I'm looking at III-A.-Sub Part 2., and I  
2 find that a temperature survey was apparently run to deter-  
3 mine the top of cement in these wells.

4 A Yes.

5 Q All right. Mr. Hamner, are you aware of  
6 why the Commission has historically adopted the 0.2 psi per  
7 foot standard for injection wells?

8 A Not specifically, no, I'm not.

9 MR. PEARCE: I don't have  
10 anything further, Mr. Chairman.

11 MR. NEAL: My I ask one more  
12 question?

13

14 RE CROSS EXAMINATION

15 BY MR. NEAL:

16 Q The cementing program that you've  
17 outlined on III-A-2. of the exhibit, was something that was  
18 done back in 1958 or later, or earlier.

19 A To the best of my -- to the best of my  
20 knowledge it was done when the well was originally  
21 completed.

22 Q But not since 1988 but when the original  
23 well was drilled and completed --

24 A Yes, I believe --

25 Q -- whenever that was.

1           A           That's right, 1959, yes.

2           Q           But in response to Mr. -- the Commis-  
3 sioner, there has not been any recent cement survey made.

4           A           Not to my knowledge.

5           Q           Thank you.

6                       MR. PEARCE:   Nothing further,  
7 Mr. Chairman.

8                       MR.        LEMAY:       Additional  
9 questions of the witness?

10                      If not, he may be excused.

11                      Do you have any additional  
12 witnesses, Mr. Pearce?

13                      MR. PEARCE:   No, Mr. Chairman.  
14 I have nothing further at this time.

15                      MR.    LEMAY:       Let's take a  
16 fifteen minute break and return and we can hear a little bit  
17 of the other side.

18                      MR. NEAL:   We won't take long.

19

20                      (Thereupon a recess was taken.)

21

22                      MR.    LEMAY:       Shall we resume?  
23 Mr. Comeau? Mr. Neal?

24                      MR. NEAL:   Mr. Chairman, I'd  
25 like to call Mr. Squires.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

LARRY SQUIRES,

being called as a witness and being duly sworn upon his  
oath, testified as follows, to-wit:

DIRECT EXAMINATION

BY MR. NEAL:

Q You are Larry Squires, the President of  
Snyder Ranches, and you've filed a protest to the Mobil ap-  
plication, is that correct?

A That's correct.

Q Now, Mr. Squires, I direct your attention  
to what has been marked Mobil's Exhibit Eight and ask you if  
you're familiar with the Vacuum Devonian South Field area  
and the North Vacuum Abo Unit?

A Yes, I am.

Q And is a portion of the south field on  
your operating ranch?

A Yes, it is.

Q That's the area designated as the Vacuum  
Devonian South Field?

A Yes.

Q On Exhibit Eight?

A Yes, that's right. That area is about 95  
percent within our ranch boundary.

1 Q Do you own in fee the surface of the  
2 northwest quarter of the northwest quarter of Section 26?

3 A Yes, I do.

4 Q Is that subject to an oil and gas lease  
5 that you recently executed?

6 A Yes.

7 Q Have you at any time consented for Mobil  
8 to use any part of your property that is situated in the  
9 northwest/northwest of 26 for any purpose?

10 A I have not consented. They have never  
11 asked.

12 Q You did give permission for them to make  
13 a survey, I believe.

14 A Yes. Their engineer asked to sample our  
15 water well in the area and I said certainly, go right ahead.

16 Q At this time are you consenting to the  
17 use of any of your property for any purpose?

18 A No, I am not.

19 Q When I say "your property" we're talking  
20 about the deeded property.

21 A That's -- that's correct.

22 Q The other property in the area is State  
23 lands?

24 A That's correct.

25 Q And you have a state grazing lease.

1           A           That's correct.

2           Q           And did you make an objection to Mobil  
3 for using the State lease, using this property without per-  
4 mission from the Land Commissioner?

5           A           I certainly did. As I understand it,  
6 they, prior to operating a salt water disposal well, they  
7 must apply to the Land Commissioner and get a salt water  
8 disposal lease even for the use of the surface.

9           Q           Now, to the northwest of the area reflec-  
10 ted in Exhibit One, are you familiar with any drilling of  
11 any wells, wells with waterflows?

12          A           Yes, I am.

13          Q           Where was that located?

14          A           The well that I'm familiar with is the  
15 well that Blanks Energy drilled approximately a mile and a  
16 half northwest of this area in December of 1985.

17          Q           What transpired at that point?

18          A           They encountered a waterflow somewhere  
19 within the salt section, as I -- and that flow flowed a six-  
20 inch stream of water for better than ten days continuously.

21                   They filled about a 10-acre buffalo wal-  
22 low or depression or lake, as you might want to call it, and  
23 there was water trucks hauling water from that area for at  
24 least ten days, day and night.

25          Q           Now, that particular location is not

1 within the North Vacuum Abo Unit, is it?

2 A No, it is not.

3 Q So that there are other areas that have  
4 been -- from an underground pressure water standpoint --  
5 that have developed other than in the North Vacuum Field.

6 A That is correct.

7 Q When that water gets away from the  
8 waterflow, it goes on the surface.

9 A That's correct.

10 Q And that's damaging to the land.

11 A Yes, it is. It destroys the land.  
12 Union's disposal well down in Section 35 in this area here,  
13 back in 1958 or '59, they had a break in their salt water  
14 disposal well in their line or some accident occurred, and  
15 it's been a good thirty years and there's still no cover.  
16 The land is still denuded from this water.

17 Q In addition to owning the surface in  
18 Section 26, you also own the minerals.

19 A In the northwest of the northwest of  
20 Section 26 Snyder Ranches, Incorporated, is surface owner  
21 and mineral owner.

22 Q And have you given Mobil any permission  
23 to change any characteristic of any type on the surface or  
24 on the minerals of that particular 40?

25 A No, I have not. Hanley Petroleum

1 presently has that 40 acres leased.

2 MR. NEAL: I pass the witness.

3 MR. LEMAY: Mr. Pearce?

4  
5 CROSS EXAMINATION

6 BY MR. PEARCE:

7 Q Mr. Squires, if I may, I want to be sure  
8 I understand what Blanks' well you're talking about. I find  
9 a well denominated the Blanks Energy No. 1 Atlantic Rich-  
10 field, and then it says 401 Lee State, which appears to be  
11 located in the northeast quarter of Section 21. Is that the  
12 well you're talking about that had the flow?

13 A I'm not sure whether that was the well or  
14 not. The well is just off of my ranch about a half a mile  
15 into my neighbor's ranch and I wasn't nearly as concerned  
16 with it as I would have been if it was in my ranch.

17 Q Well, is your ranch Section 22?

18 A Certainly is.

19 Q You said that you had leased your miner-  
20 als underlying the northwest quarter of the northwest quar-  
21 ter of Section 27 to Hanley Petroleum, is that correct?

22 A No, it's not correct. It's northwest-  
23 northwest of Section 26.

24 Q I'm sorry, I apologize, thank you, sir.  
25 That is correct, it's Hanley Petroleum?

1 A Right, Hanley Petroleum.

2 Q When did you enter into that lease with  
3 Hanley?

4 A I don't recall, about a year ago.

5 Q And have they drilled on that lease?

6 A No, they haven't drilled on it but I  
7 drilled on it once.

8 Q I see in the northwest/northwest of 26 a  
9 well denominated the Sharp No. 1 Snyder Ranch, TD 4600. Is  
10 that the well you drilled?

11 A Yes, sir, that's the well we drilled.

12 Q When did you drill that well?

13 A I don't recall. It's been about three  
14 years ago. We tested the Queen, Queen formation in that  
15 area, and we found it to be tight.

16 At that time we considered going on and  
17 checking the San Andres but we were advised by some Texaco  
18 people that we might encounter an extensive waterflow, so we  
19 plugged and abandoned the well.

20 Q And when we were discussing the Blanks  
21 Energy well, I believe you testified that the waterflow out  
22 of that well was from the salt section, is that correct?

23 A All I know is the rancher was standing  
24 there and I saw millions of gallons of water being de-  
25 posited. I'm not sure what formation it came from.

1                   That well now is operated by Maralo as a  
2 salt water disposal well, I do know that.

3                   There is a salt water disposal well oper-  
4 ated by ARCO about the same location there, too, and as I  
5 understand it, ARCO is putting water in the San Andres for-  
6 mation in that area and Maralo is putting water in the 10-  
7 11,000 foot range.

8                   But we're very concerned that the Commis-  
9 sion would allow water or that anybody would want to pump --  
10 pound water in the ground in an area that's had that kind of  
11 history.

12               Q               Do you know how long ARCO has been oper-  
13 ating their disposal well in that area?

14               A               Years and years and years.

15               Q               And if you indicate --

16               A               Sinclair used to operate it. It was pri-  
17 marily Sinclair that started it and then they changed their  
18 name to ARCO.

19               Q               Okay. If you indicated to me, I didn't  
20 catch it, and I'm sorry, do you know what zone that ARCO  
21 well --

22               A               I think it is the San Andres but not  
23 being a geologist, I can't say. I guess I don't know for  
24 sure.

25               Q               You -- you said, as I understood your

1 testimony, that aboaut 95 percent of the Vacuum Devonian  
2 South Field is overlain by -- by your ranch, is that --

3 A That's correct.

4 Q Are there other lands reflected on Mobil  
5 Exhibit Number Eight which are overlain by your ranch?

6 A Well, I'd have to get my ranch map and  
7 draw it on that map to make sure, but since I don't have  
8 that map with me, I'm not sure.

9 Most of that land with the pipeline on is  
10 -- our north boundary is approximately in this area here.

11 MR. PEARCE: He is indicating a  
12 line, the intersection of 18 South and 19 South as being the  
13 northern boundary of his ranch, approximately.

14 A Yes.

15 Q Okay. How do you -- can you give me an  
16 indication of what the western boundary of the ranch is?

17 A A mile west of this Buckeye Road.

18 Q I'm sorry, I'm not familiar enough --

19 A The highway on down here --

20 Q -- to know. Are you roughly where the  
21 Buckeye --

22 A If I could have one of these other exhi-  
23 bits, I could tell you exactly where it was.

24 Q Oh, I'm told that possibly this structure  
25 map, Mobil Exhibit One, shows the road. I don't know

1 whether it does or not. Let's uncover it.

2 A This is highway right here.

3 MR. PEARCE: For the record,  
4 there is a double solid -- solid line with approximately an  
5 eighth of an inch of space between them reflected on Exhi-  
6 bit Number One, which apparently is the Buckeye Highway.

7 A That's correct. Our ranch boundaries are  
8 north and south along this section line up to this point.  
9 Then goes 4 or 5 miles to the west along this section line.

10 Q Okay. Were you present, Mr. Squires,  
11 when there was some testimony about the economics of salt  
12 water disposal?

13 A Yes, I was present.

14 Q And did you look at what was marked as  
15 Mobil Exhibit Number Eleven, which summarized possible dis-  
16 posal alternatives?

17 A Yes.

18 Q And the least costly disposal alternative  
19 reflected on that exhibit was the proposed injection well  
20 and pipeline?

21 A That's correct.

22 Q Do you recall what the second most least  
23 -- second least costly disposal alternative was?

24 A Certainly. Dispose at permitted surface  
25 disposal.

1 Q Where is the closest permitted surface  
2 disposal facility to the North Vacuum Abo Unit?

3 A I would imagine that the Laguna Gatuna  
4 Salt Water Disposal Lake would be the closest.

5 Q Approximately how far is that?

6 A Fifteen miles, as the crow flies; twenty,  
7 somewhere in that range.

8 MR. PEARCE: Okay, one moment,  
9 please, Mr. Chairman. If you'll excuse me, Mr. Squires.

10 Nothing further, Mr. Chairman,  
11 thank you.

12 Thank you, Mr. Squires.

13 MR. NEAL: If the Commission  
14 please, may I ask one question? I apologize, I'll need one  
15 question, Mr. Chairman.

16 MR. LEMAY: I understand.

17 MR. NEAL: Most lawyers make  
18 that statement sooner or later.

19 MR. LEMAY: At least one.

20

21 REDIRECT EXAMINATION

22 BY MR. NEAL:

23 Q Mr. Squires, were you present when there  
24 was any testing going on in this proposed location -- well  
25 for disposal?

1 A Yes, I was.

2 Q And was that during their injection of  
3 some water into the -- a formation?

4 A Yes.

5 Q What, if anything, did you observe?

6 A Well, I observed they had several frac  
7 tanks there and they had a triplex pump hooked up and hooked  
8 up the wellhead and are pumping water, and the pump man that  
9 was there with it, I inquired to him as to how much pressure  
10 it was taking to put -- to take the fluid in the well and he  
11 said it had been averaging between 480 to 500 pounds; that  
12 it was taking 10,000 barrels a day, and they were testing  
13 the well, and it was taking the water at about 500 pounds.

14 Q There was no indication of it being on a  
15 vacuum; it was being pumped?

16 A Oh, no, sir, there was not.

17

18 RECROSS EXAMINATION

19 BY MR. PEARCE:

20 Q Very briefly, if I may touch on that same  
21 area, Mr. Squires.

22 When you observed this testing being con-  
23 ducted, have you asked anyone to make calculation of the  
24 amount of pressure it would take to overcome the friction in  
25 the wellbore?

1           A           Yes, I have.

2           Q           And what --

3           A           It was indicated --

4           Q           -- what was the friction pressure?

5           A           It was indicated to me that they had 3-  
6 inch pipe in it and they planned to put 4-1/2-inch pipe in  
7 it and they expected it to go on a vacuum, but as I under-  
8 stood the earlier testimony, that the testing went on a  
9 vacuum and it wasn't on a vacuum when I was there.

10           Q           I'm sorry, that -- that approaches what  
11 I'm getting to.

12                       Of the 400 to 500 pound pressure that you  
13 were told was being done during the testing, do you know how  
14 much of that pressure resulted from friction in the pipe  
15 during that injection test?

16           A           I was told that it was all a result of  
17 it.

18                       MR. PEARCE:   Nothing further,  
19 Mr. Chairman. Thank you.

20                       MR. LEMAY:   Additional ques-  
21 tions of the witness?

22

23 QUESTIONS BY MR. BROSTUEN:

24           Q           Mr. Squires, I'm still trying to deter-  
25 mine the location of the well that you mentioned had flowed,

1 drilled by -- what's the name of the company?

2 A Blanks Energy?

3 Q Yes. Could you show me --

4 A I think I --

5 Q -- where that was?

6 A -- can show the right well, but --

7 Q Is that the well in the northwest of the  
8 northeast quarter of Section 21? The No. 1 Atlantic Rich-  
9 field 401 Lee State that was mentioned earlier or --

10 A I'm trying to determine. I know where it  
11 is from our north fence. It was -- I believe it is, yes,  
12 sir, I believe it's this well right here in Section 21.

13 Q Thank you. That's all I have.

14 MR. LEMAY: If there are no  
15 further questions, the witness may be excused.

16 MR. NEAL: Mr. Comeau will  
17 present the last witness.

18 MR. COMEAU: We'll call John  
19 Shomaker.

20 Mr. Shomaker has been sworn.

21  
22 JOHN SHOMAKER,  
23 being called as a witness and being duly sworn upon his  
24 oath, testified as follows, to-wit:  
25

## DIRECT EXAMINATION

BY MR. COMEAU:

Q Would you state your full name and address, sir?

A My name is John W. Shomaker. My business address is 3236 Candelaria, Northeast, Albuquerque.

Q And what is your occupation?

A I'm a consulting hydrogeologist.

Q Can you tell me what a consulting hydrogeologist does?

A Yes, sir, he studies and interprets the movement of water in the ground.

Q Could you briefly summarize your academic background, please, Mr. Shomaker?

A Yes, sir. I have a Bachelor's degree in geology from the University of New Mexico and a Master's degree in geology from the University of New Mexico; a Master's degree in liberal arts from St. John's College; and a Master's degree in hydrogeology from the University of Birmingham in England.

Q And how long have you been a consulting hydrogeologist?

A Since 1973.

Q All right. Since your original graduation from college, could you briefly summarize your work ex-

1 perience for us, please?

2 A Yes, sir. I was a hydrologist for the  
3 United State Geological Survey from 1965 until 1969; a geol-  
4 ogist for the New Mexico State Bureau of Mines and Mineral  
5 Resources from 1969 until 1973.

6 Q And since you became a consulting hydrol-  
7 ogist, could you describe the natuare of your work?

8 A Yes, sir. I've done a variety of ground-  
9 water investigations having to do with water rights, ground-  
10 water contamination problems, and problems related to  
11 groundwater flow.

12 Q Have you published in the field, sir?

13 A Yes, I have.

14 Q Could you tell us approximately how many  
15 articles?

16 A I think 28 articles, of which 7 have to  
17 do with groundwater and somewhat over 40 technical reports  
18 in public records on groundwater subjects.

19 Q In publications or in various profession-  
20 al journals?

21 A Yes, or in the public record.

22 Q And are you a member of various  
23 professional organizations relating to your occupation?

24 A Yes, I am.

25 Q Have you been accepted as an expert

1 witness in various court and administrative proceedings in  
2 New Mexico, including proceedings before the Oil Conserva-  
3 tion Commission?

4 A Yes, I have.

5 MR. COMEAU: Mr. Chairman, I  
6 would tender Mr. Shomaker as an expert in hydrogeology.

7 MR. LEMAY: His qualifications  
8 are acceptable.

9 Q Mr. Shomaker, what were you asked to do  
10 in connection with this Mobil application for a salt water  
11 disposal well?

12 A I was asked to review the application and  
13 form an opinion as to whether groundwaters would move onto  
14 the lands of Snyder Ranches as a result of the injection of  
15 waters as contemplated in the application.

16 Q And were you able to form an opinion?

17 A Yes, sir, I have formed an opinion.

18 Q Okay, could you tell us what that opinion  
19 is.

20 A Yes, sir, I believe there's a strong  
21 probability that water is going to move across the bound-  
22 aries of Snyder Ranches lands into those lands.

23 Q As a result of Mobil's injection of salt  
24 water?

25 A Yes.

1 Q Now you heard the testimony, did you not,  
2 of Mr. Whelan to the effect that there is a fault which bi-  
3 sects the northwest quarter northwest quarter of Section 26.

4 A I heard Mr. Whelan's testimony.

5 Q And I take it it's your opinion that  
6 there is no real question that salt water -- or that water  
7 will migrate onto the Snyder Ranches lands that are south-  
8 west of the fault.

9 A It's my belief that that's the case.

10 Q All right. Do you have any opinion or  
11 any view as to whether waters will migrate onto Mr. --  
12 Snyder Ranches lands that are northeast of the fault?

13 A It's my opinion that there's a strong  
14 probability that pressures will increase on the northeast  
15 side of the fault and that the increase in pressure will re-  
16 sult in hydraulic gradient -- a change in hydraulic gra-  
17 dients that will cause waters to move onto the Snyder Ranch  
18 lands.

19 MR. COMEAU: That's all I have  
20 of this witness.

21 MR. LEMAY: Thank you, Mr.  
22 Comeau.

23 Mr. Pearce?

24 MR. PEARCE: One moment, Mr.  
25 Chairman.

## CROSS EXAMINATION

BY MR. PEARCE:

Q Mr. Shomaker, very briefly, we've heard some testimony about some other injection wells in the area of the proposed injection. Do you remember when there was some discussion about it?

A I've heard the testimony, yes.

Q In the course of your study in preparing for this matter, did you investigate any of those other injection wells in the vicinity?

A No.

Q You do not -- am I correct in assuming from that answer that you do not have any information with regard to the current salt water disposal well located in the southeast quarter of Section 35, is that correct?

A That's correct.

Q You do not know anything about rates of injection or injection pressures in that well?

A That's right.

Q You do not know how long that well has been used as an injection well?

A That's correct.

Q You were present when Mr. Squires testified that there are two injection wells currently in the northeast quarter of Section 21, is that correct?

1           A           I heard Mr. Squires' testimony, yes.

2           Q           Would your answers be the same with re-  
3   gard to information on the injection rates and injection  
4   pressures on those two disposal wells?

5           A           Yes, sir.

6           Q           Do you know what zones any of those three  
7   wells inject into?

8           A           No, sir, I don't.

9           Q           Do you have any information available to  
10   you which would indicate that any fluid injected into any of  
11   those wells has migrated out of zone during the course of  
12   injection over their lives?

13          A           No, sir, I don't.

14          Q           Have you gathered any information with  
15   regard to the water production rates of any of the wells in  
16   the Vacuum Devonian South Field?

17          A           No, sir.

18          Q           You indicated that you had come to a con-  
19   clusion, I believe, that over the course of time, and please  
20   correct me because it's important for me to understand what  
21   you said, that pressure would build up in the injection zone  
22   if this well was allowed to be used as an injector and in  
23   your opinion would force the migration of fluids across that  
24   fault? Did I understand you to say that?

25          A           I believe my testimony was that I believe

1 that pressures would rise on the opposite side of the fault  
2 as well as on the side of the fault which contains the in-  
3 jection well. That would imply that some fluids would move  
4 across the fault.

5 Q Do you have any indication of --

6 MR. LEMAY: John, we can't hear  
7 you. Can you speak up a little?

8 MR. BROSTUEN: Would you repeat  
9 the last question and his response?

10 Q I am asking you with regard to your con-  
11 clusion about whether or not if the proposed disposal is  
12 used as an injection well, whether or not fluids would cross  
13 the fault.

14 Your response was, please?

15 A I believe my answer was that I think the  
16 pressures would rise on both side of the fault, which would  
17 imply, I believe, some movement of fluids across the fault.  
18 I think my testimony was to the effect that I believe there  
19 would be an increase in pressure on the northeast side of  
20 the fault and that in turn would -- would induce an  
21 increase in hydraulic gradient toward the Snyder Ranch  
22 lands.

23 Q Have you made any investigation or  
24 calculation so that you can indicate to us at what point  
25 that hypothesized result might occur?

1 A No, sir, I have not.

2 Q Have you made any study or calculation to  
3 determine how much fluid would need to be injected into the  
4 porposed disposal well to have that result?

5 A No, sir.

6 Q Have you made any study to indicate to  
7 you what pressure increase would result in the Vacuum South  
8 Devonian Field from any particular quantity of disposed  
9 fluids put into the injection well?

10 A No, sir.

11 Q You cannot indicate to the Commission or  
12 anyone else whether or not there would be a pressure effect  
13 in the Vacuum South Devonian Field, for instance, from the  
14 injection of 10,000 barrels of fluid?

15 A I have not made any calculation on it.

16 Q Have you made any calculation as to any  
17 other quantity of fluid hypothesized to be injected into  
18 that well and the resulting pressure?

19 A No, I haven't.

20 Q Mr. Shomaker, you have testified that you  
21 have written a number of papers and reports. Did any of  
22 those papers or reports deal with the Devonian formation or  
23 similarly situated deep zones?

24 A I don't recall that any of them had to do  
25 with the Devonian. There have been reports dealing with

1 deep zones, yes.

2 MR. LEMAY: What? I can't hear  
3 you.

4 A There have been reports dealing with deep  
5 zones but not with the Devonian, as such.

6 Q In the course of preparing for this hear-  
7 ing did you review the Roswell Geological Society report  
8 which was introduced as Exhibit Five to this proceeding?

9 A Yes, sir, I did.

10 Q Prior to this hearing, then, you were  
11 aware of where that particular report hypothesized that  
12 fault to be found, is that correct?

13 A Yes, I was.

14 Q Did you attempt to verify the location of  
15 that fault as shown on that exhibit?

16 A No, sir, I did not.

17 MR. PEARCE: One moment, please,  
18 Mr. Chairman.

19 Q Mr. Shomaker, in the course of your pre-  
20 paration for this hearing have you reviewed any well logs of  
21 any wells in this area?

22 A No, sir.

23 Q Have you made any calculations, esti-  
24 mates, or reviewed any data which would indicate the expected  
25 porosity and permeability expected to exist in the Devon-

1       ian    formation in this area?

2                   A                I've reviewed the information that's    in  
3       the    Roswell Geological Society publication and the informa-  
4       tion that's in the application.

5                   Q                Any other information you reviewed?

6                   A                No, sir.

7                   Q                Mr. Shomaker, do you have any information  
8       available   to you other than has been discussed by the wit-  
9       nesses at today's hearing to indicate whether or not a pro-  
10      posed   injection zone in the State Section 27-2 Well is off-  
11      set by permeable or impermeable zones on the downthroun side  
12      of the fault?

13                  A                I think it's a good geological   inference  
14      that    there   are other permeable zones and the fault may not  
15      offset precisely the same zones opposite each other through-  
16      out its length. In other words, I think there's a probabil-  
17      ity that other permeable zones may be offset against the in-  
18      jection zone and I also think it's reasonable to believe  
19      that once injection begins other permeable zones along the  
20      southwest side of the fault may experience an increase in  
21      pressure.

22                  Q                Have you done any log analysis in any  
23      wells in this area to determine whether or not those porous  
24      zones in the injection well are offset by porous or non-  
25      porous zones across the fault?

1 A No, sir.

2 MR. PEARCE: Nothing further,  
3 Mr. Chairman, thank you.

4 Thank you, Mr. Shomaker.

5 MR. LEMAY: Mr. Pearce.

6 Mr. Comeau?

7 MR. COMEAU: Just a couple of  
8 things, Mr. Chairman.

9

10 REDIRECT EXAMINATION

11 BY MR. COMEAU:

12 Q Mr. Shomaker, you recall Mr. Pearce ask-  
13 ing you whether you had done any studies or made any calcu-  
14 lation of injection rates and pressures in order to form  
15 your opinion. Do you recall that?

16 A Yes.

17 Q And do you recall that you answered no?

18 A Yes, sir.

19 Q Were -- was it necessary for you to make  
20 any of those studies or calculations in order to form your  
21 opinion?

22 A No, sir. I believe that -- that it's  
23 quite reasonable that increase in pressure is required to  
24 inject 9000 barrels a day, given the permeabilities that are  
25 indicated from the application.

1                   For that reason I believe it's reasonable  
2 to assume that some increase in pressure at the injection  
3 well will be required.

4                   Q           So the information you relied on is the  
5 same information that Mobil has provided to the Commission.

6                   A           The information I relied upon is the in-  
7 formation that was in the application they have in the exhi-  
8 bit that was submitted.

9                   MR. COMEAU: That's all.

10                  MR. LEMAY: Additional questions  
11 of the witness?

12                  MR. PEARCE: Nothing, Mr.  
13 Chairman. Thank you.

14                  MR. LEMAY: If there is nothing  
15 further, you may be excused.

16                  MR. NEAL: He was the last wit-  
17 ness. We have no closing.

18                  MR. LEMAY: Anything further in  
19 Case 9337?

20                  Any statements?

21                  MR. PEARCE: I would like to,  
22 if may, Mr. Chairman, just a moment, please.

23                  MR. LEMAY: Do you want to do  
24 some closing statements?

25                  MR. NEAL: I'll waive if he'll

1 waive. If he talks, I'll come on after him.

2 MR. PEARCE: I'm going to talk,  
3 Mr. Neal.

4 MR. NEAL: I want to talk.

5 MR. LEMAY: Do you want to talk  
6 second, Mr. Neal? Are orders important or not?

7 MR. NEAL: Well, I think he  
8 goes first. He's (unclear).

9 MR. LEMAY: Mr. Pearce.

10 MR. PEARCE: Thank you, Mr.  
11 Chairman. Commissioners, we're before you today seeking  
12 approval of a routine application for disposal of produced  
13 water into a nonproductive zone.

14 That productive zone is at a  
15 depth of more than 12,000 feet, separated by some 11,700  
16 feet from the fresh water zone that has been discussed  
17 today.

18 Mobil seeks to transport that  
19 water from another area, which it believes needs to have  
20 some relief.

21 Mobil proposes to inject this  
22 water at a very low pressure if at all.

23 Mobil's study, the study of the  
24 Roswell Geological Society, the seismic data purchased by  
25 Superior Oil, the velocity survey purchased by Superior Oil,

1 all indicate a major fault to the northeast of the proposed  
2 injection well with a throw of some 350 feet.

3 An analysis of the logs of the  
4 wells in this area indicate stratification with  
5 impermeable dolomites and impermeable limestones and two  
6 porous zones of dolomite.

7 One of those zones we know was  
8 sealed because it was an oil trap and it is up against that  
9 fault.

10 The other of those zones is the  
11 projected injection zone.

12 We have demonstrated to you  
13 that if you look at the logs and if you take the throw of  
14 that fault, that proposed injection zone is offset by  
15 impermeable rock as well as a sealing fault, which has been  
16 demonstrated to exist by the oil production in the area.

17 Mobil has done tests to  
18 demonstrate to you the exact part of the formation in which  
19 the water will enter. That is a zone from 12,038 to 12,096  
20 feet. That test was conducted under conditions very similar  
21 to the average injection conditions at which Mobil will be  
22 operating this well.

23 There has been some discussion  
24 of the exact placement of that fault. I'll leave it to the  
25 Commission to determine the accuracy with which that can be

1 determined and the result.

2 We have shown you that the  
3 water can be injected into this Devonian zone; that the De-  
4 vonian zone will take the water. We have demonstrated to  
5 you that approval of this application will result, absolute-  
6 ly will result in the prevention of waste and the conserva-  
7 tion of this state's resources.

8 This Commission exists to ac-  
9 complish those purposes.

10 Mobil therefor requests that  
11 its application to convert the State Section 27-2 Well to a  
12 Devonian salt water disposal well be approved. We request  
13 that the approval in that order provide for a period of six  
14 months from the approval of all right-of-way and easement  
15 and permitting approvals which are necessary to begin.

16 We cannot give you a date cer-  
17 tain. We do not know how long that process will take.

18 After that process is com-  
19 pleted, it will be necessary to secure supplies and arrange  
20 facilities. We therefor ask that the term of time begin at  
21 some reasonable period of time after all necessary approvals  
22 are granted.

23 Thank you, Mr. Chairman, and  
24 Commissioners.

25 MR. LEMAY: One thing, sorry, I

1 do --

2 MR. PEARCE: Mr. Chairman.

3 MR. LEMAY: -- note your Exhi-  
4 bit Eight through Eleven have probably not be admitted into  
5 the record.

6 MR. PEARCE: Mr. Chairman, if  
7 I've neglected to do that, I appreciate your reminding me.

8 I would move the admission of  
9 Exhibits Eight through Eleven.

10 MR. LEMAY: Without objection  
11 those exhibits will be admitted.

12 Thank you, Mr. Pearce.

13 Mr. Neal.

14 MR. NEAL: If the Commission  
15 please, Counsel, in all his (unclear) keeps referring to  
16 this as a very simple salt water disposal application.

17 I am saying to this Commission  
18 that there is no such thing as a simple disposal system.

19 All of us who live in south-  
20 eastern New Mexico and this area of the country are very  
21 concerned about the disposal of waste in relation to our  
22 groundwater, our surface lands, and our underground waters,  
23 and it behooves this Commission to impose much more regula-  
24 tory supervision of the numerous disposal wells in the Per-  
25 mian Basin for the protection of our state lands and our

1 private lands.

2                   One of our fundamental, to my  
3 thinking, and I get red-headed when I talk about this, but  
4 one thing that I think is very important in this case, and  
5 it's our position, doesn't have anything to do with the size  
6 of Mobil, the size of Snyder Ranches, but Snyder Ranches  
7 owns some property, the surface and the minerals, and we are  
8 entitled to keep anybody off of that property without our  
9 consent, and in my judgment, that is the American way.

10                   Now because Mobil, or any other  
11 oil producer, or any other major company, because we are  
12 little, we've got a little bit of property up there that may  
13 not mean anything to them, it's still our property, and  
14 we've got the right to protect it, and that's what we're  
15 doing here today.

16                   We think it's undisputed that  
17 there's going to be an encroachment of some sort on our pro-  
18 perty without our consent, and we're telling you we don't  
19 want you to authorize that, nor do you have the jurisdiction  
20 to do it.

21                   Now if they can keep it off our  
22 property and keep it on the State property, fine, that's be-  
23 tween them and the Land Commissioner. That's not any of our  
24 business, except it's our obligation as a State lessee to  
25 see that we have no surface waste occur, also, which is what

1 we've done.

2 Now, in all -- they tell me and  
3 I see all these exhibits and everything and I would call  
4 your attention to a lawsuit that is presently going on in  
5 Lea County involving a simple salt water disposal well where  
6 the operator saw fit to move some packers and now we have  
7 ruined a producing well and it could very easily have been a  
8 very productive fresh water formation. Mr. Sexton is well  
9 aware of it.

10 And yet they come in and they  
11 say, don't ever worry, where we're going to put this  
12 there's never going to be a problem. In other words, out of  
13 sight, never a problem.

14 We are already -- the reason  
15 they've got to move from where they've been disposing this  
16 water, is because they some way or another they never  
17 thought would happen, they have now contaminated, built up a  
18 pressure that obviously, from somebody's concern, is a prob-  
19 lem or they wouldn't be moving.

20 We'll have, without any really  
21 study in this area, but we do know that there's been some  
22 disposal by other companies in the South Vacuum, the effect  
23 of it we don't know yet, except we do know that they've al-  
24 ready encountered one waterflow. What's their waterflow  
25 going to do, are we going to have another one?

1                   Now, they are -- just because  
2 -- Exhibit Eleven is a good example. We want to do this be-  
3 cause this is the cheapest way. That's their whole story.  
4 That's their whole reason for this pipeline, it's the cheap-  
5 est way. They never gave you any figure, because they  
6 didn't (unclear).

7                   What's their profit figure?  
8 Maybe the second alternative, maybe the third alternative,  
9 is a profitable deal and would have been a reasonable re-  
10 turn. We don't know. They've got those figures but they  
11 didn't see -- didn't produce -- didn't present them.

12                   I'm saying to you that it's  
13 your obligation to the State of New Mexico and the people is  
14 to go further than what's been presented here, protect Sny-  
15 der Ranches little bitty piece of property out here, includ-  
16 ing the minerals, and if they can keep it off of us, that's  
17 between them and the Land Office and the State.

18                   But protect us; we're entitled  
19 to it. Don't authorize an underground risk factor.

20                   And our case is very simple:  
21 This is my backyard. You have not asked me to go on my  
22 backyard. Now you just stay off of it until we get -- con-  
23 sent to it, and that's our whole lawsuit, and we want them  
24 to stay away from us. It's just that simple.

25                   Thank you.

1 MR. LEMAY: Thank you, Mr. Neal.  
2 Additional statements, comments  
3 in the case?

4 The Commission will take it  
5 under advisement.

6  
7 (Hearing concluded.)  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

## C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY  
CERTIFY that the foregoing Transcript of Hearing before the  
Oil Conservation Division (Commission) was reported by me;  
that the said transcript is a full, true, and correct record  
of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION  
STATE LAND OFFICE BUILDING  
SANTA FE, NEW MEXICO

30 March 1988

EXAMINER HEARING

IN THE MATTER OF:

Application of Mobil Producing Texas      CASE  
& New Mexico, Inc. for salt water dis-      9337  
posal, Lea County, New Mexico.

BEFORE: Michael E. Stogner, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Division: Charles E. Roybal  
Legal Counsel for the Division  
Oil Conservation Division  
State Land Office Building  
Santa Fe, New Mexico 87501

For the Applicant:

1  
2 MR. STOGNER Call next Case  
3 Number 9337.

4 MR. ROYBAL: Application of  
5 Mobil Producing Texas & New Mexico, Inc., for salt water  
6 disposal, Lea County, New Mexico.

7 MR. STOGNER: At the  
8 applicant's request this case has been continued to the  
9 Commission hearing scheduled for April 21st, 1988. I  
10 believe that is scheduled to be heard down in Morgan Hall in  
11 this office -- in this building, I should say.

12  
13  
14 (Hearing concluded.)  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

## C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY  
CERTIFY that the foregoing Transcript of Hearing before the  
Oil Conservation Division (Commission) was reported by me;  
that the said transcript is a full, true, and correct record  
of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is  
a complete record of the proceedings in  
the Examiner hearing of Case No. 9337,  
heard by me on 30 May 1988.

Michael H. Hagan Examiner  
Oil Conservation Division

