

1 STATE OF NEW MEXICO
2 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
3 OIL CONSERVATION DIVISION
4 STATE LAND OFFICE BUILDING
5 SANTA FE, NEW MEXICO

6 26 July 1989

7 EXAMINER HEARING

8 IN THE MATTER OF:

9 In the matter of Case 9175 being re- CASE
10 opened pursuant to the provisions of 9175
11 Division Order No. R-8476, which pro-
12 mulgated temporary special rules and
13 regulations for the North Hume-Wolf-
14 camp Pool, Lea County, New Mexico, and

15 In the matter of Case 9354 being re- 9354
16 opened pursuant to the provisions of
17 Division Order Nos. R-8476 and R-8476-A
18 which promulgated temporary special
19 rules and regulations for the North
20 Hune-Wolfcamp Pool, Lea County, New
21 Mexico.

22 BEFORE: David R. Catanach, Examiner

23 TRANSCRIPT OF HEARING

24 A P P E A R A N C E S

25 For the Division: Robert G. Stovall
Attorney at Law
Legal Counsel to the Division
State Land Office Building
Santa Fe, New Mexico

For Santa Fe Energy James Bruce
Operating Partners, L.P.: Attorney at Law
HINKLE LAW FIRM
500 Marquette, N. W.
Suite 740
Albuquerque, New Mexico
87102-2121

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

GARY GREEN

Direct Examination by Mr. Bruce 4

Cross Examination by Mr. Catanach 7

DENNIS BUTLER

Direct Examination by Mr. Bruce 8

Cross Examination by Mr. Catanach 13

GEORGE B. NELSON

Direct Examination by Mr. Bruce 15

Cross Examination by Mr. Catanach 19

E X H I B I T S

Santa Fe Energy Exhibit One, Land Map 5

Santa Fe Energy Exhibit Two, Map 8

Santa Fe Energy Exhibit Three, Structural Map 9

Santa Fe Energy Exhibit Four, Cross Section W-W' 9

Santa Fe Energy Exhibit Five, Calculations 17

Santa Fe Energy Exhibit Six, Calculations 17

Santa Fe Energy Exhibit Seven, Calculations 17

Santa Fe Energy Exhibit Eight, Calculations 17

1 MR. CATANACH: Call Case 9175.

2 MR. STOVALL: In the matter of
3 Case 9175 being reopened pursuant to provisions of Division
4 Order No. R-8476, which promulgated temporary special rules
5 and regulations for the North Hume Wolfcamp Pool, Lea
6 County, New Mexico, including the provision for 80-acre
7 spacing rules.

8 MR. CATANACH: Are there ap-
9 pearances in this case?

10 MR. BRUCE: Mr. Examiner, my
11 name is Jim Bruce from the Hinkle Law Firm in Albuquerque,
12 representing Santa Fe Energy Operating Partners, L. P..

13 We have three witnesses in
14 this case and we would ask that it be consolidated with
15 Case 9354, since they involve the same pool.

16 MR. CATANACH: Okay. At this
17 time we'll call Case 9354.

18 MR. STOVALL: In the matter of
19 Case 9354 being reopened pursuant to provisions of Division
20 Order No. R-8476 and R-8476-A, which promulgated temporary
21 special rules and regulations for the North Hume Wolfcamp
22 -- Wolfcamp Pool, Lea County, New Mexico, including provi-
23 sion for 160-acre spacing units.

24 MR. CATANACH: Are there any
25 other appearances in either one of these cases?

1 You may proceed, Mr. Bruce.

2 MR. BRUCE: Thank you.

3 MR. STOVALL: Want me to swear
4 your witnesses in, Jim?

5 MR. BRUCE: Yes.

6
7 (Witnesses sworn.)

8
9 MR. BRUCE: My first witness
10 is Mr. Green.

11
12 GARY GREEN,
13 being called as a witness and being duly sworn upon his
14 oath, testified as follows, to-wit:

15
16 DIRECT EXAMINATION

17 BY MR. BRUCE:

18 Q Mr. Green, would you please state your
19 full name and city of residence?

20 A My name's Gary Green. I live in Mid-
21 land, Texas.

22 Q And what is your occupation and who are
23 you employed by?

24 A I am employed as a landman by Santa Fe
25 Energy Operating Partners, L.P.

1 Q And have you previously testified before
2 the OCD as a landman?

3 A Yes, I have.

4 Q And are you familiar with the land mat-
5 ters regarding the North Hume Pool?

6 A Yes, I am.

7 MR. BRUCE: Are Mr. Green's
8 credentials acceptable, Mr. Examiner?

9 MR. CATANACH: Yes, sir.

10 Q Mr. Green, what is Santa Fe's position
11 in these hearings?

12 A Santa Fe requests that 160-acre spacing
13 be made permanent for the North Hume Wolfcamp Pool.

14 Q And were both of these cases originally
15 started at the request of Santa Fe Energy?

16 A Yes, they were.

17 Q Referring to Exhibit Number One, would
18 you describe its contents, please?

19 A Exhibit Number One is a land plat, a
20 location map, on a 1-to-1000th scale.

21 Q Okay.

22 A It shows the acreage colored in yellow
23 is the Santa Fe acreage. It identifies the wells in the
24 North Hume Wolfcamp Pool, Santa Fe's wells in the North
25 Wolfcamp Pool. The discovery well in Section 5 was drilled

1 in October of 1986; the NH-35 No. 1 in the southeast quar-
2 ter of Section 35 was drilled in December of '87; the
3 Humble Hume State No. 1 in the southeast quarter of Sec-
4 tion 5, drilled in January of '88, are the three producing
5 wells.

6 Santa Fe has drilled the North
7 -- the NH-5-A State No. 1 over in Lot 11 of Section 5 in
8 May of '88. It's a dry hole.

9 They have drilled the Humble
10 Hume 5-A State No. 1 in the southwest quarter of Section 5.
11 It's a dry hole, was drilled in June of '88.

12 In the southwest quarter of
13 Section 35 they drilled the NH-35 No. 1 in July of '88. It
14 was also a dry hole.

15 Q And for the record, what were Santa Fe's
16 costs for a completed Wolfcamp well in the North Hume Pool?

17 A Approximately \$700,000.

18 Q And were AFEs and other data submitted
19 at prior hearings in this matter?

20 A Yes, they were.

21 MR. BRUCE: Mr. Examiner, we
22 move the admission of Exhibit Number One.

23 MR. CATANACH: Exhibit Number
24 One will be admitted as evidence.

25 MR. BRUCE: No further ques-

1 tions of the witness.

2

3

CROSS EXAMINATION

4 BY MR. CATANACH:

5 Q Just one, Mr. Green. In the yellow ac-
6 reage you have Flag Redfern and (unclear) Oil. Do you have
7 farmouts from those companies?

8 A No, they were under lease; leases have
9 since expired, so we've listed them as mineral -- mineral
10 owners.

11 We did have other acreage, undivided
12 interest in the lease.

13 Q What is the orange boundary that you
14 have?

15 A Those are the proposed -- the 160-acre
16 spacing unit for each of the producing wells.

17 MR. BRUCE: The current.

18 A Current, current producing wells, Yes.

19 MR. CATANACH: That's all I
20 have.

21

22

DENNIS BUTLER,

23 being called as a witness and being duly sworn upon his
24 oath, testified as follows, to-wit:

25

1 DIRECT EXAMINATION

2 BY MR. BRUCE:

3 Q Will you state your name, please, and
4 place of residence?5 A My name is Dennis Butler and I live in
6 Midland, Texas.

7 Q By whom are you employed?

8 A Santa Fe Energy Corporation.

9 Q And what is your current job with Santa
10 Fe?11 A I'm the District Geophysicist in the
12 Permian Basin.13 Q And have you previously testified before
14 the OCD and had your credentials accepted?

15 A Yes, sir.

16 Q And are you familiar with the geology of
17 the North Hume Pool?

18 A Yes.

19 MR. BRUCE: Mr. Examiner, are
20 the witness' credentials acceptable?

21 MR. CATANACH: Yes.

22 Q Mr. Butler, first refer to Exhibit Two.
23 Would you describe that briefly?24 A This is a map of the net porosity for
25 the pay interval in the North Hume Wolfcamp Pool. We used

1 upon the wall. Starting at the north end of the field, the
2 V-F Petroleum Well is the northeasternmost limit of the
3 field.

4 Further to the south the Santa
5 Fe Energy NH-35 No. 1 Well. Then (unclear) cross section
6 is the discovery well for the (unclear) field, the Santa Fe
7 Energy NH-5 Federal No. 1.

8 Then one of the dry holes that
9 was drilled in the area, which we'll discuss in a little
10 more detail, the NH-5-H State, a west offset to the dis-
11 covery well produced only water.

12 And then, continuing to the
13 south, the Humble Hume 5 No. 1 Well, which was also com-
14 pleted in the Wolfcamp Pool.

15 So you can see from the cross
16 section the porosity within a carbonate group in the Wolf-
17 camp, which we have used in the name of the HG Carbonate in
18 this area is just a marker that we can correlate for a
19 group of carbonates which correlate through the area. We
20 see porosity development approximately 50 feet into this
21 (not clearly understood) -- held up, you know, under the
22 history of the wells.

23 The only anomalous thing on
24 the maps and cross sections is the NH-5-A State, if you'll
25 look back at the structure map, actually came in 13 feet

1 drilled the Humble Hume 5-A State in the southwest quarter
2 of Section 5. That well had no reservoir.

3 Then we attempted the NH-35
4 No. 2 in the southwest quarter of Section 35 and again that
5 well had no reservoir development.

6 Q Thank you, Mr. Butler. Were Santa Fe
7 Exhibits Two through Four prepared by you?

8 A Yes, they were.

9 Q And in your opinion is the continuation
10 of 160-acre spacing in the interest of conservation and the
11 prevention of waste and the protection of correlative
12 rights?

13 A Yes, I do.

14 MR. BRUCE: I have no further
15 questions of the witness at this time, Mr. Examiner.

16
17 CROSS EXAMINATION

18 BY MR. CATANACH:

19 Q Mr. Butler, I show a producing well in
20 Section 8. Whose is that?

21 A Moncrief drilled the State 8 No. 2 in
22 the northeast quarter of Section 8 and that well, as you
23 can see from the porosity map, has about 5 feet of poros-
24 ity. The well was potentialed, I don't have the card in
25 front of me, on the order of 20 barrels a day. We could

1 not find any records in the state production history to see
2 what that well has actually done.

3 In talking with Moncrief, they
4 initially had some oil and were having a depleting pres-
5 sure situation in the first couple days that they put it on
6 production and had not decided whether it was economic to
7 put on pump.

8 We would interpret that well,
9 from our limited amount of information, to just be a little
10 too thin and near the edge of the reservoir, that they do
11 not have good permeability development away from the well-
12 bore, but we don't have a lot of data on that well.

13 Q And what about the two wells south of
14 there in the east half of Section 8? Do you look at those
15 as being productive or potentially productive?

16 A We'd say indicated productive by log
17 calculation or drill stem test. Both of those wells appear
18 to be productive by log calculation. They were -- neither
19 well was tested in the correlative zone. That's strictly
20 our interpretation.

21 Q Where are those wells producing from?
22 Do you know?

23 A The Moncrief 8 No. 1 in the southwest of
24 the northeast is a Devonian producer and the Moncrief 1-Y
25 in the northeast of the southeast, although we show that as

1 a gas well on this map, it was producing from the Morrow
2 and I believe that well has subsequently been recompleted
3 in the Pennsylvanian.

4 But it has not been recom-
5 pleted in the Wolfcamp.

6 Q So is it your opinion that the area
7 shaded in green on Exhibit Number Three is the (unclear)
8 extent of the producing area in those wells?

9 A Yes, that's our best interpretation.

10 MR. CATANACH: I have no fur-
11 ther questions at this time. The witness may be excused.

12

13

GEORGE B. NELSON,

14 being called as a witness and being duly sworn upon his
15 oath, testified as follows, to-wit:

16

17

DIRECT EXAMINATION

18

BY MR. BRUCE:

19

20 Q Will you please state your full name
and place of residence?

21

A George B. Nelson, Midland, Texas.

22

23 Q And who do you work for and in what cap-
acity?

24

25 A I'm currently the District Reservoir En-
gineer for Santa Fe Energy.

1 Q And have you previously testified before
2 the OCD as an engineer?

3 A No, I have not.

4 Q Will you please outline your educational
5 and employment background?

6 A I have a Bachelor of Science degree from
7 Bucknell University in 1977.

8 I have twelve years experience in en-
9 gineering with Gulf Oil and Petro Lewis Corporation and
10 Santa Fe Energy in California, and also Santa Fe Energy in
11 the Permian Basin.

12 Q And what are your responsibilities for
13 Santa Fe in the Permian Basin?

14 A As I said, I'm the District Reservoir
15 Engineer over the southeast New Mexico and west Texas
16 areas.

17 Q And are you familiar with the hearing
18 matters involved in the North Hume Pool?

19 A Yes, I am.

20 MR. BRUCE: Mr. Examiner, are
21 the witness' credentials acceptable?

22 MR. CATANACH: They are.

23 Q Mr. Nelson, would you please refer to
24 Exhibits Five through Eight and describe their contents for
25 the Examiner?

1 lation shows this well to drain approximately 157 acres.

2 The next exhibit is the North Hume 35
3 No. 1 in Section 35. This well has cumulative production
4 of almost 25,000 barrels to date; currently making 50 bar-
5 rels a day at a 28 percent decline.

6 The gross ultimate estimated on this
7 well is 79,000 barrels of oil.

8 The drainage calculation for this well
9 indicates an area of approximately 77 acres drained.

10 The next exhibit is the Chevron State
11 No. 1 in Section 36. This well has cumulated close to 9000
12 barrels of oil; currently making 15 barrels a day at a 25
13 percent decline. Estimated ultimate on the well is 24,000
14 barrels of oil. Associated drainage for that well is about
15 19 acres.

16 Q And that is the poorest producing well
17 in the field, is it not?

18 A Yes, it is.

19 Q In your opinion will the North Hume 5
20 Fed No. 1, the North Hume 35 No. 1, and the V-F Chevron
21 State No. 1 Wells drain the northern portion of this pool?

22 A Yes, I believe that they will.

23 Q And in your opinion as an engineer, is
24 it economically feasible to drill additional wells in this
25 pool? Has it been geologically defined based upon 40 or 80

1 acre spacing?

2 A I don't believe that it is, no.

3 Q In your opinion will one well economic-
4 ally and efficiently drain 160 acres in the North Hume
5 Wolfcamp Pool?

6 A I believe it will, yes.

7 Q And do you recommend that 160-acre
8 spacing be maintained in this pool?

9 A I do.

10 Q Were Exhibits Five through Eight pre-
11 pared by you, Mr. Nelson?

12 A Yes, they were.

13 Q And in your opinion is 160-acre spacing
14 in the best interest of conservation, the prevention of
15 waste, and the protection of correlative rights?

16 A I think it is, yes.

17 MR. BRUCE: I move the admis-
18 sion of Exhibits Five through Eight, Mr. Examiner.

19 MR. CATANACH: Exhibits Five
20 through Eight will be admitted as evidence.

21

22 CROSS EXAMINATION

23 BY MR. CATANACH:

24 Q Mr. Nelson, how do you explain the two
25 small drainage areas for the two northern wells?

1 A Basically what I've shown in the calcu-
2 lations is that it is an area of oil drainage. If you look
3 at the previous maps provided by Dennis Butler, you can see
4 that both of these wells are very near the oil/water con-
5 tact and both produce large quantities of water. I think
6 the small area of oil drainage is due to the position that
7 they're in in the reservoir and it's -- it's the available
8 oil contained in the area that can be drained for these
9 wells.

10 Q The reservoir data that you used in your
11 equations, did those come from actual well data, from ac-
12 tual porosity and water saturations?

13 A Yes. They were taken off of the poro-
14 sity resistivity logs. As testified in previous hearings
15 the log porosity was adjusted due to some core data that we
16 have and actually increased from the log porosity and those
17 are the porosity and saturation numbers for our net pay in
18 the wells.

19 Q Are either of these two, the wells in
20 Section 5, producing any water?

21 A Which wells?

22 Q The wells in Section 5?

23 A The -- the North Hume 5 Federal No. 1 is
24 producing water at a much lower cut than the wells in the
25 north area.

1 The Humble Hume 5 State No. 1 is cur-
2 rently essentially water free.

3 Q Does -- do you know if Santa Fe plans to
4 drill any additional wells in the area?

5 A No, we don't.

6 Q You don't.

7 MR. CATANACH: I have no fur-
8 ther questions of the witness. He may be excused.

9 MR. BRUCE: I have nothing
10 further in this case, Mr. Examiner.

11 MR. CATANACH: Being nothing
12 further in this case, Case 9175 and 9354 will be taken un-
13 der advisement.

14

15 (Hearing concluded.)

16

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I, SALLY W. BOYD, C. S. R. DO HEREBY CERTIFY that the foregoing Transcript of Hearing before the Oil Conservation Division (Commission) was reported by me; that the said transcript is a full, true and correct record of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 9175, 9354 heard by me on July 26, 1989.

David R. Cotnam, Examiner
Oil Conservation Division

NEW MEXICO OIL CONSERVATION COMMISSION

EXAMINER HEARING

SANTA FE, NEW MEXICO

Hearing Date JULY 26, 1989 Time: 8:15 A.M.

NAME	REPRESENTING	LOCATION
Susan Conright	Phillips Petroleum	Dallas TX
Jacoby Loco	RW Byram	TX
Bill Mueller	Phillips TRW Co.	Ocklawaha TX
William J. Jay	Campbell Folsch, P.A.	Santa Fe
Jack Allen	Santa Fe Exploration &	Rasmell
GARY GARY	Santa Fe Energy Co	Midland
George Johnson	" " " "	" "
Lewis Butler	" " " "	" "
N. D. White	White & Johnson	Santa Fe
Ray White	Ag. Johnson	Midland Texas
Earl L. Pucilla	Pucilla + Engler	SF, NM
W. Perry Reese	Montgomery & Andrews, P.A.	Santa Fe
J. Bruce	Hinkle Law Firm	ABQ
Charlie Donahue	Meridian Oil	Farmington
Alan Fournier	MERIDIAN OIL INC.	FARMINGTON
Steve Trujillo	UNOCAL	Midland TX
Linda Heide	Unocal	Midland TX

NEW MEXICO OIL CONSERVATION COMMISSION

EXAMINER HEARING

SANTA FE, NEW MEXICO

Hearing Date JULY 26, 1989 Time: 8:15 A.M.

NAME	REPRESENTING	LOCATION
<i>Robert W. Albany</i>	<i>Unocal</i>	<i>Midland TX</i>