

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION  
STATE LAND OFFICE BLDG.  
SANTA FE, NEW MEXICO

27 April 1988

EXAMINER HEARING

IN THE MATTER OF:

Application of Meridian Oil, Inc. CASE  
for the extension of the vertical 9362  
limits of the Cedar Hill-Fruitland  
Basal Coal Pool and the concomitant  
contraction of the Mount Nebo-Fruit-  
land Pool, San Juan County, New  
Mexico.

BEFORE: Michael E. Stogner, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Division: Charles E. Roybal  
Attorney at Law  
Legal Counsel to the Division  
State Land Office Bldg.  
Santa Fe, New Mexico 87501

For the Applicant:

1  
2 MR. STOGNER: Call next Case  
3 Number 9362.

4 MR. ROYBAL: Case 9362.  
5 Application of Meridian Oil Company for extension of  
6 vertical limits of the Cedar Hill-Fruitland Basal Coal Pool  
7 and the concomitant contraction of the Mount Nebo-Fruitland  
8 Pool, San Juan County, New Mexico.

9 MR. STOGNER: At the  
10 applicant's request, this case will be continued to the  
11 Examiner's hearing scheduled for May 25th, 1988.

12  
13 (Hearing concluded.)  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

## C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY  
CERTIFY that the foregoing Transcript of Hearing before the  
Oil Conservation Division (Commission) was reported by me;  
that the said transcript is a full, true, and correct record  
of the hearing, prepared by me the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is  
a complete record of the proceedings in  
the Examiner hearing of Case No. 9362,  
heard by me on 27 April 1988.

Michael E. Rogers, Examiner  
Oil Conservation Division

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION  
STATE LAND OFFICE BLDG.  
SANTA FE, NEW MEXICO

25 May 1988

EXAMINER HEARING

IN THE MATTER OF:

Application of Meridian Oil Inc. for CASE  
the extension of the vertical limits 9362  
of the Cedar Hill-Fruitland Basal Coal  
Pool and the concomitment contraction of  
the Mount Nebo-Fruitland Pool, San Juan  
County, New Mexico.

BEFORE: Michael E. Stogner, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Division: Charles E. Roybal  
Attorney at Law  
Legal Counsel to the Division  
State Land Office Bldg.  
Santa Fe, New Mexico 87501

For the Applicant:

1  
2 MR. STOGNER: Call next Case  
3 Number 9362.

4 MR. ROYBAL: Case 9362.  
5 Application of Meridian Oil, Inc. for extension of the ver-  
6 tical limits of the Cedar Hill Fruitland Basal Coal Pool and  
7 the concomitant contraction of Mount Nebo Fruitland Pool,  
8 San Juan County, New Mexico.

9 MR. STOGNER: At the appli-  
10 cant's request Case Number 9362 will be continued to the  
11 Examiner's Hearing scheduled for June 8th, 1988.

12  
13 (Hearing concluded.)  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

## C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY  
CERTIFY that the foregoing Transcript of Hearing before the  
Oil Conservation Division (Commission) was reported by me;  
that the said transcript is a full, true, and correct record  
of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is  
a complete record of the proceedings in  
the Examiner hearing of Case No. 9362,  
heard by me on 25 May 1988.

Michael P. Stoyan, Examiner  
Oil Conservation Division

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION COMMISSION  
STATE LAND OFFICE BUILDING  
SANTA FE, NEW MEXICO

8 June 1988

EXAMINER HEARING

IN THE MATTER OF:

Application of Meridian Oil Inc. for CASE  
the extension of the vertical limits 9362  
of the Cedar Hills-Fruitland Basal  
Coal Pool and the concomitant contract-  
ion of the Mount Nebo-Fruitland Pool,  
San Juan County, New Mexico.

BEFORE: David R. Catanach, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Division:

Robert G. Stovall  
Attorney at Law  
Legal Counsel to the Division  
State Land Office Bldg.  
Santa Fe, New Mexico

For the Applicant:

1  
2 MR. CATANACH: Call next Case  
3 Number 9362.

4 MR. STOVALL: Application of  
5 Meridian Oil Inc. for the extension of the verical limits  
6 of the Cedar Hill-Fruitland Basal Coal Pool and the con-  
7 comitant contraction of the Mount Nebo-Fruitland Pool, San  
8 Juan County, New Mexico.

9 The applicant has requested  
10 that Case No. 9362 be continued to 22 June 1988.

11 MR. CATANACH: Case No. 9362  
12 will be continued to the Examiner Hearing scheduled for  
13 June 22nd, 1988.

14  
15 (Hearing concluded.)  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25



## C E R T I F I C A T E

I, SALLY W. BOYD, C. S. R. DO HEREBY  
CERTIFY that the foregoing Transcript of Hearing before the  
Oil Conservation Division (Commission) was reported by me;  
that the said transcript is a full, true and correct record  
of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is  
a complete record of the proceedings in  
the Examiner hearing of Case No. 9362,  
heard by me on June 8 1948.

David R. Caton, Examiner  
Oil Conservation Division

1 STATE OF NEW MEXICO  
2 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
3 OIL CONSERVATION DIVISION  
4 STATE LAND OFFICE BUILDING  
5 SANTA FE, NEW MEXICO

6 22 June 1988

7 EXAMINER HEARING

8 IN THE MATTER OF:

9 Application of Meridian Oil Inc. for CASE  
10 the extension of the vertical limits 9362  
11 of the Cedar Hill-Fruitland Basal  
Coal Pool and the concomitant contract-  
ion of the Mount Nebo-Fruitland Pool,  
San Juan County, New Mexico.

12 BEFORE: Michael E. Stogner, Examiner

13  
14 TRANSCRIPT OF HEARING

15 A P P E A R A N C E S

16  
17 For the Division: Robert G. Stovall  
18 Attorney at Law  
19 Legal Counsel to the Division  
State Land Office Bldg.  
Santa Fe, New Mexico

20 For Meridian Oil Inc.: W. Thomas Kellahin  
21 Attorney at Law  
22 KELLAHIN, KELLAHIN & AUBREY  
P. O. Box 2265  
Santa Fe, New Mexico 87504

23 For Amoco Production William F. Carr  
24 Company: Attorney at Law  
25 CAMPBELL and BLACK  
P. O. Box 2208  
Santa Fe, New Mexico 87501

## I N D E X

## STATEMENT BY MR. KELLAHIN

4

## VAN L. GOEBEL

Direct Examination by Mr. Kellahin

5

Cross Examination by Mr. Stogner

9

## DANA L. CRANEY

Direct Examination by Mr. Kellahin

10

Cross Examination by Mr. Stogner

18

## TOM C. JOSEPH

Direct Examination by Mr. Kellahin

25

Cross Examination by Mr. Carr

39

Cross Examination by Mr. Stogner

41

## STATEMENT BY MR. KELLAHIN

42

## JAMES W. HAWKINS

Direct Examination by Mr. Carr

44

Cross Examination by Mr. Stogner

48

## E X H I B I T S

1

2

3

4

Meridian Exhibit One, Data

38

5

Meridian Exhibit Two, Land Plat

6

6

Meridian Exhibit Three, Cross Section

12

7

Meridian Exhibit Four, Graph

28

8

Meridian Exhibit Five, Plot

30

9

Meridian Exhibit Six, Analyses

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 MR. STOGNER: This hearing  
2 will come to order.

3 We'll call next Case Number  
4 9362, which is the application of Meridian Oil, Incorporated,  
5 ated, for the extension of the vertical limits of the Cedar  
6 Hill Fruitland Basal Coal Pool and the contraction of the  
7 Mount Nebo Fruitland Pool, both in San Juan County, New  
8 Mexico.

9 We'll call for appearances in  
10 this matter.

11 MR. KELLAHIN: Mr. Examiner,  
12 I'm Tom Kellahin of the Santa Fe law firm of Kellahin,  
13 Kellahin & Aubrey. I'm appearing on behalf of Meridian  
14 Oil, Inc.

15 We have three witnesses to be  
16 sworn.

17 MR. STOGNER: Any other ap-  
18 pearances?

19 MR. CARR: May it please the  
20 Examiner, my name is William F. Carr, with the law firm  
21 Campbell & Black, P. A., of Santa Fe.

22 We represent Amoco Production  
23 Company and we have one witness.

24 MR. STOGNER: Any other ap-  
25 pearances?

1 Will all the witnesses please  
2 stand at this time?

3  
4 (Witnesses sworn)

5  
6 MR. STOGNER: Mr. Kellahin?

7 MR. KELLAHIN: Thank you, Mr.  
8 Examiner.

9 The exhibit book Meridian has  
10 presented today contains Exhibits One through Six. They're  
11 packaged together in one folder.

12 In addition I want to hand you  
13 a copy of the two orders that establish the special rules  
14 for the Cedar Hill Fruitland coal production.

15 MR. STOGNER: And that's Order  
16 No. R-7588, is that correct?

17 MR. KELLAHIN: That is the  
18 first order, Mr. Examiner. That is the order that estab-  
19 lished on July 9th, 1984, the temporary special rules for  
20 this pool.

21 The case was reopened in March  
22 of '86, and on March 7th, '86, Order R-7588-A was entered  
23 and those rules were made permanent.

24 MR. STOGNER: Thank you, Mr.  
25 Kellahin.

1 MR. KELLAHIN: Mr. Examiner,  
2 we seek today to take the special rules for this pool and  
3 simply increase the vertical limits from the current ver-  
4 tical limits so that we have increased them sufficiently  
5 higher up into the Fruitland so that we can have included  
6 under these pool rules all the coal seams that are produc-  
7 tive of gas so that they all can be operated in the same  
8 fashion that the lower basal coal member is now being  
9 operated by the rules you see set forth in R-7588.

10 We have three witnesses, a  
11 landman for Meridian; a geologist, and a petroleum engin-  
12 eer.

13 Our first witness is Mr. Van  
14 Goebel. He's a landman.

15  
16 VAN L. GOEBEL,  
17 being called as a witness and being duly sworn upon his  
18 oath, testified as follows, to-wit:

19  
20 DIRECT EXAMINATION

21 BY MR. KELLAHIN:

22 Q Mr. Goebel, for the record would you  
23 please state your name and occupation?

24 A My name is Van Goebel. I'm with Meri-  
25 dian Oil, a landman.

1           Q           Mr. Goebel, you've previously testified  
2 before the Division as a landman?

3           A           Yes, I have.

4           Q           Let me have you take a moment, sir, and  
5 refer to what is marked as Meridian Exhibit Number Two.  
6 It's about the third page down in the exhibit book. Did  
7 you participate with the engineers and the geologist to  
8 prepare this display?

9           A           Yes, I did.

10          Q           And your involvement included determin-  
11 ing the accuracy of the land title information that's shown  
12 on the display?

13          A           Yes.

14          Q           And have you made a tabulation of the  
15 operators and working interest owners within the outer  
16 boundary of the pool?

17          A           Yes, I did.

18          Q           And you have also made a tabulation of  
19 those owners within a mile of the outer boundary of that  
20 pool, have you not?

21          A           Yes.

22                               MR. KELLAHIN: We tender Mr.  
23 Goebel as an expert petroleum landman.

24                               MR. STOGNER: Mr. Goebel is so  
25 qualified.



1           Q           Would you take a moment and simply  
2 identify Exhibit Number Two?

3           A           Okay. Exhibit Number Two is a land plat  
4 showing the current boundaries of the Cedar Hill Basal  
5 Fruitland Coal Pool and the one mile buffer zone around it.

6           Q           Let's find how to identify the existing  
7 boundary line around the pool.

8           A           Okay, it covers 16 sections.

9           Q           And how is it shown on the display?

10          A           It's indicated by hatch marks. The bold  
11 dotted marks to the west there indicate a unit boundary.

12          Q           And running vertically what is the dark  
13 dotted line or hatched line running vertically on the dis-  
14 play?

15          A           Well, that's the unit boundary.

16          Q           Okay. How are the wells color coded on  
17 the display, Mr. Goebel?

18          A           And what we've tried to indicate are  
19 proposed wells, currently producing wells, and wells  
20 producing from the Fruitland sandstones.

21          Q           Let's start off with the pink dots.  
22 What are those?

23          A           The pink dots are currently producing  
24 Fruitland coal wells.

25          Q           Operated by who?

1 A These are operated by Meridian.

2 Q Okay, what are the green dots?

3 A The green dots indicate coal wells  
4 operated by other operators.

5 Q And then the orange dots?

6 A Are indications of where sandstone wells  
7 are located, Fruitland sandstone.

8 Q And then finally the red dots?

9 A Okay, the red dots indicate wells that  
10 we have proposed to drill.

11 Q In preparing to file this application,  
12 Mr. Goebel, did you prepare a mailing list that contained  
13 all the operators within the pool boundary and within a  
14 mile of that boundary?

15 A Yes, we did.

16 Q Let me show you what was attached to the  
17 application as an amended mailing list. Is that the list  
18 you prepared?

19 Is that the list you prepared?

20 A Yes, it is.

21 MR. KELLAHIN: Mr. Examiner,  
22 I'll show you the amended mailing list. There should be an  
23 original in your case file.

24 Q Did you satisfy yourself, Mr. Goebel,  
25 that that list is current and accurate?

1 A Yes.

2 Q And did you cause the individuals and  
3 companies shown on that list to receive notice of this  
4 hearing?

5 A Yes.

6 Q After sending out the notice, have you  
7 had an inquiries or response from any of those companies or  
8 individuals?

9 A We only received one response from Amoco  
10 Production Company and they are present here today.

11 MR. KELLAHIN: That concludes  
12 my examination of Mr. Goebel.

13

14

CROSS EXAMINATION

15 BY MR. STOGNER:

16 Q Mr. Goebel, in that April 12th letter  
17 that Mr. Kellahin just alluded to, as far as amended list,  
18 there wasn't anything amended in the application that was  
19 sent to these people, is that correct?

20 A Correct.

21 Q It was the same letter. It was just  
22 updating the particular people that had interest in the --  
23 in the pool, is that correct?

24 A Yes.

25 Q And on your map you show proposed Fruit-

1 land wells. Are these Meridian wells or are they other  
2 wells?

3 A These are wells that Meridian is pro-  
4 posing to drill.

5 Q And when I look at your -- I'll save  
6 that for the -- for the next witness.

7 MR. STOGNER: I have no fur-  
8 ther questions for Mr. Goebel at this time.

9 MR. CARR: No questions.

10 MR. STOGNER: The witness may  
11 be excused. Mr. Kellahin?

12 MR. KELLAHIN: Thank you. Mr.  
13 Examiner, we'll call Mr. Dana Craney. Mr. Craney spells his  
14 last name C-R-A-N-E-Y?

15 MR. CRANEY: Yes, sir.

16  
17 DANA L. CRANEY,  
18 being called as a witness and being duly sworn upon his  
19 oath, testified as follows, to-wit:

20  
21 DIRECT EXAMINATION

22 BY MR. KELLAHIN:

23 Q Mr. Craney, would you please for the  
24 record state your name and occupation?

25 A My name is Dana L. Craney. I'm a Senior

1 Staff Geologist for Meridian Oil.

2 Q Mr. Craney, have you testified as a  
3 geologist before the Division?

4 A Yes, I have.

5 Q Have you been involved in the study of  
6 the Cedar Hill Fruitland coal production within this are  
7 that's identified on Exhibit Number Two?

8 A Yes, sir, I have.

9 Q Summarize for us what has been your  
10 specific involvement in this particular pool.

11 A I have -- I've looked at the strati-  
12 graphy of the Fruitland Coal Pool. I've looked at (un-  
13 clear) and I've compared stratigraphic cross sections and  
14 have reviewed isopach maps that we will be discussing to-  
15 day.

16 Q Have you participated in analyzing and  
17 evaluating the geologic information that's been generated  
18 from the drilling and completions of wells in this pool?

19 A Yes, sir.

20 MR. KELLAHIN: We tender Mr.  
21 Craney as an expert petroleum geologist.

22 MR. STOGNER: Are there any  
23 objections?

24 MR. CARR: No objection.

25 MR. STOGNER: Mr. Craney is so

1 qualified.

2 Q Mr. Craney, would you take a moment and  
3 simply identify Exhibit Number Three for us?

4 A Exhibit Number Three is a south to north  
5 cross section, stratigraphic cross section; you're viewing  
6 it looking to the west.

7 Q Do you have a plat on that cross section  
8 display so that we can track the wells that are shown on  
9 the cross section as you move through the reservoir?

10 A Yes, sir, the index map is shown at the  
11 -- at the bottom of the cross section.

12 Q Would you take a moment and lead us from  
13 either north to south or south to north across the cross  
14 section without discussing the individual wells themselves  
15 and just orient us as to where you've gone through the pool  
16 in selecting wells for the cross section?

17 A Okay. The, proceeding from south to  
18 north, I started the cross section at the Harrison No. 1  
19 Well in the southwest of 31.

20 I proceeded northward and eastward into  
21 the -- well, into the -- near the Cahn Well, the original  
22 discovery well in the pool. north from that to the Snyder  
23 Well, which is the Snyder Com V No. 1 Well, which was  
24 Amoco's type log they used to define the basal coal in  
25 their pool hearing, and then it extends northward to the

1 Union Texas Well; then northwestward into the one mile  
2 buffer zone to the (not clearly understood) No. 2-A Well,  
3 located in the northwest of Section 18, 32 North, 10 West,  
4 in San Juan County, New Mexico.

5 Q Do you have on your cross section the  
6 Amoco well that was used as the discovery well for picking  
7 the vertical limits that are set forth in the Division  
8 Order R-7588?

9 A The well, the Snyder Com B No. 1 Well,  
10 it's not the discovery well but it was the type log that  
11 Amoco used to define the -- the upper and lower limits of  
12 their basal coal zone, which is the zone producing in the  
13 Cedar Hill Fruitland Basal Coal Pool.

14 Q And that is the well in the center of  
15 the cross section ?

16 A Yes, it's located in the southwest of  
17 Section 28.

18 Q All right, let's go to that type log,  
19 then, and have you identify for the Examiner what the  
20 current vertical limits are for that basal coal zone.

21 A Okay. Shown on this log, the current  
22 vertical limits are what's shown labeled Current, the dark  
23 blue at the bottom part of --

24 MR. STOGNER: And you -- that  
25 is the Snyder Com B No. 1 Well in the southwest southwest

1 of Section 28, 32, 10.

2 Q What's contained within that vertical  
3 limit as the limits now exist in the pool when you examine  
4 that type log?

5 A The Fruitland Basal Coal is the zone  
6 contained within that limit.

7 Q How have you identified that by a color  
8 code in that type log?

9 A The Fruitland Basal Coal has been shown  
10 in the legend on the right side and the green correlated  
11 across the cross section shows this basal coal zone.

12 Q When we look at the top of the current  
13 vertical limits for the basal coal zone, the blue line  
14 extends on that type log up to a particular point?

15 A Yes. The -- the proposed extension of  
16 the vertical limits is extended up to include any and all  
17 coals within the Fruitland formation.

18 Q As we move up that type log, then, there  
19 is a dashed line running horizontally across the type log.  
20 What's that line?

21 A Yes, sir, it's -- this dashed line re-  
22 presents the boundary of the Fruitland formation separating  
23 it from the Kirtland Shale.

24 Q When we look at the total Fruitland  
25 formation from the top to the bottom, as shown on the far



1 right of the display, are you including the entire  
2 Fruitland formation that includes not only the coal zones  
3 but the sand stringers as well?

4 A That is correct.

5 Q What is Meridian seeking to accomplish  
6 with this application, Mr. Craney?

7 A Mr. -- Meridian is seeking to show that  
8 the coals within the Fruitland formation represent a com-  
9 mon source of supply; that these upper coals are indeed a  
10 potentially commercial producer of hydrocarbons.

11 Q Have you identified on that display,  
12 using the cross section analysis, all the coal seams within  
13 the Fruitland formation that you anticipate to be commer-  
14 cially productive?

15 A Yes.

16 Q All right, now lead us from north to  
17 south and take us across the information shown on the cross  
18 section and tell us your observations, your conclusions,  
19 and your opinions.

20 A Okay, sir. The -- again the green  
21 denoting the correlation of the Fruitland Coals shows that  
22 the coals are quite continuous across the Cedar Hill Pool  
23 and what the red arrows denote are locations, the depths  
24 where upper coal zones have either (unclear) or blown out  
25 while we were drilling through the Fruitland formation.

1           Q           What significance does that have to you  
2 as a geologist?

3           A           The significance is that these zones are  
4 gas-bearing and potentially they are producable.

5                       In addition, this cross section shows on  
6 the Payne No. 8 Well, the Union Texas Petroleum Well, the  
7 completion of several of these upper coals, which again  
8 Meridian believes is a common source of supply within the  
9 Fruitland Formation and are potentially commercial pro-  
10 ducers.

11           Q           Does the display show in each instance  
12 how each of those wells is perforated in the various  
13 Fruitland zones?

14           A           Yes, sir, it does.

15           Q           And how do we see them?

16           A           The -- the red within the depth track  
17 shows locations within the Pictured Cliff or Fruitland  
18 formation.

19           Q           Geologically do you find any reason to  
20 justify and separate out, then, the Basal Coal Zone and  
21 treat that as a separate source of supply from any of the  
22 other gas-bearing coal members of the Fruitland formation?

23           A           No, sir, I do not.

24           Q           What then is your ultimate recommenda-  
25 tion to the Examiner with regards to the extension of the

1 vertical limits?

2 A My recommendation is that the limits of  
3 this coal pool be extended to include any and all coals  
4 within the Fruitland formation as shown by the type log,  
5 the Snyder (unclear) B No. 1 Well.

6 Q If the Examiner agrees in your recom-  
7 mendation, what would be the specific footage interval in  
8 the type log by which we would increase the vertical  
9 limits?

10 A That specific footage is from 2579 feet  
11 to 2878 feet.

12 Q And that information is summarized on  
13 Exhibit Number One in the exhibit book?

14 A Yes, sir.

15 Q Do you have anything else, Mr. Craney?

16 A No, sir.

17 MR. KELLAHIN: Mr. Examiner,  
18 we'd move the introduction of Mr. Craney's Exhibit Number  
19 Three.

20 MR. CARR: No objection.

21 MR. STOGNER: Exhibit Number  
22 Three will be admitted into evidence.

23 Mr. Carr, before I let you --  
24  
25

## CROSS EXAMINATION

BY MR. STOGNER:

Q Mr. Craney, the proposed vertical depths you said was 2579. Does that correspond with the dashed line?

A No, sir, it corresponds with the top of the indicated blue proposed interval. This -- this is the uppermost coal in the Snyder Com B Well.

So the vertical limit extends from the top of the highest coal to the base of the basal coal.

Q Has there been any other coals found above that in any other wells that you know of?

A There could be, and again that definition would apply from the top of that uppermost coal through the pay.

Q Okay. Thank you, Mr. Kerney --Craney, sorry.

MR. STOGNER: Mr. Carr, your witness.

MR. CARR: We have no questions of Mr. Craney.

MR. STOGNER: Mr. Craney, I just wanted to verify something before I let him cross examine you and now it's my turn.

Q The purity, if you will, if that's the

1 word --

2 A Uh-huh.

3 Q These others that you show in green on  
4 your Exhibit Number --

5 A Three?

6 Q -- Three, is the purity the same as  
7 those that were originally designated the Basal Coal Pool?

8 A The -- you're saying the quality and --

9 Q Yes.

10 A -- of the coal?

11 Q Yes.

12 A The quality is very similar; again it's  
13 log density data and core data in this -- well, we haven't  
14 received back all the data on our -- on the first core that  
15 was done in the area but bulk density data would suggest  
16 that the quality of the coal is very similar and I'm assur-  
17 ed that the rank of the coal is the same within this inter-  
18 val.

19 Q What do you mean by "rank"?

20 A The rank would be the degree of  
21 maturation of the coal, which is over a period of geologi-  
22 cal history response of that coal to temperature and pres-  
23 sure.

24 Q I'm not familiar with that word "matura-  
25 --

1           A           Maturation?

2           Q           Maturation.

3           A           It's the process by which coal, you  
4 know, originally from a swamp which was laid down as peat,  
5 to change that peat to different grades of coal is -- we're  
6 talking about different ranks of coal, and that's a process  
7 of coalification or maturation of the coal; sort of meta-  
8 morphosis goes on there.

9           Q           Is -- when you say "ranking", is there a  
10 designated number of or some kind of a unit designation?

11          A           The ranks are going by names. It goes  
12 from lignite to sub-bituminous to bituminous, eventually  
13 all the way up to anthracite.

14          Q           And what do we have here?

15          A           This is a -- this would be a bituminous  
16 coal.

17          Q           And what is the ranking below that, as  
18 far as quality, the better quality, below the bituminous?

19          A           Oh, sub-bi --

20          Q           What would be a better rank?

21          A           Oh, a better rank than -- it would --  
22 well anthracite, but actually there's grades of bituminous  
23 so it would -- you can improve bituminous. This would --  
24 this is probably a high volatile A type bituminous coal and  
25 --

1 Q All of them?

2 A Yes.

3 Q So we're all talking about the same  
4 ranking whenever we talk --

5 A Correct.

6 Q -- the coal seams in this (unclear).

7 A Right, in this -- in this area, yes,  
8 sir.

9 Q In this area. Now on your cross section  
10 you show only the Union Texas Petroleum Well as having per-  
11 forations in the upper coals.

12 A Correct.

13 Q What kind of gas do we see off of that?  
14 Is it the same as the gas that we see coming off of the  
15 original basal coal pool as opposed to the others or --

16 A We do not have a gas analysis from the  
17 tests (inaudible).

18 Q Does Meridian have any gas analyses?

19 A Not at this time.

20 Q Not at this time, so this was all done  
21 seismic -- I'm sorry, not seismic work, but log -- log ana-  
22 lysis.

23 A If I could digress I could talk about  
24 the -- a brief geological history, which would, I think,  
25 paint the picture a little better.

1 Q Okay.

2 A Okay, sir, the Fruitland formation was  
3 laid down in a coastal plain environment consisting of the  
4 dunes, marshes, swamps, and the rivers.

5 And that deposited the peat for the  
6 coal, the siltstones and shales, and the river channel  
7 sandstones.

8 Now the -- the Fruitland was deposited  
9 landward, or southwestward, it's called the Pictured Cliff  
10 shoreline. This is a northwest/southeast striking strand  
11 line and it deposited the Pictured Cliff formation, and the  
12 -- to the northeast of this Pictured Cliff strand line was  
13 the Cretacean inland sea.

14 Now, in response to -- to burial of  
15 overburden of the Fruitland formation, the Fruitland  
16 formation responded to increasing temperature and pressure  
17 and formed essentially two sources for hydrocarbons and two  
18 traps.

19 The coal is its own source and its own  
20 trap. The -- that gases given off during the coalification  
21 process, which we just talked about, are -- are principally  
22 methane, carbon dioxide, and this gas was generated within  
23 the coal but it wasn't expelled from the coal but it wasn't  
24 expelled from the coal. Essentially the -- that gas was  
25 entrained within the coal and remains trapped in it today,



1 in the -- in the coal reservoir.

2                   Conversely, hydrocarbons which -- the  
3 hydrocarbons of the -- of the sandstones have been sourced  
4 and subsequently migrated from the shales of the Kirtland,  
5 Fruitland, and to some extent the underlying Lewis forma-  
6 tion and these gases have even migrated to sandstone.

7                   So, again, these -- the coal is a  
8 separate and distinct source of supply but within a certain  
9 depositional framework, the coal represents a common source  
10 of supply.

11                   Due to the similar depositional environ-  
12 ment, all in the coastal plain, the similar geological  
13 history of its depth of burial and temperature in this  
14 area, it couldn't vary very much in this area and the fact  
15 that the gas hasn't migrated from an outside source; that  
16 it was indeed sourced from within the Fruitland Coal and it  
17 stayed within the Fruitland Coal.

18                   Again, let me summarize that we feel  
19 that the coal within this sort of a stratigraphic inter-  
20 val represented common source of supply.

21                   Q           Not saying that they're interconnected  
22 in any way.

23                   A           No, they're a noncontiguous common  
24 source of supply.

25                   Q           Is there any migration of gases from the

1 coal into the sandstone or vice versa, for that matter?

2 A On a local level there is that possibi-  
3 lity. You could have Fruitland -- channels can channel  
4 down into the coal and the coal could have sourced that.  
5 It's even possible that at some period geological history  
6 where there was maximum gas generation, that some of the  
7 very locally permeability seals were temporarily ruptured.

8 On a very local basis there could be  
9 some fracturing and there could be some faulting; however,  
10 major faulting in the San Juan Basin is not noted.

11 Q And like you said, it's local, so the --

12 A We should expect a distinct gas charac-  
13 teristics of a Fruitland Coal as compared to a gas charac-  
14 teristic of a sandstone gas.

15 Q And then we'll probably have two entire-  
16 ly different makeups as far as --

17 A That is correct.

18 Q -- the analysis.

19 Those wells that are producing from the  
20 upper coals presently, do they have or do they meet the  
21 criteria -- maybe this needs to be asked by the two petro-  
22 leum engineers -- does it have the same producing  
23 characteristics as your lower ones as far as 320 acre  
24 spacing and such as that?

25 A In that I've seen the petroleum engin-

1 eer's testimony, I'd say yes, but I think it would be  
2 better --

3 MR. STOGNER: I have no  
4 further questions of this witness at this time.

5 Mr. Carr, do you have any?

6 MR. CARR: No questions.

7 MR. STOGNER: Mr. Kellahin, do  
8 you --

9 MR. KELLAHIN: Nothing else,  
10 thank you.

11 MR. STOGNER: Thank you, Mr.  
12 Craney. Mr. Kellahin?

13 MR. KELLAHIN: Mr. Examiner,  
14 we'd like to call at this time our petroleum engineer, Mr.  
15 Tom Joseph.

16  
17 TOM C. JOSEPH,  
18 being called as a witness and being duly sworn upon his  
19 oath, testified as follows, to-wit:

20  
21 DIRECT EXAMINATION

22 BY MR. KELLAHIN:

23 Q Mr. Joseph, for the record would you  
24 please state your name and occupation?

25 A My name is Thomas C. Joseph. I'm a

1 Senior Reservoir Engineer with Meridian Oil.

2 Q Mr. Joseph, have you previously  
3 testified as an engineer before the Oil Conservation Div-  
4 ision of New Mexico?

5 A No.

6 Q Would you tell us when and where you  
7 obtained your degree in engineering?

8 A I received a Bachelor of Science degree  
9 in petroleum and natural gas engineering from the Pennsy-  
10 vania State University in 1981.

11 Q I'm sorry, what year did you graduate  
12 in, Mr. Joseph?

13 A 1981.

14 Q Subsequent to graduation in '81, would  
15 you summarize for us what has been your experience as a  
16 petroleum engineer?

17 A I was employed by El Paso Exploration  
18 from 1981 through 1986. I've been employed by Meridian Oil  
19 from 1986 to the present. All seven years of my experience  
20 has been in the San Juan Basin; as a drilling and comple-  
21 tion engineer during the first five years of my employment  
22 and I've been a senior -- I've been a reservoir engineer  
23 for the past two years.

24 Q Summarize specifically for us, Mr.  
25 Joseph, what has been your particular involvement with re-

1       gards to analyzing and producing the coal seam in the  
2       Fruitland Coal.

3               A               Specifically I've been the lead reser-  
4       voir engineer for Meridian Oil's Fruitland Coal Development  
5       Project for the past one year.

6               Q               Mr. Goebel has shown us on Exhibit  
7       Number Two that Meridian has interest in and operates a  
8       number of the Fruitland wells, both within and immediately  
9       adjacent to the Cedar Hills Fruitland.

10              Have you been involved in producing and  
11     drilling and operating those wells?

12              A               Yes, sir.

13              Q               With regards to the question of  
14     increasing the vertical limits in the current Cedar Hills  
15     Pool, have you made a study of that issue?

16              A               Yes, I have.

17              Q               And do you have an opinion?

18              A               Yes, I do.

19              Q               And what is that opinion?

20              A               I am going to show with engineering data  
21     that all the Fruitland Coal Zone should be considered a  
22     separate common source of supply within the Fruitland for-  
23     mation.

24              Q               Having completed that analysis and  
25     review, Mr. Joseph, without discussing them just yet, what

1 specifically have you done to reach that conclusion?

2 A I am going to show this with production  
3 plots of a typical Fruitland coal well and a typical Fruit-  
4 land sandstone well, and also with a gas/water analysis  
5 comparison between the coal and the sand.

6 MR. KELLAHIN: At this point,  
7 Mr. Examiner, we tender Mr. Joseph as an expert petroleum  
8 engineer.

9 MR. STOGNER: Are there any  
10 objections?

11 MR. CARR: No objection.

12 MR. STOGNER: Mr. Joseph's  
13 qualifications are acceptable.

14 Q Let's go to your work. Exhibit Number  
15 Four just behind the plat, Exhibit Number Two, does this  
16 represent your work, Mr. Joseph?

17 A Yes, it's a computer generated plot.

18 Q Identify it for us.

19 A It's a histogram (sic) with production  
20 volumes on the Y axis and time on the X axis.

21 Q Describe for us what you see as an en-  
22 gineer when you look at this exhibit.

23 A The red line shows increasing gas  
24 volumes over time and the blue line shows decreasing water  
25 volumes over time.

1           Q           Let's take a moment and find the well  
2 whose production is tracked on this display. Who's the  
3 operator and where's the well?

4           A           This well is the Cahn Gas Com No. 1  
5 operated by Amoco Production Company. It's located in the  
6 northwest quarter of Section 33, Township 32 North, Range  
7 10 West.

8           Q           This is the production from the well  
9 that's shown on Mr. Craney's cross section, Exhibit Number  
10 Three, as the type log? Are we talking about the same  
11 well?

12          A           No.

13          Q           All right. Would you show us on Exhibit  
14 Number Two where this well is that you've plotted the  
15 production on Exhibit Number Four? You said you were in  
16 Section 33, was it?

17          A           Right, northwest of Section 33.

18          Q           Okay. It's one of the ones with a green  
19 dot in the northwest quarter.

20          A           Yes.

21          Q           Okay. Have you analyzed sufficient num-  
22 bers of wells like this to have a general conclusion as to  
23 whether or not this is typical of the production profile  
24 you would see plotted from a well producing out of the coal  
25 seams?

1 A Yes.

2 Q And what is that opinion?

3 A This is a typical coal well production  
4 characteristic.

5 Q All right, let's turn to Exhibit Number  
6 Five.

7 Please identify for us what Exhibit  
8 Number Five is.

9 A Exhibit Five shows the production  
10 characteristics of the Fruitland sandstone well, the  
11 Holmberg Gas Com A No. 1, located in the northeast quarter  
12 of Section 28, Township 32 North, Range 10 West.

13 Q When we look at Mr. Goebel's Exhibit  
14 Number Two, Section 28 is within the boundaries of the  
15 current pool?

16 A Yes, it is.

17 Q And when we look at the northeast quart-  
18 er of that Section 28, is it the orange dot or the green  
19 dot?

20 A The green dot.

21 Q That's the -- I'm sorry, I've got you  
22 confused.

23 The green dot represents coal production  
24 from the coal seam, gas production from the coal well, and  
25 the orange dot is one from a Fruitland sand?



1           A           Fruitland sand is in orange.

2           Q           Okay, and this represents, then, one of  
3 the orange dots.

4           A           Correct.

5           Q           All right. Okay. When we look at  
6 Exhibit Five, have you plotted and analyzed a sufficient  
7 number of gas wells producing from the sandstone in the  
8 Fruitland to reach an opinion as to whether this production  
9 profile is typical of atypical of sandstone production in  
10 the gas?

11          A           This is a typical production plot in a  
12 sandstone well.

13          Q           Would you take Exhibit Number Four and  
14 Exhibit Number Five and show me in what ways you're able to  
15 utilize these displays and distinguish between them and  
16 show it either as a gas well producing from the coal or a  
17 gas well producing from the Fruitland sandstone?

18          A           By Exhibit Five it can be seen that the  
19 gas production from this well follows a hyperbolic decline  
20 and is accompanied by very little water production; where-  
21 as, in Exhibit Four in the Cahn Well, we have increasing  
22 gas and decreasing water.

23          Q           Are you satisfied as an engineer that  
24 this is one of the factors you use to determine the foot-  
25 print, if you will, of what a well will be, either a

1 gas well in the coal seam or a gas well in the sandstone?

2 Q Have you done any other engineering work  
3 to determine how you as an engineer can distinguish pro-  
4 duction from either the coal seam of the Fruitland sand-  
5 stone?

6 A Yes, I have.

7 Q Let me direct your attention, sir, to  
8 Exhibit Number Six. Is this your work also?

9 A Yes, it is.

10 Q What are we seeing here?

11 A Exhibit Six shows gas and water analysis  
12 comparisons between Pictured Cliff, Fruitland sandstone,  
13 and Fruitland coal wells, which are all in the boundaries  
14 of the Fruitland Basal Coal Pool.

15 Q Have you examined enough of the gas  
16 analysis from wells producing from the coal as well as the  
17 Pictured Cliff and the Fruitland sand to satisfy yourself  
18 as an engineer that you're using sound gas analysis  
19 properties for each of these values?

20 A Yes.

21 Q Give us a basis upon which, then, you  
22 have reached this analysis. How many wells have you looked  
23 at?

24 A In the Fruitland coal I've looked at 15  
25 wells, 46 samples; Fruitland sandstone, 3 wells with 16

1 samples; in the Pictured Cliff, 19 wells and 66 samples.

2 Q Are you satisfied as an engineer that's  
3 a sufficient number of samples and wells to survey in order  
4 to have an accurate and reliable analysis upon which to  
5 make some conclusions and observations?

6 A Yes.

7 Q Describe for us using Exhibit Number  
8 Six, Mr. Joseph, what the major points are with regards to  
9 this exhibit.

10 A It's most evident that the Fruitland  
11 coal methane and CO<sub>2</sub> contents are higher and the BTU and  
12 specific gravity values are lower than they are in either  
13 the Pictured Cliff or Fruitland sandstone wells.

14 Q Okay. When we look at the top column on  
15 the display, we're looking at the average gas analysis.  
16 The very top one is Pictured Cliff; move to the second  
17 column to the right and we now find the methane values?

18 A Yes.

19 Q Okay. Show us how you can distinguish  
20 then between those values and decide that that is a factor  
21 that tells you it's sand or coal production.

22 A Well, the methane content of the Fruit-  
23 land coal is 93, which is higher than it is in the  
24 Fruitland sand, which is 91, and the Pictured Cliff, which  
25 is 88.

1           Q           If you're given a blind gas analysis  
2 sample from a well that you do not know where it is and  
3 have not examined the log, and you have a value, in what  
4 range would cause you to believe it's coal versus sand?

5           A           It would be from a value of 93 or  
6 possibly greater.

7           Q           If it's 93 or less, then that causes you  
8 to believe as to that value its' more likely to be sand  
9 production -- I mean gas production from the sand?

10          A           Yes.

11          Q           When we look at a value less than 91,  
12 what does that cause you as an engineer to believe with  
13 regards to that analysis?

14          A           That is definitely a sand well.

15          Q           Okay. You said another factor in  
16 analyzing the gas and deciding the source was looking at  
17 the CO<sub>2</sub> content?

18          A           Yes.

19          Q           All right, let's look at that one.  
20 That's the third column? Tell me what you see as an  
21 engineer when you look at those numbers.

22          A           It is evident that the Fruitland coal  
23 CO<sub>2</sub> content is approximately 5 percent and the Fruitland  
24 sand and Pictured Cliff CO<sub>2</sub> contents are substantially  
25 lower.

1                   Q           At what point do you have to reduce the  
2 CO<sub>2</sub> content the almost 5 percent to get into a range where  
3 you begin to believe that you have production from the  
4 sand?

5                   A           Below 1-1/2 percent, in that area.

6                   Q           Okay. There was another value used on  
7 the display that you thought was a significant factor in  
8 making the analysis. Which one was that?

9                   A           BTU.

10                  Q           All right, and that's the second from  
11 the far right?

12                  A           Yes.

13                  Q           When you as an engineer look at those  
14 values, what do they tell you?

15                  A           That Fruitland coal values will typical-  
16 ly be under 1000 BTU type gas and Fruitland sand and  
17 Pictured Cliff gas is generally over 1100.

18                  Q           Do you have anything else about the gas  
19 analysis of the display?

20                  A           Typically a Fruitland coal specific gra-  
21 vity will also be lower than the Fruitland sand or Pictured  
22 Cliff.

23  
24                  Q           What is the approximate cutoff then that  
25 tells you you have one or the other?

1           A           Typically it would be from .62 or lower.

2           Q           Okay. Anything else about the gas ana-  
3           lysis?

4           A           No.

5           Q           All right, Mr. Joseph, let's turn the  
6           bottom portion of that display when you look at average  
7           analysis. What have you done here?

8           A           I examined water analysis from a repre-  
9           sentative sample of Pictured Cliff, Fruitland sand and  
10          Fruitland coal wells in the Cedar Hill area.

11          Q           And what was your conclusion?

12          A           It's most evident that the Fruitland  
13          coal TDS, sodium and bicarbonate contents are higher and  
14          that chloride contents are lower than they are in the  
15          Pictured Cliff or Fruitland sandstone.

16          Q           As we go through that portion of the  
17          display, take each of those values and tell us what, in  
18          your opinion, is the benchmark or the value above which or  
19          below which it causes you to put the production either in  
20          gas from sandstone or gas from coal seam.

21          A           For a total dissolved solids, or TDS, a  
22          value of about 13,000 or above should typically be consid-  
23          ered a Fruitland coal type value.

24          Q           Okay.

25          A           The sodium should be slightly higher in

1 the Fruitland coal with a value of about 5000 or greater.

2 The chloride in the Fruitland coal  
3 should be typically lower than 1300 parts per million.

4 And the bicarbonate content should be  
5 above 10 or 11,000 parts per million.

6 Q Taking all these factors together and  
7 analyzing the production, the gas and the water, are you  
8 confident that you as an engineer can distinguish then coal  
9 production from the sandstone versus the coal seam?

10 A Yes.

11 Q Do you see any significant difference  
12 in the values obtained when you make that analysis and  
13 identify production from a portion of the coal seam  
14 producing above the current vertical limits for the pool?

15 In other words, when we look above the  
16 basal coal zone --

17 A Yes.

18 Q -- can we find a coal zone up in there  
19 when those factors from that production with the values  
20 from the basal coal? Do you see any significant  
21 differences in any of those values?

22 A No.

23 Q What, then, is your recommendation to  
24 the Examiner with regards to increasing the vertical limits  
25 of the coal pool so that we include all those members of

1 the Fruitland that are contributing gas from coal seams?

2 A My opinion is that the coal zones can be  
3 distinguished from sand zones by their production charac-  
4 teristics and fluid analysis, and therefore, the vertical  
5 limits of the Fruitland Basal Coal Pool should be extended  
6 to include any and all coal zones within the Fruitland for-  
7 mation.

8 Q Before we leave this subject, Mr.  
9 Joseph, let me have you turn to what is marked as Exhibit  
10 Number One in the exhibit book and ask you what's on --  
11 what's on that exhibit? What's depicted on there without  
12 reading it? Let's summarize it.

13 A It shows the current pool name and  
14 boundaries and our proposed vertical pool limits.

15 MR. KELLAHIN: That completes  
16 my examination of Mr. Joseph, Mr. Stogner.

17 I've lost track of the exhibit  
18 numbers. We have admitted -- Mr. Examiner, we move the  
19 introduction of Exhibits One, Four, Five, and Six.

20 MR. STOGNER: Exhibit One, and  
21 Four, Five and Six will be admitted into evidence at this  
22 time.

23 MR. KELLAHIN: That concludes  
24 my examination of Mr. Joseph.

25 MR. STOGNER: Mr. Carr, your



1 witness.

2  
3 CROSS EXAMINATION

4 BY MR. CARR:

5 Q Mr. Joseph, I believe the testimony has  
6 shown that Meridian operates approximately six wells in the  
7 area of this pool, is that correct?

8 A We are tied in and producing.

9 Q Just based on the wells you've got here,  
10 are any of those actually open and producing from the upper  
11 sand intervals, or the upper coal seam?

12 A Yes, they are.

13 Q And when you have completed those wells  
14 is it necessary to dewater and depressurize those zones  
15 just like you would a basal -- a well completed down in the  
16 basal coal?

17 A Based on our production, I don't see  
18 this as a problem.

19 Q Do they perform the same? My question  
20 is do you have to also dewater and depressurize the upper  
21 zones like you do the bottom or do you not?

22 A Yes.

23 Q And when you -- you would go in and open  
24 all of these up in a new well that you would drill, you  
25 would -- is it fair to anticipate that you could depres-

1 surize and dewater these zones all at the same time?

2 A Yes.

3 Q The wells that are now operated by  
4 Meridian, are any of those only producing from the basal  
5 zone?

6 A No.

7 Q They're all opened up throughout this  
8 entire interval?

9 A Yes, they are.

10 Q And when you completed them, did they  
11 initially produce from this entire interval?

12 A Yes.

13 Q Have you any pressure information on  
14 those separate zones or is it all together?

15 A Yes, I do and it's all together.

16 Q Yes, you do and it's all together, so  
17 you --

18 A Yes, I have pressure data.

19 Q You wouldn't have information that would  
20 show you pressure differential between the various coal  
21 seams?

22 A Not at the present.

23 Q On your Exhibit Number Six you had what  
24 was indicated proven samples, proven coal samples, and I  
25 assume that those include samples from all the intervals

1 that are depicted on the cross section shaded in green, is  
2 that right?

3 A They would include our three wells.  
4 They're the only known wells that we would have access to  
5 that information.

6 Q And would you have any idea as to  
7 whether or not the samples were from -- the samples that  
8 were taken from the basal zone as compared to the upper  
9 zones were comparable or if they had all been mixed to-  
10 gether?

11 A They were all mixed together.

12 MR. CARR: That's all. Thank  
13 you.

14 MR. STOGNER: Thank you, Mr.  
15 Carr.

16 Mr. Kellahin, do you have any  
17 questions?

18 MR. KELLAHIN: No, sir.

19

20 CROSS EXAMINATION

21 BY MR. STOGNER:

22 Q On Exhibit Number Four, Mr. Joseph, do  
23 you know what the perforated interval is in that Cahn Well?

24 A I don't know the exact footages but it  
25 was the basal coal interval.

1           Q           The lower basal coal, right, or the  
2 basal coal as it exists now.

3           A           Right.

4           Q           So you have no separate information or  
5 production data on the upper zones in which you want to  
6 extend the vertical limits today.

7           A           Yes, I did.

8           Q           Where are they?

9           A           I --

10                   MR. KELLAHIN: Hold it. What  
11 was the question? No, we haven't put them into the record.  
12 Is there some other information you want, Mr. Stogner?

13                   MR. STOGNER: Yeah, I was  
14 wanting the production information on an isolated zone of  
15 your extended vertical limits.

16                   MR. KELLAHIN: Let me take a  
17 moment, if you will, and we'll find who --

18                   MR. STOGNER; We'll take about  
19 five minutes.

20  
21                   (Thereupon a recess was taken.)

22  
23                   MR. STOGNER: Mr. Kellahin.

24                   MR. KELLAHIN: Thank you, Mr.  
25 Examiner.

1                   Just before the break when we  
2 were still on the record you had requested of Mr. Joseph  
3 two general topics for consideration. I must tell you that  
4 during the break we have reviewed the data we have brought  
5 with us and we do not have either item with us and with  
6 your permission and concurrence of Mr. Carr, we would like  
7 to leave the record open for a ten day period following  
8 today in which to submit to you two items of information,  
9 the first of which is the analysis based upon the core  
10 reports and information to demonstrate that the gas  
11 analysis values for the coal -- the gas produced out of the  
12 coal seam above the basal coal member has characteristics  
13 that are sufficiently similar to the gas analysis out of  
14 the basal coal to give you confidence that you were in fact  
15 dealing with the same types of gas.

16                   Second of all, we would like  
17 to submit to you subsequent to the hearing the engineering  
18 calculations to show drainage so that we can demonstrate  
19 that those coal seams above the basal coal in fact have  
20 drainage characteristics similar to those presented by  
21 Amoco in the original spacing case where they were util-  
22 izing only the basal coal values to make those calcula-  
23 tions, and if we're permitted to do those two submittals to  
24 you, we would appreciate it.

25                   MR. STOGNER: Thank you, Mr.

1 Kellahin. In that case we'll leave the record open on this  
2 particular case for ten days pending the additional infor-  
3 mation.

4 MR. KELLAHIN: Mr. Carr has a  
5 witness to present.

6 MR. STOGNER: Okay, Mr. Carr,  
7 are you prepared to present your witness at this time?

8 MR. CARR: May it please the  
9 Examiner, we have one very brief bit of testimony we would  
10 like to present.

11 MR. STOGNER: With what Mr.  
12 Kellahin had to say, Mr. Carr, do you concur?

13 MR. CARR: Oh, yes.

14 MR. STOGNER: Continue, Mr.  
15 Carr.

16  
17 JAMES W. HAWKS,  
18 being called as a witness and being duly sworn upon his  
19 oath, testified as follows, to-wit:

20

21 DIRECT EXAMINATION

22 BY MR. CARR:

23 Q Will you state your full name for the  
24 record?

25 A James W. Hawkins.

1 Q Mr. Hawkins, by whom are you employed?

2 A Amoco Production Company.

3 Q And in what capacity?

4 A Senior Petroleum Engineering Associate.

5 Q Have you previously testified before  
6 this Division and had your credentials as a petroleum  
7 engineer accepted and made a matter of record?

8 A Yes, I have.

9 Q Are you familiar with the application  
10 filed by Meridian in this case?

11 A Yes, I am.

12 Q Are you familiar with Amoco's interest  
13 in this general area?

14 A Yes, I am.

15 MR. CARR: Are the witness'  
16 qualifications acceptable?

17 MR. STOGNER: Are there any  
18 objections?

19 MR. KELLAHIN: No objection.

20 Q Mr. Hawkins, would you briefly state  
21 what Amoco's purpose is in appearing in this case?

22 A The first thing I'd like to state is  
23 that Amoco is not in opposition to the application by  
24 Meridian to extend the vertical limits.

25 I think Amoco would like to have the

1 Division be aware of a broader picture in that many of the  
2 wells that were originally drilled and completed in the  
3 Cedar Hill were completed only in the basal coals and to  
4 bring in the upper coal zones in those sections that have  
5 previously been developed may cause some potential prob-  
6 lems and those are the problems we'd like to express to-  
7 day.

8 Q Approximately how any wells does Amoco  
9 operate in this area?

10 A We have currently eight wells on  
11 production, two additional wells that are waiting on  
12 pipelines out of the basal coal.

13 Q Now, when Amoco completed all of these  
14 wells, did they complete them just in the lower basal coal?

15 A That's correct.

16 Q And if, in fact, there is commercial  
17 production to be obtained from these shallower coal seams,  
18 what kind of problem are you concerned about?

19 A Well, the nature of coal methane pro-  
20 duction, as previously testified to by Meridian, is to  
21 dewater the coals, depressure the coals in order for the  
22 gas to desorb from that coal and be produced through the  
23 wellbore. It's very unconventional as compared to a normal  
24 gas reservoir.

25 To open up the upper coals which have



1 heretofore not been produce, and expose the wellbore to  
2 probably higher pressures on the order of virgin pressure,  
3 and significant production volumes of water, and that is to  
4 expose the basal coals to that production of water, could  
5 result in some potential damage or potential waste.

6 What we would like to see is some flex-  
7 ibility in the field order to allow us to eliminate or  
8 remove any of that potential waste or damage.

9 Specifically, we'd like to be able to  
10 utilize a second wellbore to selectively produce the upper  
11 coals while we continue to produce the basal coal from the  
12 current wellbore. This would give us a very good means to,  
13 one, protect that basal coal from any higher pressure or  
14 substantial volume of water; and secondly, to obtain some  
15 individual upper zone data in selective wells.

16 Q Mr. Hawkins, is it fair to say that the  
17 information available on exactly how this would be -- could  
18 be done is limited at this time?

19 A I would agree with that, yes.

20 Q And it's also fair to say, is it not,  
21 that Amoco is not opposing expanding the vertical interval.

22 A That's correct. We do believe that the  
23 testimony that's provided by Meridian is appropriate in the  
24 nature of the deposition of the coals in the geologic sense  
25 that it would be a common source of supply, and we are cer-

1 tainly not in opposition to their application.

2 Q And if in fact you get into this and  
3 start attempting to take these wells that are completed  
4 only in the lower zone, as you would evaluate how you may  
5 be able to bring other zones in, you may have to get some  
6 special flexibility from the Oil Commission to do that.

7 A That's correct.

8 Q Is there anything further you want to  
9 add to your testimony?

10 A No.

11 MR. CARR: If not, that con-  
12 cludes my direct examination of Mr. Hawkins.

13 MR. STOGNER: Mr. Kellahin,  
14 your witness.

15 MR. KELLAHIN: I have no  
16 questions. Thank you, Mr. Examiner.

17

18 CROSS EXAMINATION

19 BY MR. STOGNER:

20 Q Mr. Hawkins, I assume that you're refer-  
21 ring to Rule 6 of the Basal Coal Pool Rules, where it says  
22 that any subsequent well drilled or recompleted in existing  
23 Cedar Hill Fruitland Basal Coal standard or nonstandard  
24 unit shall be authorized only after notice and hearing.

25 Is that what you're alluding to, to

1 perhaps modify that particular rule to allow, like you  
2 said, essentially two wells, one for the lower and one for  
3 the upper?

4           A           I think that would follow the same  
5 intent that Rule 6 is designed to protect and it appears  
6 Rule 6 is designed to protect against more than one well  
7 being drilled in a spacing unit and concurrently producing  
8 from identical intervals, and our opinion is that to allow  
9 two wells selectively to produce the basal and the upper  
10 coals is really not going to be of a different intent than  
11 a single well that would either open all of those up or  
12 some other mechanical completion that would allow that  
13 through the same wellbore.

14                           MR. STOGNER:   Mr. Kellahin?  
15 Do you all have any --

16                           MR. KELLAHIN:   I don't have a  
17 position on that issue, Mr. Stogner. It's beyond, obvious-  
18 ly the subject of this case. We will examine Mr. Hawkins'  
19 concern and see what we might recommend to you in terms of  
20 operation in this pool or amendments to the pool rules that  
21 will satisfy his concerns and not create problems for any-  
22 one else, but I can't give you a response one way or an-  
23 other at this point, Mr. Examiner.

24                           MR. STOGNER:   I'm afraid Mr.  
25 Kellahin is right. As far as this particular case, I feel

1 it's beyond the scope of it. I would suggest possibly  
2 looking into changing the pool rules to allow for this.

3 You've got a very good point, Mr. Hawkins.

4 MR. CARR: We're aware that  
5 this is probably beyond the call of the case since this is  
6 an area that is not only subject to hearings today but next  
7 month. We thought it was important that the picture all be  
8 laid before you, but we're aware of the limitations based  
9 on the call of the case.

10 MR. STOGNER: Thank you. I  
11 have no further questions of Mr. Hawkins. You may be ex-  
12 cused.

13 Does either party have any-  
14 thing further in Case Number 9362 at this time?

15 Like I said, the record will  
16 remain open for ten days pending the additional informa-  
17 tion.

18  
19 (Hearing concluded.)  
20  
21  
22  
23  
24  
25

## C E R T I F I C A T E

I, SALLY W. BOYD, C. S. R. DO HEREBY  
CERTIFY that the foregoing Transcript of Hearing before the  
Oil Conservation Division (Commission) was reported by me;  
that the said transcript is a full, true and correct record  
of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is  
a complete record of the proceedings in  
the Examiner hearing of Case No. 9362,  
heard by me on 22 June 19 88.

Michael E. Stogner, Examiner  
Oil Conservation Division 8/12/88

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING )  
CALLED BY THE OIL CONSERVATION )  
DIVISION FOR THE PURPOSE OF )  
CONSIDERING: ) CASE NO. 9362  
Reopened and Readvertised )  
\_\_\_\_\_ )

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

February 21, 1990  
11:30 a.m.  
Santa Fe, New Mexico

This matter came on for hearing before the Oil Conservation Division on February 21, 1990, at 11:30 a.m. at Oil Conservation Division Conference Room, State Land Office Building, 310 Old Santa Fe Trail, Santa Fe, New Mexico, before Paula Wegeforth, Certified Court Reporter No. 264, for the State of New Mexico.

FOR: OIL CONSERVATION      BY: PAULA WEGEFORTH  
DIVISION                      Certified Court Reporter  
CSR No. 264

## I N D E X

February 21, 1991  
Examiner Hearing

CASE NO. 9362

PAGE

APPEARANCES

3

## APPLICANT'S WITNESS:

GEORGE T. DUNN

Direct Examination by Mr. Kellahin

5

Examination by Examiner Catanach

14

Re-Direct Examination by Mr. Kellahin

15

Examination by Mr. Stovall

17

## REPORTER'S CERTIFICATE

19

\* \* \*

## E X H I B I T S

ADMTD

## APPLICANT'S EXHIBIT

1 through 4

13

## A P P E A R A N C E S

FOR THE DIVISION: ROBERT G. STOVALL, ESQ.  
General Counsel  
Oil Conservation Commission  
State Land Office Building  
310 Old Santa Fe Trail  
Santa Fe, New Mexico 87501

FOR THE APPLICANT: KELLAHIN, KELLAHIN & AUBREY  
Attorneys at Law  
BY: W. THOMAS KELLAHIN, ESQ.  
117 North Guadalupe  
Santa Fe, New Mexico 87501

FOR AMOCO PRODUCTION  
COMPANY: CAMPBELL & BLACK  
Attorneys at Law  
BY: WILLIAM F. CARR, ESQ.  
Santa Fe, New Mexico 87501  
AND  
ERIC NITCHER, ESQ.

\* \* \*



1           EXAMINER CATANACH: At this time we will call  
2 Case 9326.

3           MR. STOVALL: In the matter of Case 9362 being  
4 reopened pursuant to the provisions of Division Order  
5 No. R-7588-B, which ordered expanded the vertical limits of  
6 the Cedar Hill-Fruitland Basal Coal Pool in San Juan  
7 County.

8           EXAMINER CATANACH: Are there appearances in this  
9 case?

10          MR. KELLAHIN: Mr. Examiner I'm Tom Kellahin of the  
11 Santa Fe law firm of Kellahin, Kellahin & Aubrey, appearing  
12 on behalf of Meridian Oil, Inc.

13          MR. CARR: Mr. Examiner, I would like the record to  
14 reflect "the little man" is here with big oil.

15                 My name is William F. Carr. I'm with the law  
16 firm Campbell & Black, P.A., of Santa Fe. I'd like to  
17 enter my appearance on behalf of Amoco Production Company.  
18 I'm appearing in association with Eric Nitcher.

19          EXAMINER CATANACH: Are there any other appearances?

20          MR. STOVALL: Are there any witnesses? That was the  
21 question.

22          EXAMINER CATANACH: Will the witness please stand and  
23 be sworn in?

24                 (Whereupon the witness was duly sworn.)

25          MR. STOVALL: Let the record reflect that Mr. Bruce

1 was in the room, but he left before his case was called.

2 MR. KELLAHIN: Mr. Examiner, at this time I'd like to  
3 call Mr. George Dunn. Mr. Dunn is a reservoir engineer  
4 with Meridian Oil Company he resides in Farmington,  
5 New Mexico.

6 GEORGE T. DUNN,  
7 the Witness herein, having been first duly sworn, was  
8 examined and testified as follows:

9 DIRECT EXAMINATION

10 BY MR. KELLAHIN:

11 Q. Mr. Dunn, for the record, would you please state  
12 your name and occupation?

13 A. My name is George T. Dunn. I'm the regional  
14 production engineer for Meridian Oil Company in Farmington,  
15 New Mexico.

16 Q. Mr. Dunn, on prior occasions, have you testified  
17 as a petroleum engineer before this division?

18 A. Yes, I am.

19 Q. Pursuant to your employment, have you been  
20 actively involved on behalf of your company in examining  
21 not only the Cedar Hills coal gas production but the Basal  
22 Fruitland coal gas production?

23 A. Yes, I have.

24 Q. Have you made yourself familiar with and  
25 knowledgeable about the Cedar Hill-Fruitland Coal Gas Pool

1 rules?

2 A. Yes, sir.

3 Q. And are you familiar with the prior case that  
4 was held by the division in Case 9362 and hearing held in  
5 June of 1988?

6 A. Yes, I have.

7 MR. KELLAHIN: At this time we tender Mr. Dunn as an  
8 expert petroleum engineer.

9 EXAMINER CATANACH: Mr. Dunn is so qualified.

10 Q. (By Mr. Kellahin) Based upon your information,  
11 study and review of this matter, Mr. Dunn, do you have a  
12 recommendation to the examiner concerning whether or not  
13 the temporary extension of the vertical limits of the Cedar  
14 Hill Coal Gas Pool to include those coals above the basal  
15 coal should now be made permanent?

16 A. Yes. We recommend that they should be made  
17 permanent.

18 Q. Let me have you go to the wall and look at the  
19 cross section that was introduced in the prior hearing. In  
20 the original Case 9362, it was marked as Exhibit No. 3.

21 To refresh the examiner's recollection, would  
22 you, first of all, identify for us what is the  
23 configuration or the boundary for the Cedar Hill-Fruitland  
24 Basal Coal Gas Pool as shown on that display?

25 A. The boundaries are shown in the bottom of the

1 cross section down here by the hatched lines around the  
2 Cedar Hill Pool, and then there is one section boundary  
3 shown external to the Cedar Hill Pool.

4 Q. Prior to the entry by the division of  
5 Order R-7588-B in October of 1988, whereby it extended the  
6 vertical limits for the pool, identify for us on the cross  
7 section what was recognized and acknowledged by the  
8 division and operators as the coal zone for that pool at  
9 that time.

10 A. The original?

11 Q. Yes, sir.

12 A. The original was denoted down here in the darker  
13 blue, listed as "current" -- or stated as "current." It  
14 would be these lower coals running across this  
15 cross section.

16 Q. Do you find the lower basal coal zone that is  
17 identified in Cedar Hills to be continuous with basal coals  
18 found outside of the pool?

19 A. Yes, in a general sense. Yes.

20 Q. When you look at the extension of the vertical  
21 limits of the Cedar Hill Pool rules to include other coal  
22 seams, identify and describe for us the extension.

23 A. The extension is shown on this cross section as  
24 the lighter blue section, and it's defined on the Snyder  
25 Com B No. 1 well going up to the top coal right here, and

1 it would include all the coals in this level.

2 The actual order takes the inclusion of any  
3 coals between the base of the Fruitland coal up to where  
4 this dashed line is, which would be the demarcation between  
5 the Fruitland coal and the Kirtland shale.

6 Q. Do the current vertical limits for the basin  
7 coal rules conform to the current vertical limits of the  
8 basin Fruitland Coal Pool?

9 A. Yes, they do.

10 Q. Anything else about this display?

11 A. All I might note is, there are arrows pointing  
12 to areas when these wells were drilled where kicks or  
13 blow-outs occurred indicating productivity in all the  
14 layers of the coals that are shown on this cross section.

15 Q. Has subsequent development taken place in the  
16 Cedar Hills Coal Pool to test and produce the upper coals?

17 A. Yes. There has been within the pool and also  
18 external in the outer sections, and some of the future  
19 exhibits will indicate some of the high amount external to  
20 this. But also internal current completions are all  
21 produced from the full section of Fruitland coal.

22 Q. Let me direct your attention, Mr. Dunn, to the  
23 exhibit booklet that's prepared for today's hearing and ask  
24 you to look at the display following Exhibit No. 1 tab.

25 Do you have that before you?

1           A.     Uh-huh.

2           Q.     Identify for us the significance of the color  
3 code.

4           A.     The two red symbols are Fruitland coal wells  
5 that we're going to provide additional data above and  
6 beyond what was shown in the original hearing on that  
7 substantiate the vertical limits of the pool. One is  
8 external to Cedar Hill Pool and one is internal.

9                     The green-colored triangles are wells which have  
10 been developed since that original hearing external to the  
11 pool and completed in the total vertical limits.

12          Q.     Let's turn to the information following the  
13 Exhibit Tab No. 2. Identify and describe what's shown on  
14 that display.

15          A.     This is the same land plat with only the red  
16 wells denoted. The green aren't denoted on this one, and  
17 in addition, it's overlaid with a net isopach of the  
18 Fruitland coal indicating continuity through the Cedar Hill  
19 Pool of the Fruitland coal zones. This includes the full  
20 section of any seams greater than two foot thick.

21          Q.     Would the coal isopach represent coals of  
22 two feet thick or greater including the basal coal?

23          A.     That's correct.

24          Q.     So this is an effort to map the coal thickness  
25 for the entire vertical limits that now currently exist and

1 apply to Cedar Hills?

2 A. That's correct.

3 Q. What conclusion do you have about the continuity  
4 of that coal seam within and without the boundary of the  
5 pool?

6 A. That it's continuous going within and without,  
7 and there's no real reservoir property-type differences  
8 within the vertical limits as they exist in the temporary  
9 rules.

10 Q. Based upon the isopach, do you see any  
11 compelling reason to reduce the vertical limits in Cedar  
12 Hills back to the original basal coal?

13 A. No, I do not.

14 Q. Let's turn now to the information behind  
15 Exhibit No. 3. Identify the display for us.

16 A. The display is an electric log. A density log  
17 primarily is what I'll be talking about on the left-hand  
18 side and a mud log for the Heizer 100 well, and that was  
19 the red triangle which was just north of the Cedar Hill  
20 Pool.

21 Q. The mud log on the Heizer well is in Section 15?

22 A. Section 15 of 32 and 10 northeast quarter.

23 Q. And the density log represents a well located  
24 where?

25 A. It's the same well. These two are the same.

1 Q. Oh, I'm sorry. Okay.

2 What's the point?

3 A. That they are located in Section 15.

4 The two logs are -- there are several points  
5 that can be made here. One, you can note the excellent  
6 correlation between mud logs and electric logs in the area.  
7 The purpose of this is, several wells don't -- coal wells  
8 are not logged electrically, and so we're going to show a  
9 mud log subsequent to this, and we just wanted to indicate  
10 the correlation between the two.

11 In addition, you'll note that these logs do not  
12 indicate any differences as you move vertically through  
13 these coal seams. Density correlations on the electric log  
14 indicate a range of 1.25 to 1.55 grams per cc density in  
15 any of the zones. There's no drastic difference in  
16 density.

17 All the coal seams exhibit similar properties.,  
18 In terms of external data to what we're presenting today,  
19 we have drill cuttings and core analysis which show similar  
20 rank, similar reservoir properties and similar gas contents  
21 through all the zones in the vertical section.

22 Q. Let me have you go to the next display following  
23 Exhibit Tab No. 4 and have you identify and describe that  
24 exhibit.

25 A. This is a mud log from the Harrison No. 100,



1 which is on the same drill pad as the first electric log  
2 shown on the cross section, which would be on the far left,  
3 the Harrison No. 2, I believe it is. And it correlates  
4 quite well to that electric log also.

5           The significant points to note here are that  
6 from penetration of the first and uppermost coals all the  
7 way to TD there is gas flows indicated, and at the same  
8 time -- it's kind of hard to read on part of this --  
9 there's a continual 15- to 20-foot flare through the  
10 drilling of the whole interval, again showing gas  
11 productivity from all the coal seams.

12           Q.     From subsequent data developed since the  
13 adoption of the temporary rules increasing the vertical  
14 limits for Cedar Hills, Mr. Dunn, has subsequent  
15 information been developed to show that the additional coal  
16 seam added to the basin coal -- basal coal in Cedar Hills  
17 has been commercial gas production out of the coal seam?

18           A.     Yes. There's been commercial gas production out  
19 of the full interval, whether it be the basal or in any  
20 other zone.

21           Q.     Do you see any material differences in reservoir  
22 properties or parameters when you compare the coal seams in  
23 the new extension to the coal seams found in the original  
24 basal coal zone?

25           A.     No. We cannot define any reservoir

1 characteristics or properties which would differentiate  
2 one seam from another, no matter how they are defined or  
3 called in a vertical sense or in terms of productivity or  
4 spacing. They all represent a common source of supply.

5 Q. In comparing the current extension of the  
6 vertical limits in Cedar Hills to what exists in the basin  
7 Fruitland coal, do you see any reason to not treat them in  
8 similar fashions?

9 A. No. They should be treated exactly the same.

10 Q. And if the current extension is made permanent,  
11 will that tend to make the treatment of the two pools  
12 similar?

13 A. Yes, it will.

14 Q. Do you see any reason, based upon your knowlege  
15 and experience, to do other than to make this extension  
16 permanent at this time?

17 A. No, I do not.

18 MR. KELLAHIN: We move the introduction of Meridian's  
19 Exhibits 1 through, I believe it, was 4.

20 THE WITNESS: 4.

21 MR. KELLAHIN: 1 through 4.

22 EXAMINER CATANACH: Exhibits 1 through 4 will be  
23 admitted as evidence.

24 (Whereupon Applicant's Exhibits 1 through 4 were  
25 admitted into evidence.)

1 MR. STOVALL: I'll be right back.

2 MR. KELLAHIN: Do you want a copy of the order?

3 MR. STOVALL: Yes. Do you have the order handy?

4 MR. KELLAHIN: Yes, we do.

5 EXAMINATION

6 BY EXAMINER CATANACH:

7 Q. Mr. Dunn, do you have any information as to how  
8 much of these -- or how much gas is produced from the  
9 individual coal seams, or is that all just lumped in  
10 together?

11 A. In general, it's all lumped in together. In  
12 this specific area we don't have any separate tests. In  
13 other areas of the basin we do.

14 Q. So you have proof that these other coal  
15 stringers are productive?

16 A. Yes. I should back up, I guess. We didn't  
17 present it today. There was presented at the original  
18 hearing a Spinner survey showing flow in -- throughout the  
19 zone, and we didn't show that today. And that was from a  
20 well within the Cedar Hill Pool.

21 Q. These coal seams are not in communication,  
22 however; is that correct?

23 A. Like through vertical fractures or something  
24 like that?

25 Q. Well, through -- yeah, through natural

1 fractures.

2 A. No, they shouldn't be.

3 Q. Mr. Dunn, approximately how many of the wells  
4 within the Cedar Hill are completed in the various -- in  
5 all of the various coal stringers?

6 A. I don't know if I -- I can't give you an exact  
7 number. I believe it's close to a hundred percent of them.  
8 I'm not aware of any that are not now.

9 EXAMINER CATANACH: I believe that's all I have of the  
10 witness.

11 MR. KELLAHIN: Let me follow up on one thought. I'm  
12 sorry.

13 MR. STOVALL: Go ahead.

14 RE-DIRECT EXAMINATION

15 BY MR. KELLAHIN:

16 Q. Let me follow up on the concept of the  
17 separation or the segregation of the coal lenses within the  
18 pool. All right?

19 For each of the well bores -- each of the well  
20 bores in Cedar Hills, Amoco, as the operator -- or other  
21 operators, if there are any -- have perforated most, if not  
22 all, of the potential productive coal seams within those  
23 given well bores, so within the well bore we have now  
24 comingled all the coal seams?

25 A. That's correct.

1           Q.     When you -- set that aside for a moment. When  
2 you look at the coal seams and each lens and consider that  
3 as a separate source of supply independent one from  
4 another, is it hardly practical to create separate pools  
5 for each of the coal seam lenses?

6           A.     It would be impractical to do that.

7           Q.     Doesn't make any sense, does it?

8           A.     No.

9           Q.     Do you see any differences in reservoir  
10 parameters or characteristics as we move from one lens to  
11 the next?

12          A.     No.

13          Q.     It's not like gas production in southeastern  
14 New Mexico where you might have a difference in spacing, a  
15 difference in gas composition as you moved vertically down  
16 through the various members of the gas producing zones?

17          A.     That's correct. You could not define a reason  
18 to separate them based on reservoir parameters.

19          Q.     So while these pockets of gas-producing  
20 intervals within coal seams might at one point have been  
21 physically separated, in terms of administering those coal  
22 seams, your recommendation is to administer them as one  
23 common source of supply?

24          A.     That's correct.

25          MR. KELLAHIN: No further questions.

## EXAMINATION

BY MR. STOVALL:

Q. Mr. Dunn, aren't most of those wells open-hole or are they perforated?

A. There's a combination of both, the more recent wells probably being open hole.

Q. Is there any distinction between the Cedar Hill Pool and the Fruitland Pool?

A. In --

Q. Geologically speaking.

A. Well, that's a pretty broad question.

Q. In the immediate area.

A. No.

MR. STOVALL: Okay. No further questions.

EXAMINER CATANACH: No further questions?

The witness may be excused.

MR. NITCHER: Eric Nitcher with Amoco Production.

We don't have any questions of the witness. We would just like to support making the extension of the vertical limits and support the application and make the rules permanent.

EXAMINER CATANACH: Anything further in this case?

If not, Case 9362 will be taken under advisement.

1           (The foregoing hearing was concluded at the  
2 approximate hour of 11:50 a.m.)

3                           \*    \*    \*

STATE OF NEW MEXICO )  
 ) ss.  
 COUNTY OF SANTA FE )

# REPORTER'S CERTIFICATE

I, PAULA WEGEFORTH, a Certified Court Reporter and Notary Public, DO HEREBY CERTIFY that I stenographically reported these proceedings before the Oil Conservation Division; and that the foregoing is a true, complete and accurate transcript of the proceedings of said hearing as appears from my stenographic notes so taken and transcribed under my personal supervision.

I FURTHER CERTIFY that I am not related to nor employed by any of the parties hereto, and have no interest in the outcome hereof.

DATED at Santa Fe, New Mexico, this 20th day of March, 1991.

My Commission Expires:  
 September 27, 1993

Paula Wegeforth  
 PAULA WEGEFORTH  
 Certified Court Reporter  
 CSR No. 264, Notary Public

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 9362, heard by me on February 21, 1991.

David R. Cotnam, Examiner

Oil Conservation Division



## STATE OF NEW MEXICO

ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT

OIL CONSERVATION DIVISION

CASE 9362, CASE 9420

## EXAMINER HEARING

## IN THE MATTER OF:

Case 9362 Being Reopened Pursuant to the Provisions of Division Order Number R-7588-B, which Order Expanded the Vertical Limits of the Cedar Hill-Fruitland Basal Coal Pool in San Juan County. In the Matter of Case 9420 Being Reopened Pursuant to the Provisions of Division Order No. R-8768, which Order Created the Basin-Fruitland Coal Gas Pool in San Juan County and Promulgated Temporary Special Rules and Regulations Therefor.

## TRANSCRIPT OF PROCEEDINGS

**ORIGINAL**

BEFORE: MICHAEL E. STOGNER, EXAMINER

STATE LAND OFFICE BUILDING

SANTA FE, NEW MEXICO

October 31, 1990

A P P E A R A N C E S

FOR THE DIVISION:

ROBERT G. STOVALL  
Attorney at Law  
Legal Counsel to the Division  
State Land Office Building  
Santa Fe, New Mexico 87504

FOR MERIDIAN OIL COMPANY:

KELLAHIN, KELLAHIN & AUBREY  
Attorneys at Law  
By: W. THOMAS KELLAHIN  
117 N. Guadalupe  
P.O. Box 2265  
Santa Fe, New Mexico 87504-2265

FOR AMOCO PRODUCTION COMPANY:

CAMPBELL & BLACK, P.A.  
Attorneys at Law  
By: WILLIAM F. CARR  
Suite 1 - 110 N. Guadalupe  
P.O. Box 2208  
Santa Fe, New Mexico 87504-2208

ALSO PRESENT:

DAVID R. CATANACH, Examiner  
Oil Conservation Division  
State Land Office Building  
Santa Fe, New Mexico 87504

\* \* \*

I N D E X

	Page Number
Appearances	2
Certificate of Reporter	9

\* \* \*

1 WHEREUPON, the following proceedings were had  
2 at 4:35 p.m.:

3 EXAMINER STOGNER: Call Case Number 9362.

4 MR. STOVALL: In the matter of Case 9362  
5 being reopened pursuant to the provisions of Division  
6 Order Number R-7588-B, which Order expanded the  
7 vertical limits of the Cedar Hill-Fruitland Basal Coal  
8 Pool in San Juan County.

9 EXAMINER STOGNER: Do you have something, Mr.  
10 Stovall?

11 (Off the record)

12 MR. STOVALL: Mr. Examiner, this case is tied  
13 into Case 9420, the Fruitland Coal case, but in that  
14 case we're going to request a continuance until April.  
15 I request that this case also be continued to that time  
16 so that there be no changes.

17 MR. KELLAHIN: That's fine with me.

18 MR. STOVALL: You requested six months; is  
19 that not true --

20 MR. KELLAHIN: Certainly.

21 MR. STOVALL: -- Mr. Kellahin?

22 In other words, let me state this, that Case  
23 9362 should be continued to the same date as Case 9420,  
24 whatever date that is.

25 MR. KELLAHIN: Mr. Examiner, I'd like to

1 enter an appearance for Meridian Oil, Inc., in both of  
2 these cases.

3 It had been my request that the --

4 MR. STOVALL: Excuse me, why don't we get  
5 that in the record for 9420, and then we'll tie this  
6 one to it.

7 EXAMINER STOGNER: Let's call Case 9420 at  
8 this time, since they are tied together.

9 MR. STOVALL: In the matter of Case 9420  
10 being reopened pursuant to the provisions of Division  
11 Order Number R-8768, which Order created Basin-  
12 Fruitland Coal Gas Pool in San Juan County and  
13 promulgated temporary special rules and regulations  
14 therefor.

15 Mr. Examiner, Mr. Kellahin wants to say  
16 something about this case.

17 EXAMINER STOGNER: Mr. Kellahin?

18 MR. KELLAHIN: I'd like to enter an  
19 appearance in both cases, and I believe Mr. Carr is  
20 here also to make an appearance.

21 MR. CARR: I believe Mr. Kellahin failed to  
22 mention he was appearing for Meridian Oil, Inc. That's  
23 his client.

24 I'd like to enter my appearance in each of  
25 the cases for Amoco Production Company.

1           Our concern is that the cases be heard at the  
2 same time since Cedar Hill-Fruitland Basal Coal  
3 testimony is interrelated to the testimony that will be  
4 presented in the base case for Fruitland Coal rules.

5           EXAMINER STOGNER: Now, the question is, when  
6 should these cases be continued to?

7           MR. KELLAHIN: We had earlier requested on  
8 behalf of Meridian that the existing Coal Gas Rules, if  
9 it was necessary to do so, be at least extended for a  
10 period of six months, and that within that time frame  
11 we would come back to a hearing whenever the Division  
12 deemed it was appropriate to do so.

13           We anticipated that hearing might be as early  
14 as the end of January, sometime in February, and it's  
15 up to, certainly, the Division to set that. But we  
16 wanted to have the comfort that there was no hiatus in  
17 terms of the rules for either pool that would cause  
18 those pool rules to somehow inadvertently lapse and  
19 have some interest owner out there in the Basin contend  
20 that we were on spacing of something other than 320 gas  
21 spacing.

22           MR. STOVALL: That would certainly create a  
23 confusion in the Supreme Court, wouldn't it?

24           MR. KELLAHIN: Yes, it would.

25           MR. STOVALL: Well, Mr. Kellahin, I believe

1 we have a letter from Amoco Production and also from  
2 the bi-state committee that is studying this pool, and  
3 I think they've indicated that their report would be  
4 available by January or sometime in January; is that  
5 correct, Mr. Kellahin, to the best of your knowledge?

6 MR. KELLAHIN: It's my understanding, and  
7 what we hope for, is that the Division would give us a  
8 period of time after that report was generally  
9 available so that individual companies, including my  
10 own, could examine that report and be prepared, then,  
11 to comment at the hearing that would come up shortly  
12 thereafter.

13 MR. STOVALL: I would recommend that, then,  
14 perhaps it be continued till either the first or second  
15 hearing in February; does that sound reasonable?

16 MR. KELLAHIN: Well, I guess we are subject  
17 to whenever this report is going to be available, and I  
18 don't want to delay the process, but I think it is  
19 important that everyone have two or three weeks to see  
20 the report and see to what extent they want to concur,  
21 adopt, or come to some different opinion.

22 MR. STOVALL: I'm just trying to come up with  
23 a hearing time.

24 MR. CARR: May it please the Examiner, a  
25 February date would be satisfactory, I'm certain, to

1 Amoco. If the report raised questions that we couldn't  
2 handle in that time we would again request further  
3 continuance. But so that we can have a set date to go  
4 forward with, that would be fine.

5 (Off the record)

6 MR. STOVALL: How about the second hearing in  
7 February? Does that suit for now? We don't have dates  
8 scheduled, so we can't make the specific date, but we  
9 know there will be two hearings a month.

10 EXAMINER STOGNER: Who are you asking, Mr.  
11 Stovall?

12 MR. STOVALL: I am asking, I guess, anybody  
13 who wants to answer.

14 (Off the record)

15 EXAMINER CATANACH: Mr. Stovall, it's my  
16 understanding that Mr. LeMay wanted the case to be  
17 heard as soon as possible after the report was issued,  
18 and he had in mind a January date. So February would  
19 probably be all right, the first part of February.

20 MR. STOVALL: Yes, I think the request to  
21 have some time to review the report is probably -- one  
22 month, I don't -- I can't see that making a big  
23 difference.

24 Second date in February is what I'm  
25 recommending, Mr. Examiner. And Mr. Carr is nodding

1 his head.

2 (Off the record)

3 EXAMINER STOGNER: In that case, both Cases  
4 9362 and 9420 will be continued and readvertised for  
5 the second hearing in February, date unknown.

6 So with that, those matters are concluded.

7 (Thereupon, these proceedings were concluded  
8 at 4:40 p.m.)

9 \* \* \*

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25



## 1 CERTIFICATE OF REPORTER

2  
3 STATE OF NEW MEXICO )  
4 ) ss.  
COUNTY OF SANTA FE )

5  
6 I, Steven T. Brenner, Certified Shorthand  
7 Reporter and Notary Public, HEREBY CERTIFY that the  
8 foregoing transcript of proceedings before the Oil  
9 Conservation Division was reported by me; that I  
10 transcribed my notes; and that the foregoing is a true  
11 and accurate record of the proceedings.

12 I FURTHER CERTIFY that I am not a relative or  
13 employee of any of the parties or attorneys involved in  
14 this matter and that I have no personal interest in the  
15 final disposition of this matter.

16 WITNESS MY HAND AND SEAL November 14, 1990.

17 

18 STEVEN T. BRENNER  
19 CSR No. 106

20 My commission expires: October 14, 1994  
21

22 I do hereby certify that the foregoing is  
23 a correct and true transcript of the proceedings in  
the Examiner hearing of Case Nos. 9362 and 9420 (Reopened)  
24 heard by me on 31 October 1990.  
25 