

1 STATE OF NEW MEXICO
2 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
3 OIL CONSERVATION DIVISION
4 STATE LAND OFFICE BUILDING
5 SANTA FE, NEW MEXICO

6 3 August 1988

7 EXAMINER HEARING

8 IN THE MATTER OF:

9 Application of Pennzoil Exploration CASE
10 & Production Company for directional 9450
11 drilling and an unorthodox oil well
12 location, Lea County, New Mexico.

13 BEFORE: Michael E. Stogner, Examiner
14

15 TRANSCRIPT OF HEARING

16 A P P E A R A N C E S

17 For the Division: Robert G. Stovall
18 Attorney at Law
19 Legal Counsel to the Division
20 State Land Office Bldg.
Santa Fe, New Mexico

21 For Pennzoil: W. Thomas Kellahin
22 Attorney at Law
23 KELLAHIN, KELLAHIN & AUBREY
24 P. O. Box 2265
25 Santa Fe, New Mexico 87504

I N D E X

JIM L. BARR

Direct Examination by Mr. Kellahin 4

Cross Examination by Mr. Stogner 11

RANDY HODGINS

Direct Examination by Mr. Kellahin 12

Cross Examination by Mr. Stogner 20

E X H I B I T S

Pennzoil Exhibit One, Isopach 4

Pennzoil Exhibit Two, Display 13

1 MR. STOGNER: Call next Case
2 Number 9450.

3 MR. STOVALL: Application of
4 Pennzoil Exploration & Production Company for directional
5 drilling and an unorthodox oil well location, Lea County,
6 New Mexico.

7 MR. STOGNER: Call for appear-
8 ances.

9 MR. KELLAHIN: Mr. Examiner,
10 I'm Tom Kellahin of the Santa Fe law firm of Kellahin, Kel-
11 lahin and Aubrey. I'm appearing on behalf of the applicant
12 and I have two witnesses to be sworn.

13 MR. STOGNER: Are there any
14 other appearances?

15 Will the witnesses please
16 stand and be sworn?

17
18 (Witnesses sworn.)

19
20 MR. KELLAHIN: Mr. Examiner,
21 may the record reflect that Mr. Barr is already qualified
22 as an expert geologic witness and continues to be so quali-
23 fied in this case?

24 MR. STOGNER: The record will
25 so reflect.

1 JIM L. BARR,
2 being called as witness and being previously sworn and
3 remaining under oath, testified as follows, to-wit:
4

5 DIRECT EXAMINATION

6 BY MR. KELLAHIN:

7 Q Mr. Barr, let me have you take a moment
8 and first of all orient the Examiner as to where the sub-
9 ject unorthodox location for Case 9450 is in relation to
10 the previous case that we just completed discussing.

11 A Okay, this particular location her is
12 approximately one mile west of the last case and the loca-
13 tion that we were proposing in that case.

14 This well was drilled and TD'ed on
15 Christmas Day of the past year. It is still in the Shipp
16 Strawn Field.

17 Q When we look at Exhibit Number One, is
18 this your work product?

19 A Yes, sir, it is.

20 Q And is this your recommendation to your
21 management with regards to how to test and further develop
22 the spacing unit that's the subject of this application?

23 A Yes, sir, it is.

24 Q Let's go and have you describe for the
25 Examiner what you propose to do by way of a re-entry into

1 the State No. 2 Well to further test for Shipp Strawn pro-
2 duction.

3 A This map that we have before you is like
4 in the previous case. It's an isopach map of the Lower
5 Strawn Lime. We're moving westward, so consequently, our
6 regional thickness in the Lower Strawn Lime is getting
7 thinner.

8 We drilled the well, the Pennzoil No. 1
9 State 2 and we encountered nothing but tight limestone in
10 the Lower Strawn section. We did not even encounter a
11 mound facies.

12 What we have on here, I've drawn three
13 lines on here; it shows the seismic lines that we used in
14 deciding the location of this well.

15 Now, there's a sequence to these lines.
16 The line that runs northeast/southwest, more east than
17 north, and the line that runs through the bottom or the --
18 target location, that runs southeast/northwest, those two
19 lines were used in selecting the location of the Pennzoil
20 No. 1 State 2.

21 After we encountered the dry hole the
22 line that runs a little bit north, east of north, that goes
23 through the well itself, was shot and it is that seismic
24 used in connection with the other two lines that we have
25 decided that we need the sidetrack and move this --

1 essentially sidetrack the well to the southwest.

2 Q So we're not confused by your explanation, Mr. Barr, would you take an extra copy of Exhibit One
3 and simply number them in the sequence in which the lines
4 were run?
5

6 A Okay.

7 Q What has been the sequence of the
8 drilling among the three wells that are shown within the
9 immediate area of this mound, being the Byers Pennzoil
10 Well, the TXO well, and then the Pennzoil State 2 Well?

11 A The Pennzoil No. 1 Byers was drilled
12 first.

13 Pennzoil No. 1 State 2 was drilled
14 second and the third and most recent well was the TXO
15 Producing No. 1 Penron Byers.

16 Q When we look at the TXO well, I see from
17 the surface dot that there's a difference between the sur-
18 face location and the bottom hole location for that well?

19 A Correct. It was deviated. It was con-
20 trolled deviation to the north.

21 Q Where is that bottom location approxi-
22 mately in relation to the north line of its spacing unit?

23 A Excuse me, let me measure and make sure.
24 It's going to be about 1050 feet.

25 Q So the distance to the spacing unit line

1 is about 330 feet?

2 A Correct. Maybe a little bit less than
3 330; about 300.

4 Q Somewhere between 300 and 330 feet?

5 A Correct.

6 Q That would put us at the bottom hole
7 location for the TXO Well?

8 A Correct.

9 Q As best you know, where is the bottom
10 hole location for the Byers well?

11 A Pretty much directly under the surface
12 location.

13 Q Has that well been surveyed?

14 A No, it has not been. Looking at the
15 deviation surveys taken by the contractor, we see no reason
16 to think it's any appreciable distance off the surface
17 location.

18 Q I know we have an engineer to talk about
19 the directional drilling in a moment, but summarize for the
20 Examiner at this point what is going to be the process for
21 the re-entry into the State No. 2 Well and the directional
22 drilling to an unorthodox bottom hole location.

23 A I really would like to defer that to an
24 engineer.

25 Q Well, approximately what are you going

1 to do? Are you going to re-enter the State 2 Well?

2 A We're going to re-enter this No. 1 State
3 2 and as I understand it, we'll kick it off somewhere
4 around 8500 feet and drill to a target location at the top
5 of the Strawn at 11,330.

6 At that target location we hope to be
7 within a 75-foot radius circle at 330 feet from the west
8 line and 1600 feet from the south line.

9 Q Using that basis of reference from the
10 engineers, Mr. Barr, tell us where that puts us in terms of
11 a location within the mound development you've identified
12 in this portion of the section.

13 A The target location designated by the X
14 on the map is the location that we feel that will put us in
15 at least 200 feet of thickness of mound facies and, hope-
16 fully, will give us a better reservoir facies and produc-
17 tion of this west half proration unit.

18 Q What is your understanding of the work-
19 ing interest percentages with regards to the 80-acre
20 spacing unit in the State No. 2 Well?

21 A The State No. 2 Well, this is a 50/50
22 working interest unit between Pennzoil and Chevron.

23 Q And when we move over to the spacing
24 unit for the Pennzoil Byers Well, does that working inter-
25 est percentage remain the same?

1 A Yes.

2 Q When we move to the TXO well, that's a
3 farmout by Chevron and Pennzoil to TXO?

4 A Correct.

5 Q So you have interests in that well?

6 A Correct.

7 Q All right. Describe for us why you have
8 recommended the re-entry so that you can obtain a new bot-
9 tom hole location as proposed.

10 A Well, to re-enter this hole we'd want to
11 essentially produce the west half proration unit of this
12 section, and by doing the sidetracked hole, based upon the
13 seismic and the geologic data, especially the dipmeter sur-
14 vey, we feel that our best, optimum location is where we
15 have the X on the map.

16 Q Where is the closest standard location?

17 A The closest standard location would be
18 the circle around the Pennzoil No. 1 State 2. That is a
19 150-foot radius circle.

20 Q If we look to the closest standard loca-
21 tion in the southern 40 of that stand-up 80 --

22 A Correct.

23 Q -- where would that place you on your
24 isopach contours?

25 A It would place us below 180 feet.

1 Q And that would put you in a similar
2 position on the pod as the dry hole, the State No. 2 Well?

3 A Where it would be in the tight facies.

4 Q Do you have an opinion, Mr. Barr, as to
5 whether Pennzoil gains an unfair advantage over the other
6 operations in the adjoining spacing units for the Byers and
7 the TXO wells?

8 A I do not think that we're gaining unfair
9 advantage. I think we are protecting the correlative
10 rights and we're only encroaching upon ourselves.

11 Q The additional information, then, be-
12 tween the State No. 2 dry hole is the third seismic line --

13 A Yes, sir.

14 Q -- that runs more north and south than
15 any of the other lines?

16 A Correct.

17 Q And what information did you get?

18 A Well, it showed us that we needed to
19 change the location and we felt like it would be better to
20 deviate the hole to the southwest, and this is based upon
21 that new seismic line.

22 Q As a result of the notifications to all
23 other interested parties, are you aware of and have you
24 received any objections from any other participants?

25 A To the best of my knowledge we have no

1 objections.

2 MR. KELLAHIN: That concludes
3 my direct examination of Mr. Barr.

4 We'd move the introduction of
5 Exhibit Number One.

6 MR. STOGNER: Exhibit Number
7 One will be admitted into evidence at this time.

8

9 CROSS EXAMINATION

10 BY MR. STOGNER:

11 Q Mr. Barr, in looking at that TXO well,
12 was that well originally drilled vertically and then plug-
13 ged back and directionally drilled, or was it intentionally
14 directionally drilled in the first place?

15 A It was intentionally directionally drill-
16 led in the first in the first place and it was with our ap-
17 proval, meaning we, Pennzoil and Chevron, that they could
18 deviate that well to the bottom hole location that it now
19 occupies.

20 Q What does Chevron have to do with this
21 application

22 A Chevron and Pennzoil formed a working
23 interest unit consisting of the southeast quarter of Sec-
24 tion 3 and the southwest quarter of Section 2. We have a
25 working interest unit of that two quarter sections.

1 Q How does TXO fit in this unit?

2 A We gave them a farmout on the south half
3 of the southeast quarter of Section 3 for the drilling of
4 that well.

5 MR. STOGNER: I have no fur-
6 ther questions of this witness.

7 He may be excused.

8 Mr. Kellahin?

9

10 RANDY HODGINS,
11 being called as a witness and being duly sworn upon his
12 oath, testified as follows, to-wit:

13

14 DIRECT EXAMINATION,

15 BY MR. KELLAHIN:

16 Q Would you please state your name and
17 occupation?

18 A I'm Randy Hodgins. I'm an engineer,
19 petroleum engineer, employed by Pennzoil Company.

20 Q Mr. Hodgins, have you previously testi-
21 fied as a petroleum engineer before the Oil Conservation
22 Commission of New Mexico?

23 A Yes, I have.

24 Q And pursuant to your employment by your
25 company have you made a study of certain of the engineering

1 facts surrounding the re-entry and the directional drilling
2 or deviation of the wellbore for the State No. 2 Well in
3 Section 2?

4 A Yes, I have.

5 MR. KELLAHIN: We tender Mr.
6 Hodgins as an expert petroleum engineer.

7 MR. STOGNER: Mr. Hodgins is so
8 qualified.

9 Q Let me direct your attention to Exhibit
10 Number Two and before we describe and discuss in detail the
11 information on the exhibit, tell us what we're looking at.

12 A This is a directional -- two plan views
13 of our directional drilling program which I did not draw
14 myself but I supervised.

15 Q When we look at the righthand portion of
16 the display, we're looking at a plan view that looks hori-
17 zontally down on the well?

18 A That's correct.

19 Q And we look at the plan view on the left
20 of the display and that's a vertical section of the well?

21 A Yes.

22 Q Would you go through, and let's start
23 with the plan view from -- the overview on the right?

24 A Okay.

25 Q Take you at the surface location, which

1 is 1980 from the south and 660 from the west, and describe
2 for the Examiner what you propose to do, Mr. Hodgins.

3 A The plan view primarily shows the
4 surface location and the direction required to get to our
5 proposed bottom hole location.

6 It also shows the lease line to the left
7 there, it's got the little hatched marks on it.

8 Q What is the horizontal scale at the
9 bottom of that portion of the display?

10 A One inch is equal to 100 feet.

11 Q And so the zero footage line is at the
12 surface location and we move from right to left and read
13 the footages as you get to the bottom hole target?

14 A That's correct, and it also has along
15 with that the distances relative to the surface location.
16 It has distances relative to the base line.

17 Q When we look at the vertical scale on
18 the left margin of the plane view portion of the display,
19 stay with me now, move back to the right. On the righthand
20 half of the display, those numbers running from zero down
21 to 600?

22 A Yes, sir.

23 Q Yeah, what are those?

24 That's -- that's showing the distance
25 from the surface location. It's a distance of 600 foot

1 towards the south line.

2 Q Again we're looking at surface numbers
3 as opposed surface and subsurface numbers.

4 A Right.

5 Q We're looking the surface horizontally?

6 A That's correct.

7 Q Where would you propose to start the
8 directional drilling of the well, at what vertical depth?

9 A There is an existing State 2 No. 1,
10 which is plugged. We plan on re-entering this well, which
11 was drilled just over a year ago, and drill out the plugs
12 down to a depth of 8500 feet and start our directional pro-
13 gram at 8500 feet, true vertical depth.

14 Q To see your directional program, then,
15 we can look at the far left portion of Exhibit Number Two
16 and see the vertical section?

17 A That's correct.

18 Q And when we find that information at
19 8500 feet, what are we looking at at that point?

20 A The vertical section is designed to show
21 the angle required to accomplish the displacement needed to
22 reach the proposed bottom hole target.

23 At the depth of 8500 foot it shows the
24 KOP, which is the kick-off point where we intend to deviate
25 from the existing wellbore and build our angle to approxi

1 mately 11.65, 12 degrees and hold that angle to TD to reach
2 our target.

3 Q Describe for us the drilling mechanics
4 of accomplishing the angle between 8500 feet down to where
5 you continue to drill a straight hole again at that fixed
6 angle, where you hit about 9300 feet? How do you accom-
7 plish that?

8 A We plan on using what's routinely done
9 for a re-entry or a sidetrack like this, by picking up a
10 downhole motor for the bent sub and kicking right off at
11 8500 feet and monitoring that -- monitoring that drilling
12 with a steering tool which tells us the direction we're
13 going, as dictated by plan view, and also our angle. Once
14 we get our required angle, we will then go back to just
15 conventional drilling, holding that direction and angle
16 till we get to our target, which is going to be from the
17 time you finish making your motor run, which we anticipate
18 will be a 3 - 500 feet motor run, from there on down it
19 will be just conventional drilling which will be 3000 more
20 foot of just regular vertical drilling.

21 Q How do you monitor the, or survey the
22 angle and location of your directional drilling?

23 A As I mentioned, while we have the --
24 during the critical part of the -- of kicking the well off,
25 we have a steering tool in the hole, which is just a tool

1 run on wireline which monitors your azimuth direction angle
2 on a continuous basis. Once we have our well kicked off we
3 will then go to regular directional-type single shots while
4 we're drilling, taking a picture every 2-to-300 feet.

5 Q When you hit the top of the Strawn for-
6 mation what is your estimate of where you will be in terms
7 of the true vertical depth of the well?

8 A We anticipate the top of the Strawn at a
9 depth of 11,330 true vertical depth.

10 Q And what will be the total depth of the
11 well?

12 A We are projecting a total true vertical
13 depth of 11,850; a measured depth of 11,910.

14 Q At the top of the Strawn formation at
15 approximately 11,330 feet, where will that put you in terms
16 of the location to the south and west lines of your spacing
17 unit?

18 A It will put us at our proposed bottom
19 hole location of 330 feet from the west line and 1600 feet
20 from the south line.

21 Q Around that point you have recommended or
22 requested a 75-foot radius target.

23 A Yes, we have.

24 Q What's the basis and reasoning for that
25 request, Mr. Hodgins?

1 A For a well to this depth we feel like
2 that's a reasonable target, and I would like to go back to
3 our -- to further explain that I would like to go back to
4 our use of our motor. Ideally, we'd like to get this thing
5 kicked off with one motor run back up at 8500 feet to get
6 your get your -- to get your required angle, to get your
7 required direction. You hold those until you get to the
8 target, so essentially what you're doing, you're pointing
9 the hole to where you want to go 3000-foot away and we feel
10 that a 75-foot radius target is reasonable.

11 Q To control the bottom hole location to a
12 smaller radius target would require what magnitude of ex-
13 penditure and effort on behalf of your company?

14 A Well, it's actually hard to say until
15 you actually get there, but the smaller the target, the
16 more possible operationally it's more difficult and it may
17 require more motor runs, which in turn puts more doglegs in
18 your hole which could not only be more expensive but that's
19 the most expensive part of the directional drilling opera-
20 tion when you're drilling with a motor.

21 It could also give you problems later on
22 down the line with -- considering this is an oil well, and
23 one day it's going to be run on pump.

24 Q In terms of an expense can you approxi-
25 mate for us on a daily basis what it costs to monitor

1 survey and run a motor run to change the angle and direc-
2 tion of drilling?

3 A I would estimate that the cost of the
4 motor, the cost of the required steering tools, survey
5 equipment, cost of the rig, you're probably going to be
6 looking at around \$20-to-\$25,000 a day.

7 Q In terms of budgeting money for the
8 well, how many days have you budgeted for the downhole
9 motor operations and the directional drilling portion of
10 the -- of the re-entry?

11 A The actual on-bottom time with the motor
12 we don't anticipate it to be more than -- having to drill
13 more than 5, 3-to-500 feet, which would probably be around
14 48 hours, 2 days.

15 The actual drilling of the well we anti-
16 cipate is probably going to be around 44 days.

17 Q Have you studied the production from the
18 Byers well and the information available from the TXO well?

19 A Yes.

20 Q Are both those wells currently producing
21 the 80-acre oil allowables that are assigned to those spac-
22 ing units?

23 A Yes, they are. We consulted our buyers
24 approximately a year ago. We drilled in August. Date of
25 first production was in September. We come on line with

1 full top allowable for the Shipp Field at 445 a day.

2 And TXO just recently completed their
3 well. Their well, just like ours, come on line, top allow-
4 able 445 a day.

5 MR. KELLAHIN: That concludes
6 my examination of Mr. Hodgins.

7 We move the introduction of
8 Exhibit Number Two, Mr. Stogner.

9 MR. STOGNER: Exhibit Number
10 Two will be admitted into evidence.

11

12 CROSS EXAMINATION

13 Q Mr. Hodgins, do you know what true
14 vertical depth that the production in this particular well
15 in which you're proposing to hit?

16 A I would need to consult Mr. Barr, our
17 geologist, on that for a moment.

18 Q All right, and I'll open the question up
19 again.

20 MR. BARR: We drilled into the
21 top of the Strawn and I think we were something like 3 feet
22 into the Strawn Lime before we hit the actual facies, the
23 reservoir facies. So I would say that we're probably on
24 somewhat of the same order, so we will be around 30 feet
25 into the top of the Strawn Lime from the top of the Lower

1 Strawn Lime. We should anticipate hitting the reservoir
2 about 30 feet in.

3 Q Well, give me some true vertical --

4 MR. BARR: True vertical
5 depths, let's see. The target is the top of the Strawn
6 which is actually the top of the Lower Strawn Lime. The
7 true vertical depth would be 11,330 feet, so true vertical
8 depth on the reservoir, we'd add 30 feet to that, 11,360.

9 Q And what is the thickness you propose to
10 see or plan to see?

11 MR. BARR: In this particular
12 well here we had 226 feet, I believe, from my -- 226 feet
13 of reservoir, and the reservoir in this particular case is
14 (unclear) sand, and so we had porosity of 226 feet better
15 than 4 percent porosity.

16 And you can see there as we
17 get off the mound, from the core of the mound, looking at
18 the TXO Penron Byers, you have 32 feet decrease in reser-
19 voir thickness, so we could probably be looking at the
20 same amount of decrease in -- excuse me, excuse me, I have
21 to back up.

22 226 feet is the total thick-
23 ness of the -- of the Lower Strawn Lime, 194 feet. And
24 within the Pennzoil No. 1 Byers the total reservoir thick-
25 ness, that was 96 feet, if I remember correctly.

1 Q Okay, then why are you proposing to
2 drill past 11,586 feet? That's what you're proposing to
3 bottom out of your producing zone, is that correct?

4 MR. BARR: Yes. We also would
5 like to go down and look at the Atoka Sand to see if it has
6 any potential down the road, you might say.

7 Q Okay, what is the top of the Atoka?

8 MR. BARR: I'm going to esti-
9 mate -- I'm going to estimate because I'm having some var-
10 iance in thicknesses, and there is some variance in this,
11 I'll say the top of the Atoka Sand is going to be 11,666,
12 plus or minus, true vertical depth.

13 Q Okay, according to your Exhibit Number
14 Two, then, what you're proposing, your Strawn test would
15 be, if you hit the center of your 75-foot target area,
16 would be within the 75-foot tolerance through the whole
17 vertical extent of the Strawn, is that correct?

18 MR. BARR: Correct.

19 Q And the Atoka is a whole different
20 matter.

21 MR. BARR: Yes. We did not
22 take it -- the original hole through the Strawn sand and it
23 was a mistake, hindsight shows us now. We should have
24 taken it on down even though we knew we had a dry hole. We
25 should have taken it on down.

1 Q Okay, thank you, Mr. Barr.

2 Mr. Hodgins, do you propose to determine
3 what your kickoff point actually is in this hole before
4 you do kickoff?

5 A The kickoff point is a predetermined
6 point which we can decide that now before we actually start
7 the directional drilling operation. There is an existing
8 plug, a cement plug, at 8500 feet. We intend to use that
9 plug to kickoff from .

10 Q Okay, well, what -- what is the loca-
11 tion? What is the true location of that particular kickoff
12 point now?

13 A We feel that it's right under the sur-
14 face location.

15 Q How long have you been a drilling en-
16 gineer, Mr. Hodgins?

17 A Eight years.

18 Q Have you ever seen a true vertical hole?

19 A I haven't seen very many past the rotary
20 table.

21 Q Is that correct? Okay. So you will
22 determine what the true position of that hole is, is that
23 correct?

24 A Mr. Stogner, the first operation will be
25 to run a survey on the existing hole and this plan here is

1 the zoning plan and it will be revised to get to that loca-
2 tion we're asking for.

3 Q Okay.

4 A The drilling records from the contrac-
5 tor, the TOPCO, which are not magnetic surveys, they showed
6 the hole to be relatively straight, and we've assumed that
7 it is straight.

8 Q We all like to assume that they're
9 straight. Okay.

10 A I would also add that if we knew where a
11 lot of these holes are in the Shipp Area we might be sur-
12 prised. We make it a routine part of our drilling opera-
13 tion now to survey our holes.

14 Q What have you seen as the natural ten-
15 dency of a hole to drift in this area, Mr. Hodgins?

16 A In this particular area?

17 Q Yeah, when I say this particular, the
18 Shipp Strawn area. You all have drilled 16 wells out
19 there, is that correct?

20 A It varies within the Shipp Strawn area,
21 but this location, we anticipate the well will have a nat-
22 ural tendency due north.

23 Q Do you find that to be over the whole
24 Northeast Lovington and Shipp Strawn area?

25 A No.

1 Q To the north?

2 A No, we do not.

3 Q Do you find it to be --

4 A It varies. It varies from well to well,
5 but this one, we drilled several wells right in this imme-
6 diate area and we -- we feel comfortable that it will try
7 -- it will try to go north.

8 Q And if that be the case, then your --
9 you're looking at a more deviated hole with your downhole
10 motor, is that correct?

11 A Let me further clarify that. There's a
12 depth that we have a problem with this deviation. That
13 depth is in the Abo-Wolfcamp, down in that area, and we
14 don't usually have any problems until we get to a depth of
15 around 8800 feet. That's -- that's where the wells always
16 go north in this immediate area.

17 Q Oh, so you -- okay. That's usually
18 where you find the severe or the pronounced deviation por-
19 tion.

20 A Yes, sir.

21 MR. STOGNER: I have no fur-
22 ther questions of Mr. Hodgins.

23 MR. BARR: Mr. Examiner.

24 MR. STOGNER: Yes, sir.

25 MR. KELLAHIN: Mr. Barr mis-

1 spoke. It's 16 wells in the Shipp and Lovington areas.
2 There are two areas.

3 MR. STOGNER: Okay. I have
4 no further questions of either witness.

5 Are there any other questions
6 of Mr. Barr or Mr. Hodgins?

7 They be excused.

8 Mr. Kellahin, do you have
9 anything further in this case?

10 MR. KELLAHIN: No, sir.

11 MR. STOGNER: Case Number 9450
12 will be taken under advisement.

13

14 (Hearing concluded.)

15

16

17

18

19

20

21

22

23

24

25

C E R T I F I C A T E

I, SALLY W. BOYD, C. S. R. DO HEREBY
CERTIFY that the foregoing Transcript of Hearing before the
Oil Conservation Division (Commission) was reported by me;
that the said transcript is a full, true and correct record
of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is
a complete record of the proceedings in
the examiner hearing of Case No. 9450,
heard by me on 3 August 1988.

Michael E. Sloger, Examiner
Oil Conservation Division