

1 STATE OF NEW MEXICO
2 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
3 OIL CONSERVATION DIVISION
4 STATE LAND OFFICE BUILDING
5 SANTA FE, NEW MEXICO

6 31 August 1988

7 EXAMINER HEARING

8 IN THE MATTER OF:

9 Application of Conoco Inc. for down- CASE
hole commingling, Lea County, New 9471
10 Mexico.

11
12 BEFORE: Michael E. Stogner, Examiner

13
14 TRANSCRIPT OF HEARING

15
16 A P P E A R A N C E S

17 For the Division:

18
19 For the Applicant:

20 W. Thomas Kellahin
Attorney at Law
21 KELLAHIN, KELLAHIN & AUBREY
P. O. Box 2265
22 Santa Fe, New Mexico 87504

23 For Amoco:

24 Scott Hall
Attorney at Law
25 CAMPBELL and BLACK
P. O. Box 2208
Santa Fe, New Mexico 87501

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

HUGH INGRAM

Direct Examination by Mr. Kellahin	3
Cross Examination by Mr. Stogner	16

E X H I B I T S

Conoco Exhibit One, C-105	5
Conoco Exhibit Two, Area Map	6
Conoco Exhibit Three & Three A, Well Tests	8
Conoco Exhibit Four, Schematic	10
Conoco Exhibit Five, Schematic	10
Conoco Exhibit Six, Schematic	10
Conoco Exhibit Seven & Seven A, Decline Curves	11

1 MR. STOGNER: Call next Case
2 Number 9471, which is the application of Conoco, Incorporated
3 ated for downhole commingling, Lea County, New Mexico.

4 Call for appearances.

5 MR. KELLAHIN: Mr. Examiner,
6 I'm Tom Kellahin of the Santa Fe law firm of Kellahin,
7 Kellahin & Aubrey. I'm appearing on behalf of Conoco,
8 Inc., and I have one witness.

9 MR. STOGNER: Are there any
10 other appearances?

11 There being none, will the
12 witness please stand and raise your right hand?

13

14 (Witness sworn.)

15

16 Mr. Kellahin.

17 MR. KELLAHIN: Thank you, Mr.
18 Kellahin.

19

20 HUGH INGRAM,
21 being called as a witness and being duly sworn upon his
22 oath, testified as follows, to-wit:

23

24

25

1 DIRECT EXAMINATION

2
3 BY MR. KELLAHIN:4 Q Mr. Ingram, for the record would you
5 please state your name and occupation?6 A My name is Hugh Ingram. I'm Conserva-
7 tion Coordinator for Conoco, Inc., for our Hobbs Division,
8 all of New Mexico.9 Q Mr. Ingram, have you previously quali-
10 fied as an expert before the Oil Conservation Division in
11 matters such as downhole commingling?

12 A Yes, I have.

13 Q And have you made a study and prepared
14 certain exhibits for review by the Examiner in this case,
15 9471?

16 A Yes, I have.

17 MR. KELLAHIN: We tender Mr.
18 Ingram as an expert, Mr. Stogner.19 MR. STOGNER: Mr. Ingram is so
20 qualified.21 Q Mr. Ingram, would you take a moment and
22 first of all describe in a general way what Conoco seeks to
23 accomplish with this application?24 A In Case 9471 Conoco seeks to commingle
25 production in the wellbore for its State F-1, Well No. 9,

1 producing from the Hardy Blinebry and Hardy Tubb-Drinkard
2 Pools.

3 Q What is the current status of the well,
4 Mr. Ingram?

5 A The current status of the well is a
6 single Blinebry producing well.

7 Q Let me direct your attention to Exhibit
8 Number One and would you identify and describe the informa-
9 tion contained on that exhibit?

10 A Exhibit Number One is OCD Form C-102.
11 It was filed with the Commission in 1980 when this well was
12 originally drilled. The purpose for the exhibit is to show
13 the location of the State F-1 Well No. 9 to be 330 feet
14 from the south and west lines of Section 1, Township 21
15 South, Range 36 East, Lea County, New Mexico.

16 Q What is the spacing unit assigned to the
17 well?

18 A 40 acres, both zones.

19 Q Are you aware of any opposition to this
20 application by either offset operators or other interested
21 parties?

22 A No. There's only one offset operator,
23 being Amoco, and Amoco was mailed a copy of the application
24 when we originally filed for administrative application and
25 they made no objection.

1 Q Let me direct your attention to Exhibit
2 Number Two and would you identify and describe that exhi-
3 bit?

4 A Exhibit Number Two is an area map
5 showing the offset operator to the well of this applica-
6 tion. You will note that Amoco operates the offsetting
7 wells, being their State C Tract 11 Well No. 11, which is a
8 west offset; their --

9 Q All right, let me go back, in Section 2,
10 then, the west offset to your Well No. 9 --

11 A That's right.

12 Q -- is the Amoco Well 11?

13 A That's correct.

14 Q And what is the status of that well?

15 A That well is a producing well in the
16 Blinebry and Tubb-Drinkard Pools it is presently downhole
17 commingled in those two.

18 Q And that's the same type of relief that
19 you seek from Mr. Stogner today?

20 A That's correct.

21 Q All right. Are there any other wells in
22 this immediate vicinity that are similarly downhole com-
23 mingled?

24 A Yes. Looking to the south in Section
25 11, Amoco operates two wells in the north half of the

1 northeast quarter. Well No. 3, let me check my notes here
2 to be sure, Well No. 3 produces from the Blinebry and Tubb-
3 Drinkard Pools and is also downhole commingled.

4 Well No. 4 is currently producing only
5 from the Blinebry Pool.

6 And over in Section 12 Well No. 5 is
7 producing from the Blinebry and Tubb Drinkard pools and
8 that well is also downhole commingled.

9 Q How was this matter finally placed upon
10 the examiner docket, Mr. Ingram?

11 A In my absence from the office an appli-
12 cation was made for administrative approval for downhole
13 commingling and --

14 Q When was that -- when was that filed, do
15 you recall the approximate date?

16 A That was filed June 17th, 1988.

17 Q In filing the administrative application
18 did your office cause a copy of the letter and application
19 to be sent to Amoco in Odessa?

20 A Yes, we did.

21 Q Describe for us why it was you were not
22 able to successfully obtain administrative approval for
23 your application.

24 A There is regulation in the statewide
25 rule which states that in downhole commingling if either

1 zone produces more water than the combined oil allowable
2 for both zones, then it cannot be approved administrative-
3 ly.

4 Q Let's look at Exhibits Three and Three-A
5 and see your production from the well.

6 A Exhibit Number Three is the most recent
7 well test for the State F-1 Well No. 9, producing from the
8 Blinebry zone. This well test shows in 24 hours the well
9 made 16 barrels of water, 15 barrels of oil, and 112 MCF
10 gas.

11 Exhibit Number Three-A is a similar test
12 for the Tubb-Drinkard zone. That test showed in 24 hours
13 the well made 88 barrels of water, 6 barrels of oil and 58
14 MCF gas.

15 Q What do you anticipate the combined
16 water production from the Tubb and Drinkard zones?

17 A We estimate the combined water produc-
18 tion to be somewhere around 100 barrels, maybe a little bit
19 more, anywhere from 100 to 105 or 10.

20 Q And under the regulations for this depth
21 what would be your oil allowable for the combined produc-
22 tion?

23 A The oil allowable for this depth would
24 be 40 barrels for both zones.

25 Q And what do you anticipate to be the

1 combined potential for the oil production from the two
2 zones?

3 A 21 barrels.

4 Q Do you have any pressure information
5 with regards to either or both of the zones?

6 A Yes. Based on static fluid levels when
7 both zones were producing we estimated the pressure would
8 be 1660 psi from the Blinebry and about 1800 psi for the
9 Tubb Drinkard.

10 Q Have you and the engineering staff of
11 Conoco reviewed that information to determine whether or
12 not Conoco as operator can expect cross flow to occur be-
13 tween those two zones?

14 A Yes, we have. We don't expect cross
15 flow to be any problem at all. As a matter of fact, we
16 will install producing equipment on this well that was
17 originally used in the Drinkard, for the Drinkard forma-
18 tion and we expect that that producing equipment will keep
19 this fluid level pumped down below the Blinebry perms for
20 sure and probably below the Drinkard, Tubb-Drinkard perms,
21 as well.

22 Q Both these zones, then, do require addi-
23 tional lift.

24 A That's correct.

25 Q And are both zones currently capable of

1 producing?

2 A Yes, both zones are capable of producing
3 at this time; however, we are not producing the Tubb-Drink-
4 ard zone, and I will explain that in reference to future
5 exhibits.

6 Q All right. Let's turn to Exhibit Four
7 and have you identify and describe that exhibit.

8 A Exhibit Number Four is a downhole schem-
9 atic showing how this well was designed during the time
10 that it was produced as both a Blinebry and a Tubb-Drinkard
11 well with separation between the two zones.

12 Q Let's turn to Exhibit Number Five and
13 have you identify and describe that exhibit.

14 A Exhibit Number Five is how the well is
15 presently equipped. We found in reviewing our cost state-
16 ments and net lease operating statements that we were los-
17 ing money producing the Tubb-Drinkard zone and so we set a
18 retrievable bridge plug between the two zones and since
19 March of this year we've produced it as a single Blinebry
20 producer.

21 Q Turn to Exhibit Six and identify that.

22 A Exhibit Number Six is a wellbore diag-
23 ram showing how we propose to equip the well after down-
24 hole commingling is approved, showing the tubing anchor set
25 above the Blinebry perfs and both sets of perfs, the Bline-

1 bry and the Tubb-Drinkard perms both being open to produc-
2 tion.

3 Q Now, Exhibit Seven and Seven-A, Mr. In-
4 gram.

5 A Exhibit Number Seven is a production de-
6 cline curve drawn for the Blinebry zone. You can see there
7 the well began producing, it was drilled in 1980. In 1983
8 where you see a pretty sharp decline in production there,
9 in 1983 we installed artificial lift equipment and since
10 time we have seen a decline of somewhere in the
11 neighborhood of 10, between 10 and 11 percent annual nat-
12 ural decline.

13 Exhibit Number Seven-A is a similar
14 exhibit for the Tubb-Drinkard zone and we see very similar
15 characteristics of production for the Tubb-Drinkard, de-
16 clining at a very similar rate of 10, between 10 and 11
17 percent.

18 Q Do you have a recommendation to the Exa-
19 miner as to an allocation formula between the two pools?

20 A Yes. Based on production history and
21 actually based on the production decline curves, rather
22 than Exhibits Three and Three-A, which is simply the most
23 recent tests for these two zones, I believe that an allo-
24 cation based on Exhibits Seven and Seven-A will be more
25 representative of the production from each zone, and based

1 on these two exhibits I recommend that the oil production
2 be allocated 62 percent to the Blinebry, 38 percent to the
3 Tubb-Drinkard, and breaking it down into barrels and look-
4 ing at Exhibit Number Seven, I've chosen about 13 barrels
5 barrels of oil per day for the Blinebry and 8 barrels of
6 oil per day for the Tubb-Drinkard, giving us 62-38 percent
7 breakdown.

8 For the gas, using the same two exhi-
9 bits, I recommend 57 percent allocation to the Blinebry,
10 which is about 160 MCF, and 43 percent gas allocation to
11 the Tubb-Drinkard, which is approximately 120 MCF per day.

12 Q Why have you recommended to the Examiner
13 he use the decline curves as a basis to make the allocation
14 as opposed to having each zone tested separately and then
15 making the allocation based upon current tests?

16 A I believe that production history for
17 the two zones, which is what we're looking at in Exhibits
18 Seven and Seven-A, is more representative of what those
19 formations will give up in the way of oil and water, and
20 rather than a single 24-hour well test that might have been
21 taken before commingling and even after commingling. I
22 think that the production decline curve would be a very
23 accurate allocation method.

24 Q Do you and the engineering staff for
25 Conoco have an opinion as to what is the likely source of

1 the water produced?

2 A At this point in time we have not de-
3 termined exactly where the water is coming from but before
4 we actually downhole commingle, we will probably run a log
5 and make that determination. If we find that the water
6 zone is isolated pretty much, say, toward the bottom perms
7 in the Drinkard zone, then we would take steps to shut off
8 that -- that high water producing zone.

9 But at this point in time we really
10 don't know for sure where the water is coming from. His-
11 torically it's been there and we don't have any logs at
12 this point in time to show where it's coming from.

13 Q Have you determined whether offset oper-
14 ators such as Amoco with their commingled wells experience
15 similar water production problems?

16 A In reviewing the -- Amoco's records in
17 the Oil Conservation Division Office in Hobbs, I found that
18 in some of their wells the water production is not as high
19 as ours, and in one well that I looked at, and I don't re-
20 call now exactly which well it was, the water production
21 from that well was similar, maybe not quite as high, but
22 very similar, to the water production in our Drinkard zone.

23 Q Does your official lift equipment desig-
24 nated for the well have the capacity to lift all the
25 fluids?

1 A Yes. As I stated before, we will use
2 the same producing equipment that was used -- that was in-
3 stalled for the Drinkard zone back in 1983. In looking at
4 the production decline curve you can see very easily that
5 we were moving more fluid at that point in time than we
6 will be moving from both zones at this time.

7 Q So regardless of the source of the
8 water, then, the lift equipment will have the capacity to
9 move the oil and the water out of the wellbore and not let
10 water cross migrate or flow into any of the producing
11 zones.

12 A That's correct. We, what we plan to do
13 is we will -- of course you never want too much pump sub-
14 mergence, anyway, and so we want to keep the fluid level
15 pumped down probably below the Drinkard perfs. We'll set
16 the pump maybe, oh, 75 to 100 feet below the Drinkard
17 perfs, and then we will keep the fluid level pumped down to
18 -- we'd like to keep it somewhere in the neighborhood of 50
19 to -- between 50 and 100 barrels above the pump setting
20 depth.

21 Q Are both ownerships in both formations
22 identical, Mr. Ingram?

23 A Yes, they are.

24 Q And what about the gravity and the price
25 of the oil produced from each zone?

1 A The gravity of oil from both zones is
2 about 44.4 degrees and the price per barrel for both zones
3 is identical.

4 Q Do you have an opinion, Mr. Ingram, as
5 to whether approval of this application will prevent waste?

6 A Yes. In doing the well -- and referring
7 to Exhibit Seven-A, we have estimated the remaining re-
8 serves in the Drinkard zone to be somewhere around 22,000
9 barrels; that is, following a straight line decline to an
10 economic limit of about 3 barrels a day, and so that --
11 that gives us an estimated 22,000 barrels of reserves that
12 we feel will be produced under downhole commingled condi-
13 tions that would not be produced under separation condi-
14 tions.

15 Q And do you have an opinion as to whether
16 approval of this application would violate the correlative
17 rights of any of the interested parties?

18 A I don't believe they would violate cor-
19 relative rights of any party.

20 MR. KELLAHIN: That concludes
21 my examination of Mr. Ingram, Mr. Stogner.

22 We move the introduction of
23 Conoco Exhibits One through Seven-A.

24 MR. STOGNER: Exhibits One
25 through Seven-A will be admitted into evidence at this

1 time.

2

3

CROSS EXAMINATION

4

5 BY MR. STOGNER:

6

Q Mr. Ingram, would you run that gas allo-
7 cation by me again, both the percentage and the production
8 figures?

9

A Okay. The recommended gas allocation is
10 for the Blinebry 57 percent; that's 160 MCF. For the Tubb-
11 Drinkard, we're recommending 43 percent, which is about 120
12 MCF per day.

13

Q And the oil allocation is 52 percent for
14 the Blinebry and 38 percent for the Tubb-Drinkard, is that
15 correct?

16

A Yes, sir.

17

Q Okay. Just for a little historical
18 data, when was this well drilled?

19

A This well was drilled in 1980.

20

Q And it was dually completed until what
21 time?

22

A It flowed until 1983 at which pumping
23 equipment was installed in both zones and it was produced
24 as a separate dual well until March of this year when the
25 Tubb-Drinkard zone was isolated and no longer produced.

1 Q Okay. When I refer to your Exhibit
2 Number Four, that's your previous dual completion wellbore
3 diagram?

4 A Uh-huh.

5 Q What's that small tubing over to the
6 right?

7 A I'm not -- that small what?

8 Q You've got three strings of tubing run-
9 ning from --

10 A Oh, oh, that's a vent string.

11 Q A vent string.

12 A Uh-huh, to relieve some of the pressure
13 from the lower zone.

14 Q Would that be gas production?

15 A Well, yes, it would just be mostly a
16 vapor, a vent, no --

17 Q No production from the vent.

18 A No production, right.

19 Q Okay. Do you have an idea of what per-
20 centage of the water is coming from the Drinkard?

21 A I haven't calculated percent but I think
22 the -- the one test that's shown on Exhibits Three and
23 Three-A are fairly representative of water, one of them
24 being, I think, 16 barrels from the Blinebry and 88 barrels
25 from the Tubb-Drinkard, and I think that is fairly repre-

1 sentative, but it might be slightly different, but not
2 enough to be significant.

3 MR. STOGNER: Okay, I have no
4 further questions of this witness.

5 Are there any other questions
6 of Mr. Ingram?

7 MR. KELLAHIN: No, sir.

8 MR. STOGNER: He may be ex-
9 cused.

10 Anything further in Case
11 Number 9471?

12 MR. HALL: Mr. Examiner, my
13 name is Scott Hall from the Campbell & Black law firm on
14 behalf of Amoco Production Company.

15 It's my understanding that
16 Amoco opposes the application. We ask that the record be
17 kept open until the next Examiner hearing for Amoco to have
18 an opportunity to present some testimony.

19 MR. KELLAHIN: I'd object, Mr.
20 Examiner. They were provided notice; obviously Mr. Hall
21 was able to come today. Today's the day of the hearing.

22 We'd ask that you take the
23 case under advisement and enter an appropriate order.

24 MR. STOGNER: What is the
25 basis of your objection, Mr. Hall?

1 MR. HALL: Instructions from
2 the client. I don't have much more information than that.

3 MR. STOGNER: I have records
4 that Amoco was notified. Is that an issue?

5 MR. HALL: I don't believe so.

6 MR. STOGNER: Well, Mr. Hall,
7 it appears to me that Amoco was notified and you're ob-
8 viously here today. I'm going to take this case under ad-
9 visement.

10 Your objection will be so
11 noted.

12 Anything further, or do you
13 have any questions of this witness?

14 MR. HALL: No, sir.

15 MR. STOGNER: The case will be
16 taken under advisement.

17

18 (Hearing concluded.)

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I, SALLY W. BOYD, C. S. R. DO HEREBY CERTIFY that the foregoing Transcript of Hearing before the Oil Conservation Division (Commission) was reported by me; that the said transcript is a full, true and correct record of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 9471, heard by me on 31 August 1988.

Michael S. Harris, Examiner
Oil Conservation Division